

MANITOBA CLEAN ENVIRONMENT COMMISSION

KEEYASK GENERATION PROJECT

PUBLIC HEARING

Volume 13

\* \* \* \* \*

Transcript of Proceedings  
Held at Fort Garry Hotel

Winnipeg, Manitoba

TUESDAY, NOVEMBER 12, 2013

\* \* \* \* \*

## APPEARANCES

## CLEAN ENVIRONMENT COMMISSION

Terry Sargeant - Chairman  
Edwin Yee - Member  
Judy Bradley - Member  
Jim Shaw - Member  
Reg Nepinak - Member  
Michael Green - Counsel to the Board  
Cathy Johnson - Commission Secretary

## MANITOBA CONSERVATION AND WATER STEWARDSHIP

Elise Dagdick  
Bruce Webb

## KEEYASK HYRDOPOWER LIMITED PARTNERSHIP

Doug Bedford - Counsel  
Janet Mayor - Counsel  
Sheryl Rosenberg - Counsel  
Bob Roddick - Counsel  
Jack London - Counsel  
Vicky Cole  
Shawna Pachal  
Ken Adams  
Chief Walter Spence  
Chief Louisa Constant  
Chief Betsy Kennedy  
Chief Michael Garson

## CONSUMERS ASSOCIATION OF CANADA

Byron Williams - Counsel  
Aimee Craft - Counsel  
Gloria Desorcy  
Joelle Pastora Sala

## MANITOBA METIS FEDERATION

Jason Madden - Counsel  
Jessica Saunders - Counsel

## MANITOBA WILDLANDS

Gaile Whelan Enns  
Annie Eastwood

## PEGUIS FIRST NATION

Lorraine Land - Counsel  
Cathy Guirguis - Counsel  
Lloyd Stevenson  
Jared Whelan

CONCERNED FOX LAKE GRASSROOTS CITIZENS  
Agnieszka Pawlowska-Mainville  
Dr. Stephane McLachlan  
Dr. Kulchyski  
Noah Massan

PIMICIKAMAK OKIMAWIN  
Kate Kempton - Counsel  
Stepanie Kearns - Counsel  
Darwin Paupanakis

KAWEECHIWASIIHK KAY-TAY-A-TI-SUK  
Roy Beardy

## INDEX OF PROCEEDINGS

Consumers Association of Canada (Manitoba branch) Cumulative Effects Presentation Dr. Bram Noble, Dr. J. Gunn Presentation	2660
Cross-Examination by Ms. Rosenberg	2724
Cross-Examination by Ms. Pawlowska	2879
Cross-Examination by Ms. Kearns	2886
Cross-Examination by Ms. Whelan Enns	2890
Cross-Examination by Ms. Guirguis	2904
Questions by CEC panel	2911

## INDEX OF EXHIBITS

CAC006	Northern Flood Agreement entered by Ms. Craft	2915
CAC007	TLE document	2915
CAC008	Submissions of October 7 from CAC, submission outline and CVs	2915
CAC009	Presentation on cumulative effects assessment	2915
CAC010	Drs. Gunn and Noble's report	2915
CAC011	Supplement handed out with today's information	2915
KHLP51	Excerpt from the EIS, section 1.4, assessment methods	2915
KHLP52	Section 5.3.1, assistant framework steps	2915
KHLP53	Section 7.5.1, aquatic environment	2916
KHLP54	CEC round 1, CAC 0008	2916
KHLP55	TAC public round 2, 0001	2916
KHLP56	Section 6.5.3.3.4, residual effects of operation	2916
KHLP57	Cumulative Effects Assessment Practitioner's Guide	2916

KHLP58 Map number 630, linear features and core areas	2916
KHLP59 Map 212, linear features	2916
KHLP60 Map 213, core areas	2916
KHLP61 Map 642, resource use local and regional study areas	2916
KHLP62 Quote from Elder William Beardy	2916

#### INDEX OF UNDERTAKINGS

No Undertakings given

1 Tuesday, November 12, 2013

2 Upon commencing at 9:30 a.m.

3

4 THE CHAIRMAN: Good morning. Welcome  
5 back to, I think it's our fourth week, the  
6 beginning of our fourth week in Winnipeg. I'm  
7 starting to lose track. And by the time we get  
8 out of here some time in the next year, I'll have  
9 completely lost track of time.

10 This morning, Consumers Association of  
11 Manitoba is making the first of a number of their  
12 presentations this morning. It's on cumulative  
13 effects. Once we conclude the cumulative effects  
14 presentation and cross-examination, we will return  
15 to the partnership with the terrestrial effects  
16 panel, hopefully some time today.

17 I don't believe there's any other  
18 preliminary business we need to take care of, so  
19 I'll turn it over to Mr. Williams.

20 MR. WILLIAMS: Yes, thank you. And  
21 good morning, Mr. Chair and members of the panel.  
22 I should note that at the Consumers Association  
23 table today is both Ms. DeSorcy, the Executive  
24 Director, as well as Ms. Wozny, who is co-chair of  
25 the board. And we're certainly happy to have them

1 here this morning.

2 Dr. Gunn and Dr. Noble, I'm just going  
3 to have you introduce yourselves, and then I  
4 believe Ms. Johnson will swear you in. So please  
5 proceed.

6 DR. GUNN: I'm Dr. Jill Gunn, I am  
7 associate professor at the University of  
8 Saskatchewan.

9 DR. NOBLE: Brian Noble, Professor at  
10 the University of Saskatchewan.

11 Jill Gunn: Sworn

12 Brian Noble: Sworn

13 MR. WILLIAMS: And Dr. Gunn, you may  
14 at times want to speak a little closer to your  
15 mic. It's sometimes hard to hear you if you're  
16 backing away from it.

17 The panel should have in front of it  
18 two documents. One is a powerpoint presentation  
19 and the other one is titled Supporting Material to  
20 the Oral Evidence. And we are going to get to the  
21 powerpoint in short order. But if I could just  
22 direct your attention to page 1 of the smaller  
23 document, the supporting material. And we won't  
24 spend much time on qualifications of these  
25 witnesses, but there's a few things that we do

1 wish to highlight.

2 Dr. Noble, could you confirm that you  
3 are the author of "Introduction to Environmental  
4 Impact Assessment Guide to Principles and  
5 Practices"?

6 DR. NOBLE: Yes, that's right.

7 MR. WILLIAMS: Can you provide a brief  
8 discussion of what, if any, research you have  
9 undertaken with regard to cumulative effects and  
10 watersheds and river systems?

11 DR. NOBLE: Sure. I have been working  
12 on a couple of projects over the past few years.  
13 One focused on cumulative effects assessment  
14 practice in the south Saskatchewan Athabasca and  
15 lower Fraser watersheds. A second project, funded  
16 by the Canadian Water Network which examines more  
17 closely how disturbance and changes on landscapes  
18 affect aquatic environmental condition, so  
19 establishing the relationships between those  
20 components.

21 MR. WILLIAMS: And some of the learned  
22 articles which capture your research are repeated  
23 in this statement of qualifications your work with  
24 Ball and Sheelanere; is that correct, sir?

25 DR. NOBLE: That's right.

1 MR. WILLIAMS: Just turning to page 2  
2 of the supporting materials, Dr. Noble, can you  
3 confirm that you recently completed a review for  
4 Aboriginal Affairs and Northern Development Canada  
5 on cumulative effects assessment frameworks and  
6 practices?

7 DR. NOBLE: Yes, it was focused on how  
8 cumulative effects is unfolding and the different  
9 state of practice across the country.

10 MR. WILLIAMS: And could you confirm  
11 that you served on the Scientific Advisory  
12 Committee for the Great Sand Hills Regional  
13 Environmental Study?

14 DR. NOBLE: That's right.

15 MR. WILLIAMS: Now, directing your  
16 attention to the bottom of your page under current  
17 projects, can you confirm that you were working as  
18 a consultant with the B.C. auditor on cumulative  
19 effects practices?

20 DR. NOBLE: Yes, providing some  
21 direction on audit development.

22 MR. WILLIAMS: And just finally, could  
23 you briefly discuss the work that you are doing  
24 with Teck Coal in terms of the development of a  
25 cumulative effects framework for the Elk Valley?

1 DR. NOBLE: Um-hum. I had been  
2 contracted by Swanson Environmental, through Teck  
3 Coal, and we are working together with the  
4 industry and some of the communities, members of  
5 the province as well, to develop a framework for  
6 assessing and managing cumulative effects to  
7 terrestrial and aquatic systems in the Elk Valley.

8 MR. WILLIAMS: Thank you.

9 And Dr. Gunn, turning to you at page 3  
10 of the short statement of qualifications, I am  
11 intrigued by your research project in terms of  
12 "Speak No Evil, Hear No Evil," and addressing  
13 uncertainty analysis. And I wonder if you can  
14 just briefly describe what that work entails?

15 DR. GUNN: That work involves  
16 characterizing the various types of uncertainties  
17 that might come up in an environmental impact  
18 assessment process, where in the process those  
19 uncertainties lie, and talking about how those are  
20 not expressed. So we are looking at a variety of  
21 resource development projects across Canada and  
22 trying to understand whether or not statements  
23 around conclusions of significance are actually  
24 warranted, given the various uncertainties that do  
25 exist in these processes.

1 MR. WILLIAMS: Thank you for that.

2 And just to turn briefly to page 4 of  
3 your, of this brief statement of qualifications,  
4 and just for the board's edification, when we see  
5 the last name Harriman, that would also be, that  
6 is your name as well?

7 DR. GUNN: That's one of my aliases,  
8 yes. I have more than that.

9 MR. WILLIAMS: Can you just confirm  
10 that you worked with Dr. Noble on the project  
11 "Characterizing Project and Strategic Approaches  
12 to Regional Cumulative Effects Assessment in  
13 Canada"?

14 DR. GUNN: Correct.

15 MR. WILLIAMS: And also confirm that  
16 you worked with Dr. Noble in terms of a number of  
17 documents related to strengthening the foundation  
18 for regional strategic assessment in Canada on a  
19 variety of contracts for the Federal and Alberta  
20 governments?

21 DR. GUNN: Correct.

22 MR. WILLIAMS: In terms of both of  
23 you, if you can individually confirm that you have  
24 a specialization in environmental assessment,  
25 cumulative effects and strategic environmental

1 assessment?

2 DR. GUNN: Yes.

3 DR. NOBLE: Yes.

4 MR. WILLIAMS: Dr. Gunn and Dr. Noble,  
5 if you'd like to take us through your powerpoint.

6 I may interject a few times, and then certainly if  
7 the panel does. Mr. Chair?

8 THE CHAIRMAN: I just have one  
9 question. On Dr. Noble's abbreviated CV here, the  
10 B.C. auditor, is that an auditor general, a  
11 financial auditor or is that an environmental  
12 auditor?

13 DR. NOBLE: It's the B.C. provincial  
14 auditor for an environmental audit.

15 THE CHAIRMAN: So this auditor's  
16 office just works on environmental issues?

17 DR. NOBLE: No, I believe they do work  
18 on other issues as well. The particular project  
19 we are involved with is for cumulative effects  
20 assessment specifically.

21 THE CHAIRMAN: Okay, thank you.

22 DR. GUNN: So this morning we are  
23 going to present the results of a review that we  
24 performed of the Keeyask Hydropower Limited  
25 Partnership's approach to the Keeyask generation

1 project cumulative effects assessment.

2           And what we're going to cover this  
3 morning is what are cumulative effects, just give  
4 a brief overview of that. We'll talk about the  
5 approach that we took to our review. We're going  
6 to take you through a synthesis of our key  
7 findings, and then we're going to talk a little  
8 bit about the actual significance of the Keeyask  
9 decision, as we see it.

10           So the Environmental Impact Statement  
11 adopts a fairly standard and well-known definition  
12 of cumulative effects, that is very closely based  
13 on the definition that is provided in the  
14 Cumulative Effects Assessment Practitioner's Guide  
15 for Canada, which was published in 1999 by George  
16 Hegmann and others. So the definition that's  
17 adopted in the Keeyask EIS is:

18           "That cumulative effects are  
19 incremental effects likely to result  
20 from the project on the environment  
21 when the effects are combined with the  
22 effects of other past, present and  
23 future projects or human activities."

24 We find that to be a sound definition.

25           But really what are cumulative effects

1 exactly? Understanding what they are is really  
2 quite important to understanding the nature of our  
3 findings and what we're recommending. So  
4 oftentimes when we speak of cumulative effects, we  
5 think of them as resulting from progressive  
6 nibbling at the environment over time, project by  
7 project. They can result from a phenomenon known  
8 globally as death by a thousand cuts, meaning the  
9 more individual insults that you have upon a  
10 receiving component of the environment, the more  
11 likelihood there is eventually of the demise of  
12 that component.

13           It also can result from, or they also  
14 can result from what's known as the tyranny of  
15 small decisions. And what that means is that over  
16 time, taking individual decisions about individual  
17 projects or activities, each of those decisions  
18 can seem okay within their own context, but there  
19 is a tyranny to the collective decision that's  
20 really being made in absence of thinking about  
21 what that decision might be.

22           So what we find happens is that it's  
23 very easy to dismiss the significance of any  
24 single action, but what may appear to be a very  
25 small disturbance at the time within that local

1 context can actually turn out to be cumulatively  
2 significant.

3           So a cumulative environmental effect  
4 then is based on understanding that each  
5 individual disturbance, regardless of its  
6 magnitude, so whether it's small or whether it's  
7 large, that is not the point. It's that each one  
8 of those disturbances can represent a high  
9 marginal cost to the environment and/or society.

10           So, in other words, it's this high  
11 cost of incremental decisions that's really at the  
12 heart of cumulative effects.

13           So let's think about this graphically,  
14 because sometimes a picture is easier to  
15 understand than words. And what we have here is a  
16 simplified diagram of a sub watershed, such as  
17 might be imagined for the Nelson River. So if we  
18 think about this example, we're going to use this  
19 to understand how cumulative effects can actually  
20 occur.

21           So in a watershed, or in a sub  
22 watershed, it's pretty obvious that the concern,  
23 one of the chief concerns will be around water  
24 quality. And by proxy, that means we will be  
25 concerned about levels of sedimentation in the

1 water, levels of nutrients in the water, fish  
2 health within that river, et cetera.

3           Okay. So in this diagram, you can see  
4 that there are multiple sources of stress upon  
5 that river system. Some of the examples that you  
6 might find would be run-off from agriculture, for  
7 example, perhaps run-off from forestry operations,  
8 sedimentation from forestry operations, or bank  
9 erosion caused by reservoir flooding. You might  
10 have sedimentation or run-off coming from  
11 transmission line crossings. So there are a  
12 number of sources of stress.

13           So now we would imagine that there is  
14 a proposal for an additional hydroelectric project  
15 in this area, or any type of project, a proposal  
16 for any type of project. The question becomes,  
17 from our perspective, what are the cumulative  
18 effects of the proposed project to water quality?  
19 So, in other words, how will that proposed project  
20 change water quality, how will it change  
21 sedimentation, fish health, et cetera. But what  
22 we need to know in order to understand the  
23 potential effects of that project, we need to  
24 know, we need to have that bigger picture in mind  
25 of what is the total pressure upon that component

1 of the environment from all of the rest of the  
2 projects. So we need to understand something  
3 about the accumulated state of that region. So  
4 what has happened to date, we need to understand  
5 something about the additional effects of the  
6 project being proposed, and we also need to know  
7 something about the additional effects of any  
8 other future disturbances that can happen.

9           Okay. And from there we would need to  
10 understand something about the actual  
11 relationships, the connection between the sources  
12 of stress and the project's additional  
13 contribution.

14           Okay. And finally we would need to  
15 know something about what is the acceptable level  
16 of change here? So even if we know what is  
17 causing the change, we know what we are concerned  
18 about in terms of the change, we understand the  
19 relationships between the activities of the  
20 effects. We really need to try to understand  
21 something about how much change is too much? So  
22 we have to know something about, you know, are  
23 there targets, are there benchmarks for  
24 interpreting the change that we see?

25           So from there, let's move to a real

1 world example. Let's take the Athabasca River in  
2 Alberta. So in that area, there was a really  
3 significant increase in development activity over  
4 the period between about 1966 and 1996, so about a  
5 30-year period.

6 Now, in that 30-year period, we saw  
7 all kinds of development ramping up, so to speak.  
8 There were five times more pulp mills discharging  
9 into the Athabasca River in that 30-year period,  
10 you saw an increase of 5 million more acres of  
11 agricultural land being developed. The amount of  
12 water withdrawal from the river increased from  
13 about 12 million cubic metres per year all the way  
14 up to almost 600,000 cubic metres per year.

15 In terms of the number of operating  
16 oil sands leases, it went from two to more than  
17 3,300 over that 30-year period. So what you then  
18 also saw on an aggregate level, you saw changes  
19 happening to the Athabasca River.

20 So, for example, you had a 10 percent  
21 decrease in headwater low flow over that time  
22 period, you saw a 30 percent decrease in mouth low  
23 flow over that same time period. You saw a  
24 1.4 degrees Celsius increase in the temperature of  
25 the river, and as well you saw significant changes

1 to chloride, sulfate, sodium and dissolved oxygen  
2 levels in the river.

3 MR. WILLIAMS: Before you leave -- go  
4 ahead, sorry.

5 DR. GUNN: I was just going to say  
6 that, you know, the point is here, the point of  
7 this slide is to say that many, many environmental  
8 impact assessments were performed over those 30  
9 years for all of those different individual  
10 development projects. And yet no significant  
11 adverse cumulative effects were identified in any  
12 one of them. Because presumably a large part of  
13 the reason for that was there were assumptions  
14 made that those changes would be mitigated through  
15 management measures. But in the end, after those  
16 30 years had gone by, it's pretty difficult to  
17 argue that no significant cumulative change had  
18 actually occurred there. Because quite clearly,  
19 it did, even though the impact assessments were  
20 performed.

21 MR. WILLIAMS: Thank you, and I  
22 apologize for interrupting.

23 Before you leave this slide, given  
24 what appears to be material cumulative effects in  
25 this region, at a high level, can you give us any

1 sense of the type of strategic choices the  
2 Province of Alberta has made with regard to this  
3 regime?

4 DR. GUNN: I'll ask Bram to respond to  
5 that, only because he has done more recent  
6 research right within the Athabasca.

7 DR. NOBLE: Sure. I mean, right now  
8 the Province of Alberta, together with Environment  
9 Canada, are working on a regional cumulative  
10 effects assessment process, a strategic type of EA  
11 for the region. I mean, the region has been  
12 identified as obviously an industrial development  
13 zone. That's not ruling out further effort that  
14 they are taking to do this cumulative effects  
15 assessment process. I can't speak on the details  
16 of that, I haven't seen a final report, but it's  
17 just through correspondence with a colleague in  
18 Alberta Environment who has been working on this  
19 process.

20 MR. WILLIAMS: Okay. Thank you. And  
21 please proceed.

22 DR. GUNN: So the question again then  
23 is, how really does this happen? How do  
24 cumulative effects happen? And what we find is  
25 often that the effects of a single project are

1 said to be just a drop in the bucket compared to  
2 the effects of other projects. The magnitude of  
3 the project's impacts are often measured against,  
4 or compared to other projects, instead of focusing  
5 foremost on the total environmental effects and  
6 then the project's relative contributions to those  
7 effects. Okay. Then sometimes we see too that  
8 cumulative effects are argued to be the  
9 responsibility of somebody else, because mine's  
10 only a small piece, yours is bigger than mine,  
11 somebody did it before me, that kind of a thing.  
12 So how could it really be my responsibility? So  
13 it winds up that responsibility can get displaced.  
14 But we reemphasize that you really cannot  
15 determine the true significance of any project's  
16 effects without understanding that cumulative  
17 picture.

18           So how do we do this then? Well,  
19 there are many different descriptions of what a  
20 cumulative effects assessment process is.  
21 However, the Hegmann guidance, or the guidance  
22 that's provided in the Cumulative Effects  
23 Assessment Practitioner's Guide, is among the most  
24 commonly used. And generally speaking, we find  
25 that there are four main components to any good

1 cumulative effects assessment. And with this  
2 diagram, I really just want to direct your  
3 attention to the various stages that are indicated  
4 underneath the diagram.

5           So the first stage is scoping and  
6 evaluation. So scoping there, scoping is a  
7 process to determine what is going to be included  
8 in the assessment and what is going to be  
9 excluded. Okay. So at this stage, you're wanting  
10 to identify your valued ecosystem components of  
11 interest and their indicators. And you're setting  
12 the spatial and the temporal bounds for the  
13 analysis.

14           And once scoping is complete, then  
15 you're going to take a look back in time. You're  
16 going to perform a retrospective analysis. Okay.  
17 And in the retrospective analysis, you're  
18 examining what it was like in the past, okay. And  
19 when you're choosing that point in time in the  
20 past, you have a variety of options. But  
21 generally, you're trying to get a picture of what  
22 it used to be like pre-disturbance.

23           So you want to start to build a  
24 picture of what has happened from that past point  
25 through to the present day. So in other words,

1 you have to start establishing trends and  
2 relationships between the various stresses in the  
3 region and the changing conditions of the valued  
4 ecosystem components over time. So, for example,  
5 you might start to try to look at relationships  
6 between fragmentation on the landscape, and maybe  
7 its effects on a particular caribou population.  
8 Or maybe you want to try to establish a  
9 relationship between number of river crossings  
10 over time and how that affected aquatic habitat in  
11 that same period. So you're looking at trends and  
12 relationships. Okay.

13                   And you're also going to want to  
14 establish your threshold or your limits for that  
15 change, because that is what allows you to  
16 understand the significance of that change later  
17 on.

18                   So once we have our retrospective  
19 analysis characterized, you're going to skip ahead  
20 to the prospective analysis. So now we are  
21 looking to the future, and this is really what  
22 cumulative effects assessment is really all about.  
23 We are trying to put that past and current picture  
24 together with what could be happening in the  
25 future to understand whether or not we want to

1 proceed.

2                   So in the prospective analysis phase,  
3 you're going to use the information that you  
4 develop in the retrospective analysis. You're  
5 going to apply that to what you know about the  
6 current proposed project. And you're going to  
7 also bring in knowledge about any other future  
8 disturbances or activities. And you're going to  
9 try to predict potential future changes to VEC  
10 conditions. Okay. Again, keeping the emphasis on  
11 understanding the individual project's  
12 contribution within the broader picture of the  
13 total effects, or the total pressures on the VEC.

14                   The final stage on any cumulative  
15 effects assessment is management or mitigation.  
16 And in this stage, there are two main things that  
17 would happen. You're going to try to identify  
18 some sort of interventions that, if there are  
19 cumulative effects predicted, would allow you to  
20 either, A, avoid those impacts, possibly B, reduce  
21 those impacts, or possibly C, you might restore  
22 VEC conditions to actually something better than  
23 how you found it. So you're wanting to think  
24 about how can we intervene to offset those  
25 predicted impacts?

1                   But if you can't offset or deal with  
2 everything that is predicted, then you have  
3 residual cumulative effects. So one type of  
4 effects just couldn't be mitigated fully. And  
5 with that, you would have to determine how  
6 significant those residual effects are.

7                   So that is the basic process of  
8 cumulative effects assessment.

9                   And what we did in our review is  
10 fairly simple and straightforward. We obviously  
11 reviewed the Environmental Impact Statement,  
12 particularly the chapter on cumulative effects  
13 assessment. We reviewed any supporting volumes  
14 that we thought were relevant. We reviewed any  
15 information requests that were relevant and on and  
16 on. So we went through a series of documentation.  
17 And we basically asked ourselves two simple  
18 questions related to the four components of the  
19 process that I just talked about. So we said to  
20 ourselves, what was done reasonably well and what  
21 could possibly have been improved in this case?

22                   So this brings us to the synthesis of  
23 our key findings. I'm going to take you through  
24 the first part on scoping, and then I'm going to  
25 hand it off to Bram, who will do the retrospective

1 of the prospective analysis, and then back to me  
2 for the mitigation piece, the management piece.

3           So what did we find? Well, we found  
4 that the cumulative effects assessment in this  
5 case contains some good practices, and also some  
6 practices that could have been improved, ones that  
7 we felt perhaps fell a little below an acceptable  
8 standard process wise. And we're going to give  
9 you some examples of each of those for each of the  
10 four phases that we investigated. So, again,  
11 let's begin with scoping.

12           So there were some good practice  
13 elements with the scoping. We found that this EIS  
14 adopted a relatively broad interpretation of what  
15 the regional boundaries should be. The boundaries  
16 are ecologically based, that was good.

17           In the scoping, there was a fairly  
18 wide variety of past, current and future projects  
19 considered. That was good practice.

20           And also there was consideration given  
21 to all valued ecosystem components that were found  
22 to experience significant adverse direct effects.  
23 Those were carried forward into the CEA and that  
24 was good practice.

25           There were a few instances where we

1 felt that the scoping could have been improved a  
2 little bit. Some of it was around identifying the  
3 different future projects, the current and future  
4 projects. We felt in current cases, those weren't  
5 perhaps completely adequately captured.

6 I'll just run you briefly through a  
7 few of them. The first one being, regarding the  
8 existing Bipole I and II transmission  
9 right-of-way. So in the CEA, the Bipole III was  
10 identified as a relatively future project. And if  
11 that transmission line is relevant, then it would  
12 stand to reason that all other transmission lines  
13 are relevant, including the Bipole I and II, on a  
14 broad regional perspective. However, the Bipole I  
15 and II is not actually specifically named in the  
16 CEA, so it's hard for one to be sure that its  
17 effects were adequately captured in the  
18 prospective analysis. And conversely, it's hard  
19 to know whether the Bipole III, those effects  
20 might have been thought of previously in the body  
21 of the impact statement, because it was identified  
22 as a future project. And the previous treatments  
23 or analyses for impacts on VECs weren't about  
24 future projects, they were about past and current.  
25 So it's hard to know for sure in the scoping if

1 that was done as well as it could have been.

2 In terms of the Wuskwatim generation  
3 project, that particular project was identified as  
4 a past. It was put into the category of past or  
5 current. But the turbines there have only been in  
6 operation for less than a couple of years. So  
7 quite obviously, the effects will continue to  
8 unfold for many decades to come. And we felt that  
9 for that reason, those effects probably would have  
10 been better captured in the prospective analysis  
11 for the CEA.

12 In terms of the Conawapa generation  
13 project, in the CEA it is identified in table 7-3  
14 that that project would potentially affect water  
15 quality. And yet it's scoped out of the  
16 cumulative effects analysis for the four fish  
17 species that are identified in the same table. So  
18 we didn't understand that completely.

19 Now, let's talk about temporal and  
20 spatial limits and setting those for a cumulative  
21 effects assessment.

22 There are a few options in terms of  
23 setting the future of temporal limit for a CEA  
24 analysis. You can try to model change through to  
25 the operation -- to the end of the operational

1 life of the project at a minimum. You could go  
2 further than that to try to model things through  
3 to decommissioning and reclamation. And once  
4 those had been complete, or you could go still  
5 further and you could try to look into the future  
6 as far as recovering VECs to pre-disturbance  
7 conditions. And that's a fairly tall order and  
8 probably not all that realistic in a lot of cases.  
9 Because we know that once major developments  
10 happen, it's hard to return things right back to  
11 where they were. However, the operational end of  
12 the life of the project is more common to think  
13 about the first option.

14           So the focus, it was emphasized by the  
15 Keeyask Hydropower Limited Partnership that the  
16 emphasis of the assessment here was on the future,  
17 so that's highlighted on the slide. VEC  
18 conditions, the vulnerabilities today and into the  
19 future, so the future is emphasized a lot. And  
20 yet the future temporal limit for the CEA in  
21 general is not stated. I couldn't find it. And  
22 when we look to some of the more specific analyses  
23 of VECs, we find that there was good practice  
24 around thinking about effects, you know, of  
25 construction, following construction, and into the

1 near future after construction. That kind of  
2 future change was well considered generally  
3 speaking. But it's when we go beyond that, and  
4 thinking all the way through to the end of the  
5 operational life of the project, that was the gray  
6 area or the fuzzy area. And often the temporal  
7 limits for a specific VEC analyses was not clearly  
8 stated or there.

9           Okay. So when you have limited  
10 temporal and spatial dimensions, what this  
11 generally means is that you wind up with a fairly  
12 narrow impact analysis, limited to immediate  
13 effects on a specific environmental attribute at  
14 an individual site. And this is we feel somewhat  
15 what happened.

16           So then turning our attention to  
17 truncated spatial limits. The spatial limits for  
18 good practice CEA and project based assessment by  
19 definition have to be broader than that which is  
20 necessary to capture direct effects. Because  
21 cumulative effects are of a different ilk, they  
22 are different, they are not direct effects, they  
23 are effects that are often indirect. The previous  
24 slide mentioned induced effects. They can be  
25 interactive, synergistic, of a surprised nature,

1 we don't really know. We have to be prepared to  
2 think about setting spatial limits that could be  
3 far beyond those that are appropriate to the  
4 direct effects assessment.

5 The Clean Environment Commission, in  
6 one of the information requests, had expressed  
7 concern about the truncated spatial limits of the  
8 study zone five. And part of the response they  
9 received for that, if I can direct your attention  
10 to the last part of the quote at the bottom of the  
11 slide, it says:

12 "The assessment evaluates the VEC  
13 populations directly affected by the  
14 Keeyask project rather than using a  
15 study area delineated by the locations  
16 of all past, current and future  
17 projects to assess those effects on  
18 VECs."

19 But, again, good practice CEA goes  
20 beyond just the direct effects, okay. It has to  
21 adjust boundaries to be able to assess VEC  
22 sustainability. And when we think about VEC  
23 sustainability, the spatial limits may have to be  
24 a fair bit broader.

25 Now, just one more example and then

1 I'll turn it over to Bram.

2 Another area where we had a bit of  
3 concern was that the Keeyask project includes, you  
4 know, infrastructure and operations that really  
5 will be regionally disruptive, possibly far beyond  
6 the project study area for the direct effects. So  
7 some of the possible indirect effects that we have  
8 thought about include such things as the ongoing  
9 indirect effects due to transmission line corridor  
10 construction or maintenance, i.e., the vegetation  
11 maintenance that would go on, on those rights of  
12 way for years and years to come. You know, how  
13 does that change things? That might be an  
14 indirect effect.

15 What about changes to the provincial  
16 economy or various other scales of economy that  
17 are important? Those might be some key indirect  
18 effects, and what would be the correct boundaries  
19 in that case? What about possibly changes to  
20 water flow on the Nelson River, maybe upstream  
21 impacts to Lake Winnipeg?

22 So we're not saying that these things  
23 are happening or that they, you know, even that  
24 they necessarily -- that there's a high likelihood  
25 of them happening, but the point is to ask these

1 broader questions. The CEA is the opportunity to  
2 ask those kinds of broader questions and then your  
3 spatial limits would need to reflect those broader  
4 questions.

5           So, the Hegmann guidance reminds us  
6 that the CEA tends to be concerned with not just  
7 the VECS that are carried forward from the direct  
8 effects assessments, but also larger scale VECs  
9 such as might be relevant to an entire watershed,  
10 not just the sub watershed but the entire  
11 watershed, or maybe, you know, VECs that are so  
12 broad as to actually talk about quality of life in  
13 a region or broader than that. And the Hegmann  
14 guidance does suggest that it is within the  
15 purview of a proponent to consider even things  
16 like trans-boundary effects and global scale  
17 effects. So these are not outside the purview of  
18 a single project proponent.

19           So, again, we feel that the CEA is  
20 perhaps not scoped quite broadly enough to capture  
21 those kinds of indirect cumulative impacts that  
22 might be experienced further afield or later in  
23 time.

24           And now I'll turn it over to Bram.

25           DR. NOBLE: Okay. So I'll speak

1 briefly to the retrospective and prospective, or  
2 the baseline component in trends analysis and the  
3 predictive part of the cumulative effects  
4 assessment.

5           The retrospective, or looking to the  
6 past to identify how things have changed over  
7 time, what are some of the trends, we sort of  
8 identified that earlier as an important part of  
9 cumulative effects. And the Environmental Impact  
10 Statement also identifies this as being an  
11 important part of the EA in general, identifying  
12 trends and how things and conditions have changed  
13 over time.

14           And this is one area in this area  
15 assessment where we thought there were some really  
16 nice examples of good practice. And one of those  
17 that we highlight as a good example is how the  
18 impact statement dealt with spatial data for  
19 terrestrial habitat conditions, which was  
20 evaluated at different periods of time in the  
21 environmental assessment, and it was examined  
22 across space in the local study area and the  
23 regional study area. Linear disturbances were  
24 identified, changes to core area habitat. We  
25 thought it was a relatively good example in the

1 impact statement on the baseline in terms of  
2 looking at trends.

3           It did stop short of identifying rates  
4 of change that we might be able to use to predict  
5 those forward into the future. But just as an  
6 example of what we thought was a reasonably good  
7 practice, that's one that we did find in terms of  
8 looking at the baseline trends analysis for  
9 habitat.

10           A second area that we focused on in  
11 our review was the use of thresholds. And I use  
12 thresholds broadly here because we all recognize  
13 that thresholds are difficult to identify. But  
14 I'm also referring here to benchmarks or  
15 management targets, maximum allowable effects  
16 levels.

17           And the environmental assessment did  
18 adopt this as a principle and it identified that,  
19 you know, it would use and identify these  
20 threshold or limits. And we found that in a few  
21 cases that was actually true, the impact statement  
22 did identify some thresholds and targets. And  
23 habitat threshold, caribou population numbers is  
24 one example where they were identified in the  
25 Environmental Impact Statement including the

1 technical reports, and they were carried forward  
2 in the cumulative effects assessment. And we  
3 thought that that's a really good example of how  
4 to move forward with practice.

5           But we also observed some other areas  
6 where thresholds or limits were identified. So  
7 total suspended solids is one area where some  
8 regulatory guidelines were identified from CCME  
9 and Manitoba Water Quality Guidelines. And the  
10 other one was benchmarks were identified for  
11 priority plans. And these management targets, if  
12 you will, thresholds, they do appear in the impact  
13 statement, but they are actually not used to  
14 assess the significance of the cumulative effects.

15           So unlike habitat thresholds, for  
16 example, which do find their way forward, in other  
17 areas where these threshold or limits are  
18 identified, they are not actually applied beyond  
19 identifying them for the project impacts. So they  
20 are not used in the cumulative effects assessment  
21 per se.

22           I want to spend most of my time  
23 looking at the future component of the cumulative  
24 effects assessment. Because, as Jill highlighted  
25 earlier, the future is really what cumulative

1 effects assessment is all about. That's why we  
2 look to the past and present conditions to try and  
3 identify what might happen in the future because  
4 of this project. We are not alone on this. One  
5 of the responses to the information requests is  
6 quite clear that ultimately the focus of the  
7 assessment was on the future. And that's a sound  
8 principle.

9           The problem that we noted is that it's  
10 the weakest part of the cumulative effects  
11 assessment, even though it adopts a very sound  
12 principle. It's an area where the cumulative  
13 effects assessment, in our view, seems to fall  
14 significantly short.

15           MR. WILLIAMS: Dr. Noble, before we  
16 leave this page, examining the future sounds like  
17 a daunting task. I wonder if you can explain, at  
18 least practice-wise, how one might approach that?

19           DR. NOBLE: Sure. So we have a  
20 crystal ball -- no, I'm just kidding. The typical  
21 approach and the recommended approach to this is  
22 to examine different alternative futures or  
23 scenarios of what might be, what's the range of  
24 possibilities, what's the range of risk associated  
25 with different types of outcomes? And this is

1 something that's, you know, fairly common  
2 throughout practice guidance and the literature on  
3 how we do cumulative effects assessment. You  
4 can't predict with 100 percent accuracy what's  
5 going to happen in the future, particularly when  
6 you're dealing with cumulative effects. So what  
7 we focus on is, what's the range of, you know,  
8 what's a best possible outcome, worst possible  
9 outcome, what's likely in between that?

10 MR. WILLIAMS: Thank you.

11 DR. NOBLE: So, I will focus really on  
12 three key areas in the perspective assessment that  
13 I want to highlight and just bring to your  
14 attention in terms of, you know, some of the  
15 better and less than better practice components  
16 that we observed.

17 The first is more of a, I guess, a  
18 general observation that emerge when looking at  
19 the impact statement. There is a principle  
20 adopted that cumulative effects is about the  
21 future and that's ultimately the focus. But we  
22 sort of found, you know, relative to other aspects  
23 of the cumulative effects assessment, it actually  
24 receives the least amount of focus. And so if you  
25 are to work your way through some of the

1 supporting volumes for terrestrial environments,  
2 for example, terrestrial plants, the aquatic  
3 environment, in the first two, in the terrestrial  
4 components, there is a really good description of  
5 current and past conditions. And that's where the  
6 assessment does a pretty good job in our view.  
7 But when it comes to looking toward the future,  
8 there is very little attention and no analysis of  
9 what those future conditions could be or might be  
10 under different conditions.

11 We found, in the aquatic environment  
12 supporting volume, when it deals with cumulative  
13 effects, it says it will deal with cumulative  
14 effects but it doesn't actually refer to  
15 cumulative effects.

16 Now, you know, you might wonder how  
17 many pages is necessary for it to be good? Well,  
18 that's not really the point. The point is that,  
19 you know, the impact statement adopts this  
20 principle of looking at cumulative effects in the  
21 future as being key. And we agree with that.  
22 That's ultimately what cumulative effects  
23 assessment is about. It doesn't tend to do that  
24 in the application. The analysis of those future  
25 conditions is really the weakest part of the

1 assessment.

2                   And I just use these as examples to  
3 show the principle versus the relative amount of  
4 attention these components actually receive.

5                   A second area that I will sort of draw  
6 attention to, there are some of the assumptions  
7 and analyses that are presented to support those  
8 areas where there is attention given to future  
9 impacts and future conditions. And the  
10 environmental assessment scoping document is clear  
11 that it is going to identify the methods used, the  
12 assumptions, the data, the limitations and so on.

13                   So I'll just focus on a couple of  
14 examples here. One is what we observe to be a  
15 good practice example from the cumulative effects  
16 in terms of how it was approached, and one that  
17 I'm focusing on is a weaker practice example, and  
18 we'll look at water quality and sedimentation in  
19 particular.

20                   So with regard to intactness, this is  
21 one, an example that we flagged as a really good  
22 approach in terms of how we do this and looking to  
23 future cumulative effects. The terrestrial  
24 environment supporting volume is where this  
25 information comes from. It looks at, you know,

1 the density of features on the landscape, core  
2 area effects, fragmentation effects, it identifies  
3 various metrics or indicators such as the total  
4 kilometres or road density, if you want, the  
5 change in core area habitat. Management targets  
6 are identified for each of these. And the changes  
7 in those into the future are actually related to  
8 summer caribou habitat conditions.

9           So, process-wise this is, we thought,  
10 a good example of how this cumulative effects  
11 assessment approaches a futures analysis, to some  
12 extent, and provide the evidence behind the  
13 conclusions that they are presenting. You can  
14 certainly follow through the logic on this  
15 example.

16           An example where we really struggled  
17 in terms of making some sense of what the  
18 conclusions are about cumulative effects, when we  
19 went back and looked at the evidence that was  
20 presented for future effects, concerns and issues  
21 around water quality. And particularly the issues  
22 around sedimentation and how, you know, other  
23 processes are contributing to sedimentation, not  
24 necessarily in-stream, but from the landscape, and  
25 how that's linked to health or reproductive

1 spawning habitat for sturgeon, as an example, so  
2 we got that connection.

3           So there are two issues that we  
4 identified here as -- we sort of explored.  
5 Whether and how cumulative effects of other  
6 disturbances in the watershed, such as  
7 disturbances on the landscape from forestry lease  
8 sites or other projects type disturbances,  
9 vegetation clearing, how are those processes  
10 contributing to sedimentation and how are those  
11 cumulative effects considered on top of the  
12 project?

13           And the second is the conclusion that  
14 sedimentation levels will be elevated for 10 to 15  
15 years, and that's identified as being an issue in  
16 the impact statement of concern, but there are no  
17 adverse cumulative effects to the sturgeon. And  
18 so it's something that caught our attention. We  
19 tried to fit these pieces together where we are a  
20 little unsure as to how the conclusions, that I'll  
21 get to in just a minute, were made in these  
22 particular areas.

23           So just again by way of illustration,  
24 what we're getting at is how these other  
25 activities and disturbances, or whether they were

1 considered or not considered when looking at  
2 cumulative effects due to sedimentation levels?  
3 Because there's more than just the project  
4 happening in the watershed, there's more than just  
5 in-stream and bank erosion that contributes to  
6 sedimentation in a watershed. So how are those  
7 other stressors or sources considered when making  
8 conclusions about the cumulative effects of  
9 sedimentation, and then the risk to sturgeon and  
10 sturgeon habitat.

11 So there are three concerns that we  
12 have identified and we'd just like to draw your  
13 attention to. The first, and I'm sort of  
14 repeating this one, but sedimentation caused by  
15 terrestrial disturbances in the watershed receives  
16 little to no attention beyond the project itself.

17 So what we sort of saw missing there  
18 was how these other activities in the watershed,  
19 which are identified in the Environmental Impact  
20 Statement, they are included, they are mentioned  
21 in the impact statement, how is sedimentation  
22 rates and processes from those types of  
23 disturbances considered, or is it even considered  
24 in the cumulative effects assessment? And if you  
25 do consider those, how then does that measure up

1 against the water quality guidelines that were  
2 identified in the impact statement, which, as I  
3 mentioned earlier, they were identified but not  
4 used to actually compare or evaluate the  
5 cumulative effects of sedimentation. It might  
6 change the significance determination.

7           The second point is the lack of models  
8 that we could find, the lack of maybe just more  
9 straightforward correlational analysis, or even  
10 looking to other watersheds, looking to what's  
11 been happening in the Saskatchewan, the Fraser,  
12 the Grand River, some of our northern watersheds.  
13 There's been some work done on this in the Yukon,  
14 as well in northern B.C., about changes to cleared  
15 areas, linear feature densities and sedimentation  
16 rates to aquatic environments, and the risk it  
17 poses to fish and fish habitat. So the Province  
18 of B.C. has some older guidelines in terms of  
19 future density and so on, where you see a  
20 cumulative risk occurring. So that's another area  
21 where we were looking for that information to help  
22 support the conclusion, but we weren't able to  
23 find or make that connection between those two  
24 things.

25           The third component, and I guess third

1 concern under this topic that we identified, and  
2 neither Jill nor myself are fish experts or fish  
3 biologists. But we noticed that in the table of  
4 VECs in chapter 7, sturgeon is not identified.  
5 And there may be various reasons for that, but I  
6 guess our concern is the connection wasn't made  
7 between sedimentation due to project activities  
8 and bank erosion. There was a model that was used  
9 for bank erosion, but sedimentation from other  
10 activities happening on the landscape and how that  
11 cumulatively could affect or pose a risk to  
12 sturgeon and sturgeon habitat. That's the  
13 connection that we were missing. Again, we're not  
14 fish biologists, but we're just looking to other  
15 studies and several other watersheds where this  
16 type of work occurred. And we do know that there  
17 were connections between disturbance, run-off,  
18 cleared vegetation, bank erosion, sedimentation,  
19 fish habitat and fish health. So, again, it's not  
20 something that's new, but we were looking for  
21 evidence from other watersheds, if not models, to  
22 support the conclusions that were being made.

23                   So those were two areas that we  
24 identified.

25                   A third area concerns the soundness of

1 the conclusions about cumulative effects. And  
2 this was an interesting one in the sense that  
3 there are a couple of cases where things just  
4 doesn't seem to add up, but I'll talk more about  
5 that toward the end of the presentation. I'll  
6 point us to a couple of examples here.

7           There were also some issues around  
8 precision and confidence in conclusions where it  
9 seemed that the analysis or some statements in the  
10 impact assessment seemed to suggest the opposite.

11           And just again, a few examples to  
12 illustrate what we mean by that. One concern,  
13 beaver population, and I don't know anything about  
14 beavers, beaver population, I just found it quite  
15 interesting that there was a lot of discussion in  
16 the impact statement, and as well as some of the  
17 information requests, the specific numbers escape  
18 me at the moment, but around the uncertainty  
19 around beaver populations, not knowing what's  
20 happening in the watershed, or even being able to  
21 compare it to other watersheds. And it was  
22 scientifically uncertain, and that's fine. You  
23 don't have data on everything all of the time,  
24 that's not the concern. The concern is that the  
25 conclusion is very confident, that there are no

1 measurable residual cumulative effects when we're  
2 dealing with beaver populations. And it just  
3 seems that, I'm not sure if that adds up to  
4 express so much uncertainty, yet make such a sound  
5 conclusion, implying that there has been something  
6 measured, when you say there is no measurable  
7 effect occurring. So that was one concern that we  
8 identified with the nature of the conclusions.

9 Another example, and a simpler one, I  
10 suppose, concerns wetlands and wetland habitat.  
11 And there was a fair bit of work done in the  
12 physical environment supporting volume, I believe,  
13 on wetland habitat, looking at how it's changed  
14 over time. But it did look into future, you know,  
15 probability modeling, let's say, of wetland change  
16 over time, which has been done in other areas.  
17 But our concern here is that, you know, the  
18 conclusion is fairly vague. And that's fine if  
19 there's some uncertainty involved, but I guess  
20 what we were looking for is, how was that  
21 conclusion reached? And we weren't able to go  
22 back into the technical volumes and find what we  
23 needed to support that conclusion.

24 A third example seems at odds to what  
25 cumulative effects are all about. It's looking at

1 intactness. And intactness was one example I  
2 highlighted earlier as being good. But the  
3 conclusion on it seems not in line with what  
4 cumulative effects are all about, where the  
5 project effects on regional intactness are adverse  
6 but small because the project footprint is an area  
7 where intactness is already low. So the reasoning  
8 being that intactness is already low, so a  
9 component is already degraded, we're going to have  
10 a small effect on that. But because it's already  
11 degraded, it's not cumulatively significant.  
12 That's just at odds with the principles that Jill  
13 had raised earlier about what cumulative effects  
14 are supposed to be focused on.

15           A final example that I'll raise here  
16 goes back to this diagram of the watershed and  
17 this notion of spatial separation. And I found  
18 that to be an interesting concept, especially when  
19 you're dealing with a watershed. Because if it's  
20 spatially separated, it's almost irrelevant if  
21 it's contributing to the same process. So you may  
22 have multiple projects or disturbances in a river  
23 system or in a watershed. The fact that their  
24 physical footprints don't overlap or they are  
25 spatially separated doesn't really mean anything,

1 if they are all causing, or if it's all a pathway  
2 leading to sedimentation in the river system.  
3 Whether they are two feet apart or two miles apart  
4 doesn't really matter, it's the process of  
5 accumulation. In this case, the sedimentation  
6 example that's being given.

7 So those were, I guess, some examples  
8 of the concerns that we had around the soundness  
9 of some of the conclusions around the futures part  
10 of this.

11 MR. WILLIAMS: Dr. Noble, before you  
12 leave this slide, you flagged what appear to be  
13 some limitations in the prospective analysis of  
14 the cumulative effects analysis. Are there  
15 specialized models and/or specialized teams who  
16 can carry out this type of analysis with regard to  
17 watersheds and river systems?

18 DR. NOBLE: There are groups that do  
19 this type of work. I mean, there's been some work  
20 done under -- and many of the panel members may be  
21 familiar with some of the LC's (ph) work. They  
22 have applied their models in the Ghost River  
23 watershed in Alberta, they have applied work in  
24 the northern Yukon, northern B.C., looking at how  
25 these types of disturbances affect sedimentation

1 and then sediment rates.

2                   There was a graduate student of ours a  
3 couple of years ago that used very simple  
4 regression modeling to look at these types of  
5 disturbances on the landscape and how they affect  
6 water quality. A gentleman, Hans Schreier, in the  
7 lower Fraser has a series of models that look at  
8 changes in surface disturbance and run-off changes  
9 in sedimentation loading to river systems. I  
10 mean, it's work that has been done. And, you  
11 know, models are available, they are not cause  
12 effect. It's information that we can use to  
13 identify potential change and a range of future  
14 conditions, which is really what we're looking for  
15 in a cumulative effects assessment.

16                   MR. WILLIAMS: Okay. Thank you.

17                   DR. GUNN: So now I'll just briefly  
18 run through our key findings with respect to the  
19 management phase of cumulative effects assessment  
20 before I turn it back over to Bram to talk about  
21 the significance of the Keeyask decision.

22                   So just as a reminder, following then  
23 the prospective analysis of cumulative effects, we  
24 would turn our attention to management. And this  
25 would involve two steps, the identification of

1 mitigation strategies, and then trying to  
2 characterize the significance of any residual  
3 cumulative effects. So the Keeyask Hydropower  
4 Limited Partnership concludes that there will be  
5 no significant adverse residual effects following  
6 some proposed mitigation for socio-economic  
7 effects. But ultimately the determination is  
8 there are no significant adverse effects.

9           The Hegmann guidance suggests that  
10 significance may appear to decrease as the  
11 perceived effectiveness of mitigation measures  
12 increases. So the more we believe in our  
13 mitigation measures and that they will be  
14 effective, the more temptation there is to believe  
15 that the significance of predicted effects is  
16 smaller.

17           And so we are kind of left to wonder,  
18 is too much confidence being placed in the  
19 proposed mitigation strategies for the direct  
20 effects of this project, given the highly  
21 disturbed state of the region to date.

22           And we have to ask that question  
23 within the context of statements made within the  
24 impact statement itself, then right within the  
25 cumulative effects portion of that statement. So

1 there are a number of statements made that suggest  
2 that not all predicted cumulative effects in the  
3 region will actually be minor.

4           So if we look at ecosystem diversity,  
5 what was said is that losses for all priority  
6 habitat types could be in the moderate magnitude  
7 range. For priority plant species, mosses are  
8 predicted possibly in the moderate range. For  
9 fish, members of the KCNs have stated that they  
10 expect a larger spatial and temporal effects than  
11 indicated in the technical reports.

12           So these kind of statements, you have  
13 to ask yourself, how then are there no significant  
14 adverse cumulative effects? And again, the  
15 Hegmann guidance says that good practice requires  
16 that we make conservative conclusions about  
17 significance. So we want to err on the side of  
18 caution if we can. We want to assume that an  
19 effect is going to be more or greater, or more  
20 significant than less.

21           The past record of development and  
22 resulting regional environmental disturbance in  
23 this region seriously challenges the notion that  
24 this project will not contribute to processes of  
25 adverse cumulative environmental change already in

1 motion, and that the incremental effects of the  
2 project would not be cumulatively significant. So  
3 just common sense. And then some of the  
4 statements that are made in the impact statement,  
5 all of that together suggests otherwise.

6           So we want to talk a little bit about  
7 masking or minimizing cumulative effects from a  
8 significance perspective. And again, there are  
9 two common ways that this happens. The first  
10 being by comparing the effects of one project to  
11 the effects of other projects and saying that,  
12 well, these effects are not as big as those,  
13 therefore they are relatively insignificant. And  
14 that mistake, or that occurrence happened quite a  
15 bit in the Bipole III case. And we have to remind  
16 the Commission that the focus really has to remain  
17 on the total effects, not my effects versus your  
18 effects, but what's the total effect.

19           There is another way that cumulative  
20 effects, the significance of them can be masked or  
21 minimized, and that's by broadening out the  
22 geographic scale of reference, such that local  
23 effects are -- the local significance is  
24 de-emphasized by emphasizing that they are  
25 regionally insignificant. So that does happen in

1 the Keeyask case where we say, we acknowledge that  
2 these more local or project specific effects are  
3 significant, yes, they are, but when we look to  
4 their regional scale, now they seem insignificant.  
5 But it doesn't actually mean that they are  
6 cumulatively insignificant.

7                   And just some statements to support  
8 that observation with regard to moose, the  
9 statement in the CEA is that small changes in  
10 habitat are expected compared to regional  
11 availability of that habitat. With regard to  
12 caribou for summer residence, the cumulative  
13 reduction in intactness is small compared to the  
14 regional study area. For beaver, it says -- I'll  
15 take the last portion of that statement first --  
16 it says the population will most likely continue  
17 to be depressed on the Nelson River and that that  
18 population is unlikely to successfully recolonize  
19 the shoreline, but the regional populations are  
20 highly likely to remain viable. So they probably  
21 won't remain viable in the short term or in the  
22 close range, but regionally they are viable so  
23 therefore those impacts are not significant.

24                   So what does all of this mean? So if  
25 we look now broadly across all of the key findings

1 we just presented to you, we find that Keeyask is  
2 relatively sound in terms of CEA principles, but  
3 comparatively weak on substance.

4           And we also find that the conclusions  
5 about no significant adverse cumulative effects is  
6 suspicious based on the following: That we find  
7 future temporal -- that the temporal future of  
8 CEA, those limits are often vague or unspecified.  
9 We found that the prospective analysis is often  
10 weak with little or no futures assessment. There  
11 at times is limited data or reasoning to support  
12 certain conclusions. We find that although data  
13 uncertainties are generally made explicit, which  
14 is good, there are conclusions that perhaps are  
15 overconfident and they imply that there was some  
16 sort of measurable prediction made. We found that  
17 some threshold are identified but then not used to  
18 assess cumulative effects significance. We find  
19 that at times, the regional study area seems to be  
20 used as justification to minimize cumulative  
21 effects. And we also find several statements in  
22 the impact statement and supporting volumes that  
23 indicate that there has been and will be effects,  
24 yet the overall conclusion is no significant  
25 adverse cumulative effects.

1                   So our recommendation in this case is  
2 exactly the same as the Clean Environment  
3 Commission's recommendation for the Bipole III  
4 project, and that is that good CEA is needed prior  
5 to Keeyask approval.

6                   And just to elaborate more on the  
7 significance of the Keeyask decision, Bram will  
8 conclude our presentation.

9                   DR. NOBLE: Okay. This is the last  
10 part of our presentation. Maybe you're happy to  
11 hear that. We were asked to look at process and,  
12 you know, the process and the practice of  
13 cumulative effects assessment in this case.

14                   This deviates a little from the  
15 process, but it's something that after looking at  
16 process, we sort of stepped back and thought,  
17 that's interesting. And we think it's really  
18 important. And maybe if what we have said so far  
19 is not considered important, I think this is  
20 really important.

21                   This is something that's beyond  
22 process that was followed, and this really speaks  
23 to, what does this mean in terms of any decision  
24 that we make about the Keeyask project when we're  
25 dealing with cumulative effects?

1                   And there are two things that really  
2 stood out to us after we had gone through  
3 everything and after we had drafted our report,  
4 and two things were really set out. One is that  
5 the regional environment in which Keeyask is being  
6 proposed has already been substantially altered by  
7 past development. So it's an environment that has  
8 already undergone some significant change.

9                   The second point that stood out to us  
10 is that the Keeyask project will be superimposed  
11 on an already disrupted environment.

12                   A third point which is not on the  
13 powerpoint is that these are not our statements.  
14 Okay. The impact statement says it's a  
15 substantially altered environment. The impact  
16 statement says the project will be superimposed on  
17 an already disrupted environment.

18                   So in looking through the impact  
19 statement and some of the technical volumes and  
20 some of the information in response to information  
21 requests, we just observed this, and these are  
22 just our observations in terms of the statements  
23 that were presented.

24                   The first one concerns aquatic  
25 environments. And the impact statement identifies

1 several places and on several occasions that the  
2 aquatic environment in this region has been  
3 substantially altered. Those effects are  
4 continuing today, still being experienced.

5           And the second point, you know, the  
6 Nelson River where the project is being  
7 constructed has been substantially altered by  
8 hydroelectric development project, effects of the  
9 Keeyask project will be superimposed on this  
10 disrupted environment. It mentions about the  
11 impacts of water quality and that the proposed  
12 Keeyask project will affect water quality.

13           The EIS is also quite clear on effects  
14 to the terrestrial environment. It states in  
15 chapter 7, the terrestrial environment to be  
16 affected by the project has already been  
17 substantially altered and the area continues to  
18 experience those effects today.

19           It also makes reference to priority  
20 habitat types that occur along the Nelson River,  
21 and makes a statement that it's been  
22 disproportionately affected by development along  
23 the Nelson River.

24           We also observe a number of statements  
25 about effects to the socio-economic environment

1 that are identified in the EIS, that the  
2 socio-economic environment in the area to be  
3 affected by the project has been substantially  
4 altered and that it continues to experience those  
5 effects today.

6 And the second point, saying a similar  
7 thing, that communities had been greatly affected  
8 and that it's been a profound effect on the  
9 socio-economic environment of those communities,  
10 changing way of life and culture.

11 A fourth area that we identified that  
12 again sort of pulled a number of these pieces  
13 together concerns effects to traditional use and  
14 culture. And the EIS identifies that, you know,  
15 people living in the area are no longer able to  
16 sustain their traditional ways of life due to  
17 alterations of hydroelectric development, effects  
18 to traditional territories, life altering changes.  
19 When we look at these impacts, these projects of  
20 the past taken together, it substantially  
21 adversely affected land, water and traditional way  
22 of life. So these are all statements that speak  
23 to substantial environmental and socio-economic  
24 and cultural effects that have already happened in  
25 the area. And the impact statement is quite

1 forthcoming in saying that there is another  
2 project being superimposed on this environment.

3           So I step back and we ask the  
4 question, what does that mean? What does  
5 substantial mean? Well, it's synonymous with  
6 significant, okay. So whether that's what was  
7 meant in the EIS or not, I don't know, but the  
8 words mean the same thing.

9           But I guess the point is that  
10 notwithstanding that the environment has been  
11 substantially altered, substantially changed,  
12 disproportionately affected and substantially  
13 adversely affected, the overall conclusion is that  
14 there is not going to be any cumulative effects  
15 here with regard to regulatory significance.

16           What it does, I was sort of left like  
17 this guy sitting on the question mark.

18           At another place in the EIS, it says,  
19 based on a regulatory assessment, adverse effects  
20 of the Keeyask are expected for all terrestrial  
21 VECs and expected to overlap with other future  
22 projects and activities.

23           So in my reading of this, it's simply  
24 a state of, I guess confusion is the word that  
25 were used, or it's all pointing towards

1 significant adverse environmental effects.

2 Now, I don't want to get caught in  
3 arguing that substantial or significant and  
4 regulatory significant have different meanings.  
5 There's a lot of people in the room who could  
6 argue that for a long time. But if we step back  
7 from that and let's think, okay, ecologically,  
8 what's being said here? It's being said that  
9 significant adverse effects have occurred. Okay.

10 No matter how you define regulatory  
11 significance, significant, substantially altered,  
12 it doesn't change these three things. The  
13 environment has been significantly affected. The  
14 Environmental Impact Statement confirms that. It  
15 continues to be affected today. The Environmental  
16 Impact Assessment confirms that. And the Keeyask  
17 project will be superimposed on this environment.  
18 The Environmental Impact Statement, based on just  
19 these observations, makes a pretty strong case for  
20 cumulative environmental effects.

21 Now, the challenge is that the  
22 analysis isn't there to support it one way or the  
23 other. But the conclusions and the statements  
24 that are made all point toward significant adverse  
25 effects, in our view.

1 MR. WILLIAMS: Before you leave this  
2 page, at the bottom of the page, you've got a  
3 citation from Duinker and Greig:

4 "Continuing the kinds and qualities of  
5 CEA currently undertaken may be doing  
6 more harm than good."

7 I wonder if you can elaborate on that?

8 DR. NOBLE: Sure. That comes from a  
9 paper by Peter Duinker and Lloyd Greig, who have  
10 been active in practice and research on cumulative  
11 effects assessments for some time. And they were  
12 speaking to how the cumulative effects assessment  
13 is playing out, how it's happening across the  
14 country. And I guess I put that statement in  
15 there to really bring this point up. We do these  
16 environmental assessments and we do these  
17 cumulative effects assessments all the time, and  
18 we never find anything significant. We never find  
19 any significant adverse environmental change  
20 happening. I'm generalizing in saying that. The  
21 typical outcome is, we can manage or mitigate  
22 this.

23 Hindsight is 20/20, and when you look  
24 back and see the change that has occurred, you  
25 really have to question, did we make the wrong

1 decisions? Was the process simply not done well,  
2 or do cumulative effects not matter? And I think  
3 somewhere we're sitting on one of those, or more  
4 than one of those three points.

5           And I put it there to emphasize, you  
6 know, the statements that are being made in this  
7 impact statement that it is a substantially  
8 altered environment. Will you equate that with  
9 significantly altered? Well, the words mean the  
10 same thing, so it's been substantially altered.

11           Impacts will occur. The EIS doesn't  
12 deny that. So we will make a conclusion, or the  
13 EIS will make a conclusion there are no cumulative  
14 effects occurring from this project.

15           So no cumulative effects have occurred  
16 from previous ones either, I guess, based on the  
17 previous assessments that had been done. It's  
18 just interesting how we end up with the current  
19 state each time.

20           So that's really what, you know,  
21 that's part of what Duinker and Greig are  
22 referring to in their, in that statement they  
23 make.

24           I'll conclude with this, and there's  
25 no scientific answer for this, it's a

1 philosophical question. I think it's an extremely  
2 important question. And I think for the panel,  
3 for the Commission, I think it's the key question.  
4 There are two views on this, and I think there are  
5 two polarized views. One is that we have  
6 experienced a lot of change in the Nelson sub  
7 watershed. And it's been substantially altered.  
8 Hydrologic alteration has already occurred. So  
9 any further incremental change, no matter how  
10 small or how large, it's already substantially  
11 altered. That's it. It doesn't matter, we'll  
12 just move forward with that. Okay. It's not a  
13 concern anymore. We have already altered it, not  
14 going to reverse it. We'll use this as a region  
15 designated for hydroelectric development.

16           So I'll be cynical and say, let's not  
17 do any more environmental assessments for these  
18 things, let's just do them, approve the projects.

19           Or the region has already been  
20 substantially altered, the EIS seems to suggest  
21 that very directly. They have been significant  
22 alterations. So anything else that happens, no  
23 matter how small must, therefore, be significant  
24 as well if it's already been significant. And  
25 let's really think carefully about the decisions

1 we make in terms of approving projects before we  
2 do, you know, a regional cumulative effects  
3 assessment, or unless we can really assure that  
4 this project will have some overall net positive  
5 contributions, and that means undoing some of what  
6 has been done in terms of substantial alterations.

7 So, two views, and I think really it  
8 comes down to these choices, regardless of what we  
9 think about the quality, the process, the number  
10 of maps, whether there were models or not, at the  
11 end of the day I think it comes to two key choices  
12 for Nelson with regards to cumulative effects.

13 Thanks.

14 MR. WILLIAMS: Thank you. Before we  
15 close our direct, in the supporting material to  
16 the oral evidence, if you could turn to the very  
17 last page? And this question can go to either  
18 Dr. Gunn or Dr. Noble, or perhaps the tag team.

19 Drs. Gunn and Noble, you are aware  
20 that during the course of this proceeding, there  
21 has been some criticism of the VEC-centred  
22 approach stemming from the Cree worldview. You  
23 are aware of that fact?

24 DR. GUNN: Yes.

25 MR. WILLIAMS: Yes. And you don't

1 have to directly refer to this excerpt, but I want  
2 you, I want certainly to direct your attention to  
3 this excerpt and ask you to elaborate upon it,  
4 while keeping in mind the tension between the Cree  
5 worldview and its criticism of a VEC-centred  
6 approach.

7 DR. GUNN: Well, a VEC-centred  
8 approach is standard good practice in impact  
9 assessment today in Canada and internationally.  
10 There is nothing wrong with taking the VEC-centred  
11 approach. It's there for a very good reason. It  
12 was put in place to focus attention on the actual  
13 stress that is being experienced by the  
14 environment, or environmental component. Rather  
15 than always focusing just on the source of change,  
16 it's putting our attention on the component that  
17 is undergoing the change or the stress. And it's  
18 also put into place to focus the assessment.  
19 Because we can't focus on everything. So the  
20 VEC-centred approach is good practice and will  
21 continue to be.

22 But that is not exclusive of the type  
23 of worldview or the ecosystem worldview that is  
24 espoused by the First Nations. Those two things  
25 are not incompatible. It's how the VEC approach

1 is used.

2 And in the case of cumulative effects  
3 assessment, when we're looking at a region and the  
4 types of changes that are going on there and the  
5 things we want to focus on, yes, it is definitely  
6 good practice to focus on any valued ecosystem  
7 component that is going to experience significant  
8 adverse direct effects of the project, absolutely.  
9 That should be then carried forward to the CEA,  
10 and those VECs should appear in the CEA process.

11 But, additionally, you can identify  
12 valued ecosystem components that are  
13 representative of an ecosystem more broadly. So  
14 perhaps you would identify as components of  
15 concern different types of ecosystem relationships  
16 or processes or functions. Those kind of things  
17 can also be designated as VECs.

18 And in the case of a large region and,  
19 you know, in the case of the Keeyask, you know,  
20 that could have also been done. Those things  
21 aren't mutually exclusive.

22 MR. WILLIAMS: Okay. Dr. Noble, do  
23 you have anything you want to add?

24 DR. NOBLE: No.

25 MR. WILLIAMS: I'm not sure what the

1 time is, Mr. Chair, but it might be opportune for  
2 a brief break.

3 THE CHAIRMAN: In a couple of minutes.  
4 I have a couple questions of clarification before  
5 we leave this presentation, and two of them I  
6 think are just words that are missing. On slide  
7 46, the second, view 2 says:

8 "Given that the region has already  
9 been substantially..."

10 Should the word "altered" be in there? When you  
11 read it out, you had the word altered.

12 DR. NOBLE: Yes.

13 THE CHAIRMAN: Okay. And earlier on,  
14 there's another one, either there's a word missing  
15 or I don't quite understand it. And this is on  
16 page 29. I think this was also you, Dr. Noble.  
17 The second bullet at the top of the page:

18 "Precision and confidence are  
19 presented in some conclusions that is  
20 supported by the analysis presented in  
21 the EIS."

22 DR. NOBLE: Apologies, that is not  
23 supported.

24 THE CHAIRMAN: I thought that might be  
25 the case.

1 DR. NOBLE: That makes a significant  
2 difference. Thank you.

3 THE CHAIRMAN: It does. And the other  
4 one is on page 18, and this was Dr. Gunn. When  
5 you talked about changes to the provincial  
6 economy, what do you mean?

7 DR. GUNN: I don't mean anything in  
8 particular. It's just that when you go to the  
9 Hegmann guidance and you think about how VECs  
10 could be defined more broadly, or how indirect  
11 effects could be thought about, that's one of the  
12 examples that appears there. So I'm simply  
13 repeating what's in the guidance.

14 THE CHAIRMAN: So this is just from  
15 Hegmann?

16 DR. GUNN: Yes.

17 THE CHAIRMAN: So you weren't making  
18 any specific reference to what that --

19 DR. GUNN: No, I was just sort of  
20 imagining what some of these other indirect effects  
21 could look like.

22 THE CHAIRMAN: Okay. Thank you very  
23 much.

24 Now, Mr. Williams, are you ready for  
25 other participants to begin the cross-examination?

1 MR. WILLIAMS: As ready as we'll ever  
2 be, Mr. Chair.

3 THE CHAIRMAN: As ready as you'll ever  
4 be. Well, at least you are not in the hot seat.

5 MR. WILLIAMS: Thank goodness.

6 THE CHAIRMAN: We'll take a 15 minute  
7 break. But just give me a moment here, I'm trying  
8 to remember the order.

9 Okay. So the proponent, the  
10 Partnership will begin the cross-examination, and  
11 then among the participants we'll start with  
12 Concerned Fox Lake Citizens, and then go down and  
13 back up to the top of the list. So first up after  
14 the proponent will be Fox Lake, and then  
15 Pimicikamak, and then to the top of the list.

16 So back in 15 minutes, which will be  
17 about ten after.

18 (Proceedings recessed at 10:56 a.m.  
19 and reconvened at 11:15 a.m.)

20 THE CHAIRMAN: Okay. We'll reconvene.  
21 Over to the partnership, whoever is taking the  
22 lead there.

23 MS. ROSENBERG: That will be me.

24 THE CHAIRMAN: Ms. Rosenberg?

25 MS. ROSENBERG: Thank you,

1 Mr. Sargeant.

2 Dr. Gunn -- Dr. Harriman/Dr. Gunn, and  
3 Dr. Noble, my name is Cheryl Rosenberg and I  
4 provide environmental law advice generally to  
5 folks in this province, and I am here this morning  
6 on behalf of the Keeyask Hydropower Limited  
7 Partnership.

8 Dr. Noble, I'd like to start with you  
9 and explore some of the comments that you made  
10 about significance.

11 I think we all understand that to  
12 achieve regulatory approval, a proponent is  
13 supposed to assess the environmental effects,  
14 including the cumulative effects of a proposed  
15 project, right? We are all in agreement on that?

16 DR. NOBLE: That's right.

17 MS. ROSENBERG: And if an effect is  
18 positive, well, that's great. And sometimes there  
19 are positive effects, right?

20 DR. NOBLE: Absolutely.

21 MS. ROSENBERG: But if the effects are  
22 adverse, the proponent is supposed to anticipate  
23 them and find ways to either avoid, minimize or  
24 offset them, correct?

25 DR. NOBLE: That's right.

1 MS. ROSENBERG: We have all agreed on  
2 that. And if there is any adverse effect  
3 remaining after the mitigation is applied, that's  
4 what we called a residual adverse effect. I think  
5 Dr. Gunn covered that this morning.

6 DR. NOBLE: Yes.

7 MS. ROSENBERG: And then we have to  
8 determine whether this residual adverse effect is  
9 significant, correct?

10 DR. NOBLE: Perhaps, yes, depending on  
11 the process that's followed, but often that's the  
12 case.

13 MS. ROSENBERG: I started out by  
14 talking about the achievement of regulatory  
15 approval, so what we're discussing here is the  
16 regulatory framework. Agreed?

17 DR. NOBLE: Agreed, yeah.

18 MS. ROSENBERG: So within that  
19 context, you are agreeing with me?

20 DR. NOBLE: Yes.

21 MS. ROSENBERG: Dr. Noble, I read your  
22 book.

23 DR. NOBLE: Thanks.

24 MS. ROSENBERG: And I bought it too,  
25 even better. And I think my friend Mr. Williams

1 gave the name of the book, but it is the text on  
2 environmental impact assessment that I am  
3 referring to.

4 Now, one of the things you point out  
5 in your book, Dr. Noble, is that one of the  
6 outcomes of environmental assessment should be the  
7 planning of what you call mitigation to the point  
8 of acceptability. And that's a quote that I  
9 pulled out from page 5, because I really enjoyed  
10 that turn of phrase. "Mitigation to the point of  
11 acceptability." Correct?

12 DR. NOBLE: I don't -- yes, if it's in  
13 there.

14 MS. ROSENBERG: It's in there. Do you  
15 have a copy of the book with you?

16 DR. NOBLE: I don't, no.

17 MS. ROSENBERG: Because I asked  
18 Mr. Williams to see if you would bring one. But  
19 if at any point you disagree with me, I'll hand  
20 you my copy.

21 DR. NOBLE: Okay.

22 MS. ROSENBERG: So I found that a very  
23 clear characterization also of what the  
24 partnership is trying to do, mitigation to the  
25 point of acceptability. And I wanted you to just

1 go with me on that.

2 So when we say a residual adverse  
3 effect, a residual adverse cumulative effect is  
4 not significant. What we mean I think, Dr. Noble,  
5 is that we have met that test, that we have  
6 mitigated to the point of acceptability. But my  
7 opinion is worthless, I'm looking for your comment  
8 on that.

9 DR. NOBLE: So was there --

10 MS. ROSENBERG: Do you want me to say  
11 it again?

12 DR. NOBLE: Was there a question or  
13 just looking for an opinion?

14 MS. ROSENBERG: Yes, I'm asking you to  
15 confirm that if the goal of the process is  
16 mitigation to the point of acceptability, as you  
17 put it in the book --

18 DR. NOBLE: Yes.

19 MS. ROSENBERG: -- when we say that  
20 the residual adverse cumulative effect that's left  
21 is not significant, that's precisely what we mean,  
22 we have mitigated to the point of acceptability?

23 DR. NOBLE: Okay.

24 MS. ROSENBERG: Are you agreeing with  
25 that?

1 DR. NOBLE: I'm not sure if you're  
2 asking me to agree with that's what you mean. If  
3 that's what you mean, then I agree with what you  
4 mean, certainly.

5 MS. ROSENBERG: Is that a correct  
6 implication from the principle you stated,  
7 mitigation to the point of acceptability?

8 DR. NOBLE: Yes, they seem to be  
9 saying the same thing.

10 MS. ROSENBERG: And it's a correct use  
11 of the words that are used in the EA process  
12 that's particular to the regulatory framework?

13 DR. NOBLE: Yes.

14 MS. ROSENBERG: Because Dr. Gunn did a  
15 very good job of explaining them. She explained a  
16 residual adverse cumulative impact, I think.

17 DR. NOBLE: Okay.

18 MS. ROSENBERG: And offsetting adverse  
19 effects to an acceptable point is a good thing.  
20 Agreed?

21 DR. NOBLE: Agreed.

22 MS. ROSENBERG: And the legal test for  
23 significance is about the residual adverse  
24 cumulative effects of the project by itself and in  
25 combination with past, existing and reasonably

1 foreseeable future projects. Correct?

2 DR. NOBLE: That's typically the  
3 approach, yes.

4 MS. ROSENBERG: I'm glad to hear you  
5 say that, because that's legal advice I have been  
6 giving for a long time. It's nothing more  
7 philosophical than that, correct?

8 And when regulators review the results  
9 of the EA, that's what they turn their mind to.  
10 Agreed?

11 DR. NOBLE: Agreed.

12 MS. ROSENBERG: Are the residual  
13 adverse cumulative effects within the range of  
14 acceptability? And I think I understood from  
15 things that people have been trying to teach me  
16 for a lot of years now, but I also read it in your  
17 book, that some people feel that the most  
18 important result of all of environmental impact  
19 assessment in the project specific reference is  
20 the planning that the proponent does to make the  
21 project environmentally acceptable?

22 DR. NOBLE: That's right.

23 MS. ROSENBERG: Because having these  
24 rules and requirements means that we do things in  
25 a careful way. We plan, and we prevent if we can?

1 DR. NOBLE: Ideally, yes.

2 MS. ROSENBERG: Because as you say on  
3 page 4 of your book, EIA, or environmental impact  
4 assessment should not be seen merely as a  
5 mechanism for preventing development that might  
6 generate potentially negative environmental  
7 effects. If this were the case, few developments  
8 would actually take place. Correct?

9 DR. NOBLE: That's absolutely correct.

10 MS. ROSENBERG: So will you agree with  
11 me then that the work that we are doing in the  
12 regulatory process isn't intended to set technical  
13 and procedural analyses aside, correct? Because  
14 you suggest that on page 17 of your report.

15 DR. NOBLE: Yes.

16 MS. ROSENBERG: We're not trying to  
17 set them aside, far from it. Because if that's  
18 the test, we don't need to have dozens of water  
19 resource engineers and aquatic biologists and  
20 toxicologists, and wildlife experts, and  
21 geoscientists, and terrestrial ecologists, and  
22 botanists, and social scientists, and traditional  
23 knowledge holders from four First Nations applying  
24 traditional knowledge, all of them spending a  
25 decade doing Environmental Impact Assessment,

1 correct? We don't do that just so set it all  
2 aside. Agreed?

3 DR. NOBLE: If you say so, sure. I  
4 can't see why I would disagree.

5 MS. ROSENBERG: Thank you.

6 All right. Let's move on to the  
7 subject of mitigation. I don't know which one of  
8 you wants to take that subject. I want to go --  
9 actually, you didn't refer to your paper, but I  
10 want to go to the fourth element, and you talked  
11 about it this morning as well, something that you  
12 said should be in a cumulative effects assessment.  
13 It's the fourth bullet on page 9 of your paper.  
14 You mentioned it this morning. In passing, you  
15 said, well, if you come to an affected  
16 environment -- I'll let you go to page 9 of your  
17 paper.

18 MR. WILLIAMS: Ms. Rosenberg, is it of  
19 the powerpoint or of their written --

20 MS. ROSENBERG: The paper.

21 MR. WILLIAMS: Okay.

22 MS. ROSENBERG: Which one of you wants  
23 to take the question?

24 DR. GUNN: What is the question?

25 MS. ROSENBERG: On mitigation.

1 DR. GUNN: We'll decide once we hear  
2 the question.

3 MS. ROSENBERG: I'm looking at the  
4 fourth bullet on page 9. It starts out saying:

5 "Management designed to identify  
6 appropriate mitigation and monitoring  
7 actions for those components subject  
8 to cumulative effects."

9 And that, I take it, is something you  
10 consider to be a key element?

11 DR. GUNN: Yes.

12 MS. ROSENBERG: And then I got to page  
13 35 of your report. I don't know if you want to go  
14 there, I can read you the section. And you say:

15 "According to chapter 7, the Keeyask  
16 Hydropower Limited Partnership does  
17 not anticipate any cumulative effects  
18 of the project. And that is presumably  
19 why both mitigation strategies for  
20 cumulative effects and the  
21 significance determination specific to  
22 CEA are absent from the EIS."

23 There is a lot of content in that  
24 sentence, but right now I want to focus on the  
25 mitigation strategies.

1 DR. GUNN: Okay.

2 MS. ROSENBERG: Are you still taking  
3 the questions?

4 DR. GUNN: I think so. I'll see what  
5 you ask next I guess.

6 MS. ROSENBERG: So after reading the  
7 EIS, you concluded that the Keeyask cumulative  
8 effects assessment does not provide for mitigation  
9 strategies?

10 DR. GUNN: No. The Keeyask  
11 Environmental Impact Statement clearly provides  
12 plenty of mitigation and management strategies for  
13 direct effects that are anticipated to the VECs.

14 MS. ROSENBERG: For direct effects?

15 DR. GUNN: Correct, for direct  
16 effects, yes.

17 MS. ROSENBERG: Because that's your  
18 position, that we didn't do, or the partnership  
19 didn't do something other than a direct effects  
20 assessment?

21 DR. GUNN: Well, there is no  
22 discussion at all in chapter 7 of any management  
23 plans for cumulative effects, other than related  
24 to the socio-economic cumulative effects that are  
25 anticipated. And then once those management

1 measures were discussed, the eventual conclusion  
2 was that there would not be significant adverse  
3 socio-economic cumulative effects either.

4 MS. ROSENBERG: So I think I  
5 understand you. You're talking about content you  
6 read in chapter 7. And if it wasn't in chapter 7,  
7 you concluded that there were no management --

8 DR. GUNN: I'm talking about your  
9 question about whether or not there were  
10 mitigation measures proposed.

11 MS. ROSENBERG: For cumulative  
12 effects?

13 DR. GUNN: For cumulative effects,  
14 there were none discussed in the chapter 7 CEA,  
15 which there probably should have been if that was  
16 the chapter that talked about the CEA process.

17 MS. ROSENBERG: It's like you turn  
18 your attention to information request CEC round 1,  
19 CAC 8. It was a Consumers Association question.

20 DR. GUNN: Okay. I don't have that in  
21 front of me.

22 MS. ROSENBERG: I'd be glad to put a  
23 copy in front of you.

24 DR. GUNN: Sure.

25 MS. ROSENBERG: Now, I don't know who

1 wrote this question, but it was a Consumers  
2 Association question. So, I don't know, do you  
3 need a moment?

4 DR. GUNN: This was Bram's question.

5 MS. ROSENBERG: Why don't I give you a  
6 moment then to read it through. I don't think  
7 it's fair. I'm going to ask you a series of  
8 questions about it and I think you need time.

9 DR. GUNN: Okay. Well, I probably  
10 wouldn't answer questions about an information  
11 request that my partner wrote.

12 MS. ROSENBERG: I'd be glad for you to  
13 switch the mic.

14 DR. GUNN: Bram would respond to his  
15 own work.

16 MS. ROSENBERG: Let me know when  
17 you're ready.

18 DR. NOBLE: Okay.

19 MS. ROSENBERG: Okay. So your  
20 question was about cumulative impacts to water  
21 quality, and with a particular reference to  
22 sedimentation in the regional study area caused by  
23 Keeyask, in combination with other terrestrial  
24 disturbances. And some of the ones you listed  
25 were forestry, correct, stream crossings, for

1 example, Bipole III, access roads and trails.

2 And it was your question, Dr. Noble?

3 DR. NOBLE: I believe so.

4 MS. ROSENBERG: So your question  
5 pointed out that some of these disturbances are  
6 outside the study area but they could affect the  
7 same aquatic processes. That was the premise of  
8 your question?

9 DR. NOBLE: Um-hum.

10 MS. ROSENBERG: Okay. Now I'm going  
11 to read you portions of the answer, and it's  
12 pretty long, so if you want to follow along, I  
13 think I highlighted some copies but I don't think  
14 you actually got the copy that I highlighted, for  
15 which I apologize. But the paragraph that I am  
16 looking at is in the middle of page 2, and it  
17 starts with the sentence, "The Keeyask project."  
18 Do you see that?

19 DR. NOBLE: Yes, I do.

20 MS. ROSENBERG: Okay.

21 "The Keeyask project will include  
22 comprehensive erosion and sediment  
23 control measures to minimize the  
24 erosion of terrestrial areas where  
25 project activities occur."

1 And then it goes on and tells you that the point  
2 of that is to minimize and prevent sediment laden  
3 run-off from entering the water courses; correct?

4 DR. NOBLE: That's right.

5 MS. ROSENBERG: And then the answer  
6 goes on to refer to the draft environmental  
7 protection plans, and it talks about plans for the  
8 construction of the generating station and the  
9 south access road, and that these specifically  
10 address erosion and sediment control. And refers  
11 you to section 5.11 in each of those plans,  
12 correct?

13 DR. NOBLE: Correct.

14 MS. ROSENBERG: And they go on and  
15 describe the regular inspection and the  
16 maintenance of control measures, and a reference  
17 to site specific conditions. And it lists all of  
18 the basic erosion and sediment control measures  
19 that are standard to be taken and that could be  
20 taken, correct?

21 DR. NOBLE: Correct.

22 MS. ROSENBERG: And then it says:  
23 "With the implementation of erosion  
24 and sediment control measures, the  
25 impact of land based project

1 activities are not anticipated to  
2 affect sedimentation in the Nelson  
3 River in addition to the predicted  
4 construction and operation effects  
5 discussed in the response to EIS  
6 guidelines regarding in-stream work  
7 and reservoir creation."

8 And that refers you to section 6.3.8 of the  
9 report, correct?

10 DR. NOBLE: That's correct.

11 MS. ROSENBERG: So if you wanted to  
12 know more than what was in chapter 7, you needed  
13 to go look at chapter 6, correct?

14 DR. NOBLE: I did read chapter 6.

15 MS. ROSENBERG: Okay, I'm glad to hear  
16 it.

17 DR. NOBLE: And then can I comment?

18 MS. ROSENBERG: Go ahead, comment.

19 DR. NOBLE: I did read chapter 6, and  
20 I did read chapter 7, and I did read the in-stream  
21 erosion model technical document, and I did read  
22 the aquatic and terrestrial habitat supporting  
23 volumes around sedimentation. And my comment in  
24 the presentation and the question about cumulative  
25 effects is, I agree that there are mitigation and

1 management measures put in place. We hope they  
2 are going to be. One would expect and anticipate  
3 them to be effective for the project source  
4 terrestrial disturbance activity.

5           The EIS also identifies elevated  
6 sedimentation levels within the river system for  
7 10 to 15 years above guidelines. My question  
8 about cumulative effects was processes of other  
9 activities happening on a landscape, not  
10 necessarily the projects, but other disturbances  
11 affecting the same aquatic component. That was my  
12 question around cumulative effects and whether  
13 that affects significance.

14           MS. ROSENBERG: And you would expect  
15 that all of the other activities that are  
16 occurring now, or are likely to occur in the  
17 future, because that's the test, likely,  
18 reasonably foreseeable; right?

19           DR. NOBLE: That would affect the same  
20 component, yes.

21           MS. ROSENBERG: That would affect the  
22 same component, and you would expect all of those  
23 to have been taken into account, correct?

24           DR. NOBLE: Yes. And there is  
25 methodologically a way to do so, because it's not

1 about understanding the particular operations of  
2 let's say forestry or a mine, it's simply looking  
3 at a disturbed area. And this is where a  
4 scenario-based approach to cumulative effects  
5 comes into play. We may not know exactly whether  
6 the forest industry or road and trails will  
7 increase by zero percent or 500 percent, but we  
8 can use some pretty basic metrics. The EIS  
9 contains those metric, linear disturbance, core  
10 area habitat, were identified in the physical  
11 environment supporting volume.

12 We know the relationship between those  
13 disturbance patterns and sediment loading and  
14 watersheds. So it's those types of stressor-based  
15 metrics which are identified, that we are  
16 suggesting those are the types of things that need  
17 to be considered in order to understand the  
18 cumulative effects of sedimentation.

19 MS. ROSENBERG: So let me drop back  
20 for a minute, because I think what you heard you  
21 saying was that you understood that there were  
22 appropriate mitigation measures planned for the  
23 project activities; correct? You reviewed those  
24 and you found them satisfactory?

25 DR. NOBLE: Yes. I mean, let me back

1 that up. Whether these are appropriate, I'm  
2 not -- I can't speak to the specifics of the  
3 engineering design, that's not my field of  
4 expertise. But, yes, I did read that mitigation  
5 measures are proposed and they are expected to  
6 minimize any potential for erosion or additional  
7 sedimentation from land-based activities  
8 associated with the project.

9 MS. ROSENBERG: And you understand  
10 those same engineers who have studied the effects  
11 of erosion and understand what happens in the  
12 waterways, and proposed those mitigation measures  
13 and have applied those mitigation measures in  
14 other projects, you would think then that they  
15 understand also the success of them and the impact  
16 of them as they proceed through the management of  
17 the various projects that Manitoba Hydro operates;  
18 correct? You're not questioning their judgment?

19 DR. NOBLE: No, I'm not questioning  
20 their judgment on the successfulness of the  
21 mitigation measures for the terrestrial components  
22 of the Keeyask project that's being identified. I  
23 don't think anywhere we question their  
24 qualifications or the reasonableness of the  
25 mitigation measures. What we're questioning is

1 the conclusion around cumulative effects with  
2 regard to sedimentation without considering the  
3 other activities that are not associated with  
4 Keeyask on the landscape that are affecting the  
5 same component.

6 MS. ROSENBERG: What would those  
7 activities be, sir?

8 DR. NOBLE: Any other type of surface  
9 disturbance.

10 MS. ROSENBERG: Did you identify some?

11 DR. NOBLE: Road and trail densities,  
12 cleared areas, other types of disturbances to  
13 riparian habitat or buffer zones. They may not be  
14 associated with particular development activity,  
15 but the changes that occur on the landscape, some  
16 of them may be associated with particular types of  
17 industries, but this is where the retrospective  
18 and trend analysis identifies how those components  
19 have changed over time. We know that based on the  
20 EIS, and I guess concern we had was why was that  
21 not projected forward into the future to help  
22 understand the additional cumulative effects of  
23 sediment loading? So we're not questioning the  
24 mitigation measures or the effectiveness, we're  
25 just questioning the conclusion that's made about

1 it when that part of the cumulative effects  
2 assessment wasn't done.

3 MS. ROSENBERG: Are you suggesting  
4 then that there were projects in the past, or  
5 projects in the present, or projects in the  
6 future, that should have been contemplated, that  
7 their effects should have been contemplated in  
8 combination with the sedimentation that you could  
9 expect as a result of this project?

10 DR. NOBLE: What I'm saying is that  
11 there are disturbances that should have been  
12 considered. And they may be projects, they may  
13 simply be disturbances not associated with  
14 regulatory decisions. But what I am saying is  
15 that information is available in the EIS, it  
16 wasn't applied in a futures analysis for the  
17 cumulative effects assessment.

18 MS. ROSENBERG: And if I tell you,  
19 sir, that the engineers who performed this  
20 analysis and the aquatic biologists who performed  
21 this analysis absolutely, absolutely believe that  
22 their analysis took into effect the possible  
23 contributions to sedimentation of every single  
24 feature that actually exists today, that has  
25 existed and contributed to the historical

1 conditions on sedimentation, and that is likely to  
2 exist in the future affecting the quality in the  
3 Nelson River, would you accept then that that is  
4 outside your area of expertise?

5 DR. NOBLE: I mean, certainly sediment  
6 modeling is outside my area of expertise.

7 MS. ROSENBERG: Thank you. I'm going  
8 to move on then.

9 DR. NOBLE: Is it okay if I continue  
10 to answer the question?

11 THE CHAIRMAN: Yes.

12 DR. NOBLE: Sediment modeling is  
13 outside my area of expertise, and we weren't  
14 looking for examining or critiquing the sheer  
15 erosion model that was presented in the technical  
16 report. I don't understand the sheer erosion  
17 model as presented in the tech report, it's not  
18 something I know a whole lot about. But we were  
19 looking for what's been done in other watersheds  
20 that's looking at these types of disturbance and  
21 activities for cumulative effects. And it's those  
22 types of models and processes where we can make  
23 those conclusions. We simply weren't able to find  
24 them. I am not saying they weren't done or they  
25 don't exist, but we weren't able to find them in

1 terms of supporting evidence for the cumulative  
2 effects assessment or future development in those  
3 scenarios.

4 MS. ROSENBERG: You continue to talk  
5 about disturbances, and I hear you, but I haven't  
6 heard you name them. So I'm going to move on.

7 DR. NOBLE: I think I did name.

8 MS. ROSENBERG: You named forestry.

9 DR. NOBLE: And I named linear  
10 features, transmission lines. Well, we were here  
11 not too long ago for the Bipole, so we talked  
12 about types of terrestrial disturbances there as  
13 well, and river crossings. I mean, again, the  
14 metrics are in the EIS.

15 MS. ROSENBERG: Do you agree with me,  
16 sir, that in order for any of those projects to  
17 contribute to sedimentation that is relevant in  
18 this reach of the river affected by the Keeyask  
19 project, that there would have to be some pathway  
20 for interaction?

21 DR. NOBLE: That's right.

22 MS. ROSENBERG: You put up a pathways  
23 analysis slide at the top, right, and you looked  
24 at the various pathways. What pathway are you  
25 positing?

1 DR. NOBLE: Sorry?

2 MS. ROSENBERG: What pathway are you  
3 positing for this interaction?

4 DR. NOBLE: Just using the watershed  
5 diagram?

6 MS. ROSENBERG: Yes, the watershed  
7 diagram.

8 DR. NOBLE: It is sort of a  
9 hypothetical example of surface run-off.

10 MS. ROSENBERG: Sure. So you would  
11 think surface run-off has to be taken into  
12 account?

13 DR. NOBLE: That would be one  
14 variable, yeah.

15 MS. ROSENBERG: And you would think  
16 that the run-off or the contributions of small  
17 streams into the main stem of the Nelson would  
18 have to be taken into account?

19 DR. NOBLE: Sure.

20 MS. ROSENBERG: And you would think  
21 that sediment travelling from say the  
22 contributions of projects upstream of Keeyask  
23 would have to be taken into account?

24 DR. NOBLE: Sure.

25 MS. ROSENBERG: And you would think

1 that downstream of Keeyask, you'd have to know  
2 what's the impact further downstream of any  
3 contributions by the accumulated effect at that  
4 point and further downstream, correct?

5 DR. NOBLE: Okay.

6 MS. ROSENBERG: Agreed?

7 DR. NOBLE: Agreed.

8 MS. ROSENBERG: Are there any other  
9 pathways that you could think of?

10 DR. NOBLE: No.

11 MS. ROSENBERG: Those would be it?

12 DR. NOBLE: Yeah, I was only thinking  
13 of types of disturbance on the landscape where it  
14 would result in increased sediment loading. And  
15 the primary pathway is through surface run-off,  
16 yes.

17 MS. ROSENBERG: Well, just as an  
18 example, I know you have conceded a point, but I'm  
19 going to have a copy of the DFO operational  
20 statement for working in water around T lines. I  
21 don't know if you're familiar with that. Do you  
22 have it? Is it in the package you were just  
23 handed?

24 DR. NOBLE: No, I don't have it.

25 MS. COLE: It was attached to the IR.

1 MS. ROSENBERG: Would you like to take  
2 a look at it?

3 DR. NOBLE: Okay, I see it.

4 MS. ROSENBERG: Because we're talking  
5 about contributions of sediment and such. Do you  
6 see that statement? Are you familiar with it?

7 DR. NOBLE: It doesn't look familiar.

8 MS. ROSENBERG: No? Okay. Well, let  
9 me help you out then. That's the operational  
10 statement that the Department of Fisheries and  
11 Oceans hands out to people, and they say if you  
12 follow this statement, this is one place where you  
13 don't have to come to us for what people in the  
14 business call a HADD permit. A HADD permit, sir,  
15 is not easy to get, but this is a place where you  
16 don't need a HADD permit.

17 DR. NOBLE: Okay.

18 MS. ROSENBERG: If you follow these  
19 rules and you comply with them, then you don't  
20 need the HADD permit. And do you see what the  
21 rules are about?

22 DR. NOBLE: In this shaded box?

23 MS. ROSENBERG: Yeah, what are they  
24 about?

25 DR. NOBLE: Okay, yes.

1 MS. ROSENBERG: They are all about  
2 working around water when you are building things  
3 like T lines, right.

4 DR. NOBLE: Yes, for overhead lines.

5 MS. ROSENBERG: Sure, and there are  
6 similar statements for other things too.

7 DR. NOBLE: Um-hum.

8 MS. ROSENBERG: I thought as well it  
9 would be instructive here to just look at a  
10 photograph, and this is in one of our project  
11 files. If we can tee up a photograph and you can  
12 see a photograph of what happens when a T line is  
13 built and maintained with regard to these rules.

14 Really, what you're concerned about is  
15 the interactions of all these other projects with  
16 this project, and I think it's helpful to look.  
17 We're just going to take a look.

18 And what our engineers want you to see  
19 from this, sir, can you see clearly?

20 DR. NOBLE: I can see, yes.

21 MS. ROSENBERG: You can barely see the  
22 T line itself, but the poles for it are on either  
23 side, and I think what they'd like you to see is  
24 the way the vegetation is maintained right down to  
25 the waters edge.

1 DR. NOBLE: Um-hum.

2 MS. ROSENBERG: And they'd also like  
3 you to see how wide this river is and how  
4 different it is from the rivers in Ontario and  
5 some of the ones you are familiar with in B.C.  
6 where you've been studying the effects of  
7 forestry, quite a different environment. Point  
8 taken?

9 DR. NOBLE: Yeah. I can certainly see  
10 from that section that it's, I don't know the  
11 scale of that diagram, but it correlates with the  
12 movement of water from --

13 MS. ROSENBERG: That's a fair comment.  
14 That's a fair comment.

15 All right. I just want to take a few  
16 minutes on understanding the document,  
17 understanding the EIS, because I appreciate that,  
18 you know, when you have had a project team working  
19 on something for 10 years, and then they try to  
20 take 10 years worth of analysis and sometimes much  
21 longer than that, and distill it down into a  
22 document, and then you folks come and try to read  
23 the document, there could be some difficulties in  
24 that understanding process.

25 So let's take a few minutes on that.

1 And I wonder if you have had a chance to review  
2 CEC round 1 CEC 20? And that is a summary of all  
3 of the cumulative effects that the Commission  
4 asked us to put together because the Commission  
5 needed help too.

6 Are you familiar with that or do you  
7 want us to give you a copy?

8 DR. NOBLE: I would have reviewed it.

9 MS. ROSENBERG: I'm sorry?

10 DR. NOBLE: I would have reviewed it,  
11 but I don't have a copy.

12 MS. ROSENBERG: But you don't have a  
13 copy in your hand. I'm going to have one handed  
14 to you.

15 DR. NOBLE: Okay, sure. Thanks.

16 MS. ROSENBERG: It's actually page 6,  
17 if you don't mind?

18 DR. NOBLE: Okay.

19 MS. ROSENBERG: All right. And on  
20 page 6, it tells you that chapter 6 of the EIS  
21 provides you with an assessment of the effects of  
22 building and operating the Keeyask generation  
23 project, in combination with the effects of the  
24 past and current projects and activities.

25 And chapter 6 identifies the key

1 mitigation measures, and it assesses the  
2 regulatory significance of identified residual  
3 adverse cumulative effects on each VEC as a result  
4 of the project. Correct? All of that was in  
5 chapter 6?

6 DR. NOBLE: That's right, yes.

7 MS. ROSENBERG: Chapter 7 simply adds  
8 in the additional interactions that would have to  
9 be taken into account in contemplation of future  
10 activities?

11 DR. NOBLE: That's right, yes.

12 MS. ROSENBERG: And I wondered if  
13 you'd take a look at the concluding statement in  
14 chapter 10?

15 DR. NOBLE: Sorry, in which?

16 MS. ROSENBERG: Chapter 10 of the EIS.  
17 That is not in front of you. I'll just read it to  
18 you. Okay. It says:

19 "The Keeyask generation project will  
20 cause numerous and widespread  
21 environmental and social effects, some  
22 of which would have had the potential  
23 to be significant. However, using  
24 past experience, Aboriginal  
25 traditional knowledge, and leading

1 scientific and engineering techniques,  
2 the Keeyask Hydropower Limited  
3 Partnership has mitigated, remediated,  
4 and/or compensated for these effects  
5 such that the partnership is confident  
6 the project should proceed."

7 And do you agree with me that was the final  
8 statement?

9 DR. NOBLE: I agree.

10 MS. ROSENBERG: And some of those  
11 effects were taken into account with the sorts of  
12 mitigation, the successful mitigation, the proven  
13 mitigation such as I showed you in the DFO  
14 operational statement. And some of it was as  
15 complicated as set out in the adverse effects  
16 agreements that were negotiated with each of the  
17 Cree Nations. Agreed?

18 DR. NOBLE: Okay.

19 MS. ROSENBERG: So I'd like an  
20 acknowledgment from you, sir, that the partnership  
21 did anticipate adverse cumulative effects?

22 DR. NOBLE: It's written throughout  
23 the EIS.

24 MS. ROSENBERG: So we are agreed on  
25 that.

1 DR. NOBLE: Let me phrase it  
2 carefully. I do agree the partnership does  
3 identify in numerous places adverse cumulative  
4 effects throughout the impact statement, in  
5 addition to in chapter 10.

6 MS. ROSENBERG: And they did provide  
7 for mitigation strategies.

8 DR. NOBLE: As is required, yes.

9 MS. ROSENBERG: Many many many  
10 mitigation strategies.

11 DR. NOBLE: Multiple.

12 MS. ROSENBERG: And they did come to a  
13 conclusion.

14 DR. NOBLE: Somehow for some effects,  
15 they did. Our concern on the future prospective  
16 analysis was how they got there.

17 MS. ROSENBERG: Dr. Noble, at this  
18 point, I think we're talking about two completely  
19 different things. You're talking about future  
20 prospective analysis, correct?

21 DR. NOBLE: Yes, which is what a  
22 cumulative effects assessment is really all about.

23 MS. ROSENBERG: I agree with you.

24 DR. NOBLE: Okay.

25 MS. ROSENBERG: Not that my opinion is

1 relevant.

2 DR. NOBLE: It's just nice that you  
3 agree.

4 MS. ROSENBERG: But Mr. Hegmann agrees  
5 with you, too.

6 So did you think that you were going  
7 to find all of that in chapter 7?

8 DR. NOBLE: No, which is why I read  
9 the technical reports in chapter 6 and other  
10 chapters of the EIS.

11 MS. ROSENBERG: All right, that's a  
12 relief.

13 DR. NOBLE: Okay.

14 MS. ROSENBERG: So then I'd like to  
15 actually, at this point, revisit the conclusion  
16 you state on page 35 of your report, and I'd like  
17 you actually to go there now, please. And I'm  
18 looking at the second paragraph under D,  
19 Cumulative Effects Management Measures, and here  
20 are your words:

21 "According to chapter 7, the KHLP does  
22 not anticipate any cumulative effects  
23 of the project. And that is  
24 presumably why both mitigation  
25 strategies for cumulative effects and

1 a significance determination specific  
2 to CEA are absent from the EIS."

3 Those were your words, sir.

4 DR. GUNN: Those were my words.

5 MS. ROSENBERG: Those are your words,  
6 ma'am?

7 DR. GUNN: Yes, those are my words,  
8 ma'am.

9 MS. ROSENBERG: Are you willing now to  
10 take them back?

11 DR. GUNN: I do think that there were  
12 significant effects anticipated for the project,  
13 yes. But when you step back and look at that from  
14 the perspective of a cumulative effects assessment  
15 process, it seemed to me that it was clear that no  
16 significant adverse cumulative effects were  
17 anticipated for terrestrial or for aquatic. They  
18 were anticipated in chapter 7, yes, for  
19 socio-economic, but then there were further  
20 mitigation measures proposed that would have  
21 accounted for those. And so the final conclusion  
22 there as well was no significant cumulative  
23 adverse effects. That was my interpretation of  
24 the material provided in the EIS. That was my  
25 best interpretation.

1 MS. ROSENBERG: Let's start with the  
2 last thing you said, that the conclusion at the  
3 end of the day was no significant residual adverse  
4 cumulative effects.

5 DR. GUNN: Yes.

6 MS. ROSENBERG: We are agreed on that?

7 DR. GUNN: Yes.

8 MS. ROSENBERG: Now I want to look  
9 back again at the sentence on page 35 because,  
10 ma'am, that's not what it says.

11 DR. GUNN: Perhaps I was tired writing  
12 the sentence and maybe there's a word missing or  
13 something, because I'm not -- like the conclusion  
14 that I drew is what I just explained to you. So  
15 the concern that you have is that it says it  
16 doesn't anticipate any cumulative effects to the  
17 project, well --

18 MS. ROSENBERG: That's clearly wrong,  
19 isn't it?

20 DR. GUNN: I suppose that statement is  
21 not clearly stated. I would say that it's not  
22 clearly stated, correct.

23 MS. ROSENBERG: And it's clearly  
24 wrong, that there are no mitigation strategies  
25 proposed for cumulative effects.

1 DR. GUNN: But it's the ordering of  
2 those things in the process. So if you didn't  
3 find that there were going to be any significant  
4 adverse cumulative effects, then there is no  
5 reason to propose management or mitigation  
6 strategies for those, because there are none. And  
7 there is no need then to revisit significance  
8 determination because you didn't find any. So  
9 that is what I was postulating. Because none were  
10 ultimately anticipated, then therefore there  
11 weren't any further management or mitigation  
12 strategies proposed and there was no repeat of the  
13 significance exercise for cumulative effects.  
14 That's what I was talking about.

15 MS. ROSENBERG: I'm glad you used the  
16 word postulating. Because the work of the  
17 Partnership wasn't based on postulating, it was  
18 based on their actual assessment of both the  
19 adverse cumulative effects and the likely success  
20 of the mitigation measures that they were  
21 proposing, agreed? It wasn't a matter of  
22 postulation.

23 DR. GUNN: I don't know what they were  
24 doing, but I would agree, yeah.

25 MS. ROSENBERG: All right. Now before

1 we leave the point of mitigation, you made a  
2 statement this morning, and it was actually in the  
3 report too, and it's another aspect of what you  
4 said in point 4. I'm back to page -- forgive me,  
5 help me out. Where are those four principles that  
6 you say have to be included? Page 9, thank you.  
7 I'm still on point D. There's a middle sentence  
8 in there about understanding how much more change  
9 in an effective environmental component is  
10 tolerable or acceptable and that being key to the  
11 significance determination. I'm not going to ask  
12 you questions about that because that is the  
13 Partnership's position exactly. Okay?

14 DR. NOBLE: Um-hum.

15 MS. ROSENBERG: Now, let's go on and  
16 look at the last premise. You say:

17 "If a VEC is already unhealthy or  
18 regional conditions are already  
19 unsustainable, the management efforts  
20 must focus on rectification or  
21 restoration of conditions."

22 Now, I know that was Dr. Noble who talked about  
23 that. So do you want me to ask him these  
24 questions?

25 DR. GUNN: Just go ahead and ask the

1 question.

2 MS. ROSENBERG: Just as a  
3 clarification, you say must, but I think that's a  
4 statement of your opinion, correct? You're not  
5 saying that's a regulatory criteria.

6 DR. NOBLE: No, it's not a regulatory  
7 criteria.

8 MS. ROSENBERG: I'm just wondering  
9 whether Mr. Williams sent you the slides on  
10 sturgeon management that Shelley Matkowski  
11 presented here two weeks ago.

12 DR. NOBLE: Yes, I believe so. I did  
13 receive something on sturgeon management. Whether  
14 it was that exact presentation, I'm not 100  
15 percent sure.

16 MS. ROSENBERG: Okay, cool.

17 MR. WILLIAMS: Ms. Rosenberg, I have  
18 no objection if you want to show him the slide and  
19 see if he's familiar with it.

20 MS. ROSENBERG: You know, I don't  
21 think that's necessary. If you are familiar with  
22 just the arc of what was presented, I think that's  
23 enough. I'm going to give you some of the facts.  
24 I'll just give you these facts. And you don't  
25 have to accept them now, you can accept them just

1 subject to check.

2 DR. NOBLE: Okay.

3 MS. ROSENBERG: You can just assume  
4 that I'm talking of them correctly as they were  
5 and then afterwards if we find out your answer  
6 doesn't stick --

7 DR. NOBLE: I'll believe you.

8 MS. ROSENBERG: Awesome. All right.  
9 So I think some of what was demonstrated in that  
10 presentation is that it's clear today, right now,  
11 without Keeyask, that sturgeon are already at low  
12 levels in the region. Do you remember that?

13 DR. NOBLE: I remember that.

14 MS. ROSENBERG: And they are already  
15 unsustainable in some areas, like Stephens Lake.  
16 Do you recall what that --

17 DR. NOBLE: Yes.

18 MS. ROSENBERG: Okay. And the  
19 "management" proposed by the Partnership is  
20 actually about delivering net positive  
21 contributions to sturgeon in the reach of the  
22 river that will be affected by Keeyask. That's  
23 what the management is aimed at.

24 DR. NOBLE: Okay.

25 MS. ROSENBERG: Okay. But the

1 Partnership is also proposing measures relating to  
2 sturgeon in parts of the river that will not be  
3 affected by Keeyask. Did you recall that from the  
4 presentation notes?

5 DR. NOBLE: I don't recall exactly but  
6 fair enough.

7 MS. ROSENBERG: If I tell you that  
8 that's what it says, you are okay with that?

9 DR. NOBLE: I'm okay with that.

10 MS. ROSENBERG: All I want you to do  
11 then is comment if all of those facts I just gave  
12 you are true, does that meet the criterion?

13 DR. NOBLE: Provided the mitigation is  
14 sound and known to be effective, again not knowing  
15 the detailed biology of sturgeon, but providing  
16 the mitigation is sound, the mitigation is  
17 effective, it's proven effective, I would consider  
18 that to be a positive contribution.

19 MS. ROSENBERG: Thank you. All right.  
20 Now I want to look at section 4 of your report,  
21 the first bullet on page 13. Actually, I take  
22 that back. I think it's the second bullet on  
23 page 13. And it talks about regional ecological  
24 boundaries adopted for the direct effects  
25 assessment. I apologize, this is under where

1 improvements are needed. Didn't focus on the  
2 places where you said we did a good job. And it  
3 is the first bullet, so I totally confused myself  
4 and you too. It's in section 4.2.

5 DR. NOBLE: Okay.

6 MS. ROSENBERG: So the sentence says:  
7 "Although regional ecological  
8 boundaries are adopted for the direct  
9 effects assessment..."

10 And then you go on to talk about other things.  
11 But you refer to it as the direct effects  
12 assessment. And you refer to it that way today  
13 here in your discussions, correct?

14 DR. GUNN: Yes.

15 MS. ROSENBERG: So that's what you  
16 understood was done of direct effects assessment.

17 DR. GUNN: There is always a direct  
18 effects assessment done initially, yes, and then  
19 you move on to a cumulative effects assessment.

20 MS. ROSENBERG: And direct effects  
21 would be those effects within a project footprint,  
22 the limited area directly affected.

23 DR. GUNN: Within the project study  
24 area as designated, yes.

25 MS. ROSENBERG: Which project study

1 area?

2 DR. GUNN: It would depend upon the  
3 project.

4 MS. ROSENBERG: How would you figure  
5 out the limit of the direct effects?

6 DR. GUNN: I wouldn't, the proponent  
7 would.

8 MS. ROSENBERG: Ah, all right. Now do  
9 you have a copy of -- you don't have a copy of the  
10 response to EIS guidelines with you, you didn't  
11 bring those materials, okay. I want you to look  
12 at section 5.3.1. And so I'm going to have a copy  
13 of that handed to you. I'm looking at page 5-4.  
14 I think we'll wait for the Commission to get a  
15 copy as well. Is it still you, Dr. Gunn?

16 DR. GUNN: I don't know. What's the  
17 question?

18 MS. ROSENBERG: This is a scoping  
19 question perhaps.

20 DR. GUNN: Go ahead.

21 MS. ROSENBERG: You see step 2, Scope  
22 of assessment on that page.

23 DR. GUNN: Um-hum.

24 MS. ROSENBERG: And do you see where  
25 it says in the second sentence that:

1 "The study area for each environmental  
2 component is defined by the geographic  
3 extent of the direct and indirect  
4 effects of the project."

5 DR. GUNN: Okay.

6 MS. ROSENBERG: And that some study  
7 areas are extended beyond the zone of impact to  
8 provide context for the studies. Do you see that?

9 DR. GUNN: Yes.

10 MS. ROSENBERG: And that was the  
11 method that the proponent chose to scope for both  
12 indirect and direct effects, correct?

13 DR. GUNN: Yes.

14 MS. ROSENBERG: And now is a question  
15 for Dr. Noble because this is something I got from  
16 your book.

17 One of the principles for spatial  
18 scoping that you talk about in the cumulative  
19 effects chapter of your book is called, it's a  
20 heading called "Maximum zones of detectable  
21 influence." Do you recall writing that? It's on  
22 page 207 of your book.

23 DR. NOBLE: Yeah.

24 MS. ROSENBERG: And what you say is  
25 that:

1 "Boundaries for cumulative effects  
2 assessment at a project specific level  
3 should be established where the  
4 impacts of that project are no longer  
5 detectable."

6 DR. NOBLE: That's right.

7 MS. ROSENBERG: Do you recall writing  
8 that?

9 DR. NOBLE: Yeah.

10 MS. ROSENBERG: And that would take  
11 account of both direct and indirect effects,  
12 correct? But your boundary would stop at the  
13 maximum zone of detectable influence for that  
14 project.

15 DR. NOBLE: Yes, for the particular  
16 VEC of concern, yeah.

17 MS. ROSENBERG: Right. And you have  
18 identified those VECs because those are the VECs  
19 that you expect this project to adversely affect.  
20 That's the point of your assessment, to figure out  
21 in advance what parts of the -- what valued  
22 environmental components your project will affect.

23 DR. NOBLE: That's right.

24 MS. ROSENBERG: And you want to scope  
25 so that you get the maximum zone of detectable

1 influence. And you do that VEC by VEC, correct?

2 DR. NOBLE: Correct.

3 MS. ROSENBERG: Because the maximum  
4 zone of detectable influence for one VEC may be  
5 smaller or bigger than the maximum zone for  
6 another?

7 DR. NOBLE: Um-hum, that's right.

8 MS. ROSENBERG: All right. So I put  
9 it to you then that characterizing the assessment  
10 done by this proponent, not the others that I know  
11 you have seen lots of, but this proponent as a  
12 direct effects assessment wouldn't be accurate,  
13 would it?

14 DR. GUNN: Can you repeat that?

15 MS. ROSENBERG: Well, you have  
16 characterized this assessment as a direct effects  
17 assessment.

18 DR. GUNN: Would I characterize this  
19 assessment as a direct effects assessment?

20 MS. ROSENBERG: No. You have done  
21 that. You have called it a direct effects  
22 assessment.

23 DR. GUNN: Well, yes, there is a  
24 direct effects assessment, yes. That is the  
25 initial part of any environmental impact

1 assessment process, yes.

2 MS. ROSENBERG: But I ask you again  
3 then. When you said in the direct effects  
4 assessment, what were you referring to then?

5 DR. GUNN: The direct effects  
6 assessment.

7 MS. ROSENBERG: Where did you find  
8 that?

9 DR. GUNN: I'm sorry, I'm not  
10 following what you're asking.

11 MS. ROSENBERG: I'm asking you about  
12 the words you wrote. And you referred to the  
13 assessment. You said, I'll read it to you again.

14 DR. GUNN: Yes.

15 MS. ROSENBERG:  
16 "Although regional ecological  
17 boundaries are adopted for the direct  
18 effects assessment, these are not  
19 broad enough."

20 And you go on and make some comments.

21 DR. GUNN: Yeah. Well, I guess the  
22 reason why I was talking about that is in a direct  
23 effects assessment, and it was very clearly  
24 stated, that that pertained to understanding past  
25 and current projects. But it's the futures piece

1 that is the most important to cumulative effects  
2 assessment. So that's what I was referring to.  
3 It's not broad enough to capture other existing  
4 and future developments. And I was talking about  
5 a concern that the panel had had about  
6 developments in the northeast to study zone 5. So  
7 I was basing those comments off concerns that were  
8 stated by the panel.

9                   They also had concerns that it wasn't  
10 scoped broadly enough to capture those other  
11 developments outside of that zone.

12                   MS. ROSENBERG: Well, now we have  
13 introduced a whole lot of points. But let's start  
14 on --

15                   DR. GUNN: That's the context of the  
16 comments that are made there.

17                   MS. ROSENBERG: Fine. Let's start  
18 with the first point, okay. Are we clear then  
19 that the assessment captures both direct and  
20 indirect effects, because we're not talking now  
21 about futures, we're talking about direct and  
22 indirect effects.

23                   DR. GUNN: I mean that's the statement  
24 that's made, that's presented here, yes. But the  
25 particulars of that are pretty hard to discuss

1 because there are loads and loads of effects that  
2 were looked at.

3 MS. ROSENBERG: I agree with you.

4 DR. GUNN: Yes.

5 MS. ROSENBERG: So when you say in the  
6 direct effects assessment, were you referring to a  
7 particular chapter or a particular volume?

8 DR. GUNN: No, I was referring to just  
9 the exercise of predicting environmental impacts  
10 of the development.

11 MS. ROSENBERG: And when you say  
12 futures analysis, are you talking about looking  
13 prospectively at the future with the project and  
14 without the project?

15 DR. NOBLE: Can I answer that?

16 MS. ROSENBERG: Sure.

17 DR. NOBLE: When we talk about futures  
18 analysis, yes, we're talking about looking at the  
19 future with and without the project, given the  
20 data that was generated during the baseline trends  
21 analysis, projecting those forward under different  
22 conditions and then examining those futures under,  
23 by adding in other things in addition to with and  
24 without the future.

25 MS. ROSENBERG: With and without the

1 project.

2 DR. NOBLE: Sorry, with and without  
3 the project. The future will always be there.

4 MS. ROSENBERG: We hope.

5 DR. NOBLE: Yeah.

6 MS. ROSENBERG: We have the things on  
7 the landscape today, we have the things that we  
8 are building, and then we have the things other  
9 people might add.

10 DR. NOBLE: That's right.

11 MS. ROSENBERG: So we have talked  
12 about scoping but we have a lot of different types  
13 of scope there, right? We are scoping in and out  
14 one of the future projects that you are  
15 considering, correct?

16 DR. NOBLE: Yes.

17 MS. ROSENBERG: And that was done  
18 under regulatory guidance, correct?

19 DR. NOBLE: Correct.

20 MS. ROSENBERG: And it's very clear, I  
21 think the Canadian Environmental Assessment  
22 Agency, I read on your resumé, they have asked you  
23 for some advice. And they have issued a new  
24 operational statement on how you do that very  
25 thing.

1 DR. NOBLE: That's right, yes.

2 MS. ROSENBERG: Did they take your  
3 advice by the way?

4 DR. NOBLE: Some.

5 MS. ROSENBERG: All right. So when we  
6 scope in the future projects then, let's apply  
7 just what was in the old statement, not the new  
8 one because the new one's a little more  
9 restrictive, agreed?

10 DR. NOBLE: Yeah.

11 MS. ROSENBERG: It's more restrictive,  
12 yeah. So what are we scoping in?

13 DR. NOBLE: In terms of future  
14 projects?

15 MS. ROSENBERG: Yeah.

16 DR. NOBLE: The traditional approach  
17 has been what's known, what may happen and what's  
18 hypothetical. But I mean we normally restrict  
19 ourselves to known developments in terms of  
20 scoping and other types of future projects and  
21 activities.

22 MS. ROSENBERG: And I believe the  
23 legal criterion in the 2009 operational statement  
24 is reasonably foreseeable, correct?

25 DR. NOBLE: That's correct. I don't

1 know if that's a legal criterion

2 MS. ROSENBERG: Did you look at the  
3 list of future projects that were scoped in for  
4 this project?

5 DR. NOBLE: Yes, I did.

6 MS. ROSENBERG: And those were the  
7 ones that the proponent saw to be reasonably  
8 foreseeable, correct?

9 DR. NOBLE: Fair enough.

10 MS. ROSENBERG: And those were the  
11 ones taken into account?

12 DR. NOBLE: Yes.

13 MS. ROSENBERG: Not other ones, not  
14 other hypothetical ones or theoretical ones.

15 DR. NOBLE: That's right.

16 MS. ROSENBERG: Forestry or mining or  
17 any of the things that weren't on that list.

18 DR. NOBLE: No, they weren't included.

19 MS. ROSENBERG: Because they weren't  
20 reasonably foreseeable in the proponent's view.

21 DR. NOBLE: Well, this brings us back  
22 to the practice of doing cumulative effects versus  
23 this notion of what project do we include or not  
24 include. And I want to go back to just the  
25 example I have been using because we seem to keep

1 going back to it and maybe we just fundamentally  
2 disagree on it. And then that's okay. But in the  
3 EIS when they are using these, they do identify  
4 various types of metrics. And the issue in  
5 cumulative effects assessment is really I mean, if  
6 you are caribou, does it matter what's affecting  
7 you in terms of the type of project, or does it  
8 matter that habitat's being lost? It matters that  
9 habitat's being lost, right? It doesn't matter  
10 whether it's from mining activity or a hydro  
11 project or reservoir flooding, it doesn't matter  
12 from the caribou's perspective.

13                   And what I'm getting at in terms of  
14 the scope of the future and what's in and what's  
15 out is not necessarily this notion of saying okay,  
16 project A, we know that it's -- they have applied  
17 for development, it's been approved, it's a likely  
18 activity, fine. But we can look to the changes  
19 that has occurred in the region and some of these  
20 parameters and use those that project forward.

21                   We may or may not be able to identify  
22 particular projects to let's say habitat loss or  
23 river crossings or linear disturbances. That's  
24 not really the point. The point is using that  
25 baseline data, projecting it forward into a

1 futures analysis to identify what's the effect of  
2 the VEC.

3           You know, scoping in a particular  
4 mining project or a particular forestry operation,  
5 they could or could not happen, who knows. But we  
6 can certainly use the trends and the data that we  
7 do have to project forward to understand what the  
8 cumulative effects might be.

9           And I think that's a difference in  
10 fundamental in terms of what we are talking about  
11 here versus what projects were scoped in versus  
12 what trends were known and examined in the EIS in  
13 the baseline which did a pretty good job, weren't  
14 brought forward into the future to examine those  
15 future conditions. So I think we are -- I think  
16 we're talking across each other on this issue.

17           MS. ROSENBERG: I think we're talking  
18 about two different things, Dr. Noble.

19           DR. NOBLE: I think so.

20           MS. ROSENBERG: I think we're talking  
21 about projecting forward the trends on all of the  
22 variables that were carefully analyzed and  
23 thinking what will happen with those trends 30  
24 years in the future, and thinking about what's  
25 reasonably likely to appear on the landscape

1 during that 30 year horizon and taking that all  
2 into account versus some sort of prospective  
3 thinking about what are the future options for  
4 other sorts of development.

5 DR. NOBLE: Yes, okay.

6 MS. ROSENBERG: We're talking about  
7 two very different things.

8 DR. NOBLE: Somewhat, somewhat two  
9 different things. Because really talking about  
10 what those future developments might be, those  
11 future projects is nice to know. It's nice to  
12 know. But it's not that useful unless you take  
13 those trends and disturbance information and push  
14 them forward into the future. Because you have a  
15 change that has occurred for whatever reason, but  
16 that's your futures analysis. If you assume this  
17 rate of change continues to occur or maybe it  
18 doesn't continue to occur, maybe it slows down,  
19 but then we have something we can take those  
20 future projects and introduce them into the  
21 picture.

22 And so again, it's not that it's a  
23 mining project. It's that if you're using  
24 kilometres per kilometre squared of roads, which  
25 is one of the metrics. It's not whether it's a

1 mining project that you scope in, it's a  
2 disturbance that's going to contribute to an  
3 increase in road density. And so it's examining  
4 then what's the range of futures under those  
5 conditions.

6 So I agree they are two different  
7 things but they are two very much related things  
8 if you want to understand what the cumulative  
9 effects are.

10 MS. ROSENBERG: Let me see if I can  
11 put our thoughts together here. I think what  
12 you're saying, you need to know kilometre by  
13 kilometre squared, the linear disturbances, how  
14 much more is going to happen in any likely  
15 horizon, right? So that you'll know whether the  
16 impact on the caribou or the moose or the beaver  
17 would change. Correct?

18 DR. NOBLE: We never know how much is  
19 going to happen. I think this is why we talk  
20 about scenarios or future.

21 MS. ROSENBERG: Fair.

22 DR. NOBLE: Let's take the change and  
23 push it forward.

24 MS. ROSENBERG: Fair, I take your  
25 point on that. You will never know, you will just

1 be projecting and planning.

2 DR. NOBLE: Exactly.

3 MS. ROSENBERG: And you are doing that  
4 projecting and planning so that you can take full  
5 account and mitigate forward if you can or maybe  
6 it will be so bad that the project shouldn't be  
7 approved, right? Those are your two options.

8 DR. NOBLE: Or maybe trends will  
9 improve.

10 MS. ROSENBERG: Maybe trends will  
11 improve.

12 DR. NOBLE: I think that's one of the  
13 scenarios as well.

14 MS. ROSENBERG: Let's take a specific  
15 example and use the one you gave, which is linear  
16 disturbances kilometre by kilometre squared. And  
17 I think what your point is that you need to know  
18 the trend into the future of what has happened  
19 with that linear disturbance metric, and I think  
20 you need to know how close you are to any sort of  
21 threshold, because you talked about that this  
22 morning, too. Correct?

23 DR. NOBLE: I wouldn't say -- I mean,  
24 I was careful with my choice of words and used  
25 benchmarks or management --

1 MS. ROSENBERG: Benchmarks, fair  
2 enough. Let's go with that. Benchmarks or  
3 management targets. You need to know how close  
4 the project you are adding is to that benchmark or  
5 management point. And then you need to know over  
6 the next 30 years if, say, how much more  
7 development happens, you don't know what it will  
8 be specifically, but there could be quite a bit  
9 more linear disturbance, maybe even a third again  
10 as much as exists today. What will happen? Will  
11 my VEC still be okay, right? Those are the  
12 questions you needed to ask. And you're pointing  
13 that out.

14 DR. NOBLE: Yeah. We would want to  
15 know, we'd take that, let's say that trend that  
16 you identified, look at it forward into the future  
17 and examine what might be the possible response in  
18 VECs or VEC conditions and then ask some tough  
19 questions in terms of is that acceptable or not  
20 acceptable.

21 MS. ROSENBERG: And that is it  
22 acceptable or not acceptable will be based on the  
23 the benchmarks that you arrived at, that you  
24 proposed. And I understand it's not definite.

25 DR. NOBLE: That's right. Benchmarks

1 management targets.

2 MS. ROSENBERG: You're talking about  
3 ranges.

4 DR. NOBLE: Absolutely, ranges, yeah.

5 MS. ROSENBERG: Okay. And you have  
6 already commented that the assessment employs an  
7 ecosystem-based approach. You noticed that?

8 DR. NOBLE: Sorry, can you repeat  
9 that?

10 MS. ROSENBERG: Ecosystem-based  
11 approach.

12 DR. NOBLE: It's mentioned in the  
13 assessment document, yes.

14 MS. ROSENBERG: And it's not only  
15 mentioned, it's applied, isn't it?

16 DR. NOBLE: In some of the technical  
17 supporting volumes, it's evident it's taken in the  
18 baseline assessment, for sure.

19 MS. ROSENBERG: All right. I'd just  
20 like you to look at page 5-4 again. And I think  
21 you'll see in the second paragraph, you'll see  
22 that study areas vary between environmental  
23 components to appropriately reflect the extent of  
24 project effects on that component, for example,  
25 the study area for socio-economic effects is

1 larger than the study area for physical effects.

2 And that's the appropriate way to do it, agreed?

3 DR. NOBLE: Agreed.

4 MS. ROSENBERG: And similarly, the  
5 study areas for the individual VECs and also all  
6 of the supporting topics within each of the  
7 environmental components also vary, correct?

8 DR. GUNN: Um-hum.

9 MS. ROSENBERG: Because a species with  
10 a large home range, the study area needs to be  
11 larger than the study area for a more sedentary  
12 species. And you'll agree with that, in  
13 principle?

14 DR. NOBLE: Yes.

15 MS. ROSENBERG: And the last sentence  
16 says:

17 "Study areas selected are large enough  
18 to capture the effects of the project  
19 but not so large as to mask the  
20 effects of the project by making the  
21 effects of the project as a percent of  
22 the area appear as reasonably small."

23 And I know you agree with that because you talked  
24 about it at length in your paper.

25 DR. NOBLE: Absolutely.

1 MS. ROSENBERG: And so for different  
2 VECs and different VEC processes, they all operate  
3 at different spatial scales, correct? And  
4 therefore, the boundaries for the assessment have  
5 to reflect those spatial variations, correct?

6 DR. GUNN: Correct.

7 MS. ROSENBERG: Now, I want you to  
8 look, just turn over the page and look at 1.2.2.5  
9 under Spatial Scope and you will see the  
10 principles stated at the top of that paragraph.  
11 And this is the Partnership's statement on the  
12 principle that was applied throughout the  
13 assessment.

14 "The spatial extent of the assessment  
15 was determined through, 1, identifying  
16 where the project could directly  
17 affect environmental components of  
18 interest. And 2, identifying where  
19 the project could result in indirect  
20 effects."

21 And one of the examples given is downstream  
22 transport of sediment in water. And another  
23 example is movement of fish. Correct?

24 DR. GUNN: Yes.

25 MS. ROSENBERG: And this is an example

1 given from the aquatic section of the report. And  
2 so it goes on and it talks about all the various  
3 nested zones that relate to those criteria,  
4 correct?

5 DR. GUNN: Um-hum, um-hum.

6 MS. ROSENBERG: And is that relevant,  
7 by the way, you're talking about the downstream  
8 transport sediment, correct?

9 DR. GUNN: Yes.

10 MS. ROSENBERG: Because that's where  
11 the project effects will go, downstream.

12 DR. GUNN: Yes, yes, yes.

13 MS. ROSENBERG: Okay. Now I'd like to  
14 turn to the life of the project which you also  
15 discussed this morning. And I'd like you to turn  
16 to page 13 of your report, and the second bullet.  
17 I'm only focusing on 4.2. The second bullet says:

18 "The future temporal limit for the CEA  
19 is unclear."

20 And we'll come back to that. But the second  
21 sentence says:

22 "The anticipated life of the project  
23 is not stated and nature and timing of  
24 decommissioning and reclamation  
25 activities are unclear."

1 Do you see where you said that?

2 DR. GUNN: Yes.

3 MS. ROSENBERG: Was that you, Dr.  
4 Gunn?

5 DR. GUNN: Yes.

6 MS. ROSENBERG: I would have thought  
7 that there's a general understanding that a  
8 generating station like Highway 1 is intended to  
9 be a permanent feature on the environment.

10 DR. GUNN: Yes, it can be. Yes, it  
11 can, um-hum.

12 MS. ROSENBERG: And even if it's not  
13 intuitive, the EIS says so in section 4.8 of the  
14 response to EIS guidelines. Do you recall reading  
15 that section?

16 DR. GUNN: No.

17 MS. ROSENBERG: Well, I'll tell you  
18 what it says.

19 DR. GUNN: Sure.

20 MS. ROSENBERG: It says:

21 "A hydroelectric generating station  
22 may operate almost in perpetuity."

23 And it says:

24 "If decommissioning is required at  
25 some future date, it will be

1                   undertaken, according to the  
2                   legislative requirements, existing  
3                   agreements, and industry standards  
4                   prevalent at the time."

5    Correct?

6                   DR. GUNN:   Yes.

7                   MS. ROSENBERG:  Is that a passage you  
8    overlooked when you wrote that the anticipated  
9    life of the project is not stated?

10                  DR. GUNN:  Possibly.  I think the  
11    reasoning about talking about the life of the  
12    project was relating to the distance out into the  
13    future prospective modeling exercises, where they  
14    existed, were done.  So what we were saying was  
15    that there is some weakness around how long or how  
16    far into the future some of the prospective  
17    analysis was done.  If it was a project that would  
18    exist in perpetuity, then you would expect, and we  
19    have dams that have existed for decades upon  
20    decades upon decades.  And you can see the effects  
21    of those over time.  They are demonstrated and  
22    there are examples of what happens over those  
23    decade and decades, that then you might have seen  
24    a more extensive set of predictions around some of  
25    the prospective --

1 MS. ROSENBERG: So that would be the  
2 first point. That's your comment around the  
3 temporal limit for the CEA?

4 DR. GUNN: Pardon me?

5 MS. ROSENBERG: I'm just going back to  
6 your statement.

7 DR. GUNN: I didn't hear you.

8 MS. ROSENBERG: Okay. I'll say it  
9 again. I'll read you the first sentence, and that  
10 bullet says:

11 "The future temporal limit for the CEA  
12 is unclear."

13 DR. GUNN: Yes, it's unclear.

14 MS. ROSENBERG: That was point 1.

15 DR. GUNN: Yes.

16 MS. ROSENBERG: And that's the point  
17 you're making now?

18 DR. GUNN: Yes. It's unclear.

19 MS. ROSENBERG: But your second  
20 sentence, Dr. Gunn, says:

21 "The anticipated life of the project  
22 is not stated."

23 DR. GUNN: It's not. It could be in  
24 perpetuity but it may not be. We don't know. We  
25 don't know. It's not -- I didn't find anywhere

1 that it was stated definitely what the anticipated  
2 life of the project would be.

3 MS. ROSENBERG: I'll read it to you  
4 again.

5 "A hydroelectric generating station  
6 may operate almost in perpetuity."

7 DR. GUNN: May, may operate. That's  
8 not a definite statement that's --

9 MS. ROSENBERG: Does that tell you  
10 that from the proponent's perspective, then this  
11 generating station is not intended to come out of  
12 existence, it's intended to be there for any time  
13 frame. And in fact, in other places it says a  
14 hundred years. Are we arguing over whether the  
15 generating station has a life, a lifetime, and  
16 then it will be taken out? It's not a mine, it's  
17 not a forestry project.

18 DR. NOBLE: Can I --

19 MS. ROSENBERG: Are we arguing over  
20 that?

21 DR. NOBLE: Yes, we are.

22 MS. ROSENBERG: Go ahead then, make  
23 your point.

24 DR. NOBLE: Okay. The statement  
25 that's written there is the anticipated life of

1 the project is not stated, and it isn't. It says  
2 that it may be forever. It might very well be  
3 forever. And yes, as you say, hydroelectric  
4 projects are typically there for a very long time.  
5 And so if that is the case, if this is a project  
6 that is there for 150 years, then boy did the  
7 futures analysis come up short.

8           And I think that's something that --  
9 and you know, the point that Jill makes is these  
10 things are related in terms of the temporal  
11 analysis of the CEA. I know you're separating  
12 them as two different things, but they are closely  
13 related. The temporal limit for the CEA is  
14 unclear and the anticipated life of the project is  
15 not explicitly stated.

16           If the life -- if the project is  
17 intended to last a hundred years plus or in  
18 perpetuity, then the temporal limit for the CEA  
19 should be exploring some of those broad futures.  
20 Now we're looking into even, you know, very  
21 uncertain futures, and maybe even hypothetical  
22 conditions in a cumulative effects analysis. So I  
23 don't think you can separate those two points.

24           MS. ROSENBERG: I'm going to separate  
25 the two points because you made two separate

1 statements, okay. And on the futures analysis,  
2 we'll come back to that. That's point number 1,  
3 okay.

4 Point number 2, the anticipated life  
5 of the project is not stated. You have said what  
6 you have said about it and I want to also call  
7 your attention to one of the IRs and I'm going to  
8 ask that you be given a copy of it right now.  
9 Because you have said you have read the relevant  
10 IRs, and it might not be in front of you. And  
11 this deals with the ultimate time frame in horizon  
12 for the projects on the waterway. I'll give you a  
13 moment to read it. Are you with me, because this  
14 comes directly back to your futures analysis.

15 DR. NOBLE: Okay.

16 MS. ROSENBERG: And what I have given  
17 you is a copy of TAC public round 2, Aboriginal or  
18 public comments.

19 -0001 for the record, madam secretary.

20 And that talks about the long-term  
21 future. And it talks about that future from the  
22 point of view of the First Nations who live around  
23 this river and are affected by the projects that  
24 are existing on it today.

25 And what I'm asking you is whether you

1 can see from the answer to that IR that Manitoba  
2 Hydro is not free to commission the Churchill  
3 River Diversion or Lake Winnipeg Regulation or any  
4 of the other structures that are in the waterway.  
5 Do you see that?

6 DR. NOBLE: Sorry, they are not free  
7 to?

8 MS. ROSENBERG: Decommission.  
9 Manitoba Hydro, in fact, is contractually bound to  
10 maintain the water regime that was created in 1977  
11 and continues to apply today. That's the future,  
12 sir, the long-term future.

13 DR. NOBLE: Okay.

14 MS. ROSENBERG: And could it be that  
15 the First Nations asked for that term because they  
16 expected environmental equilibrium to be  
17 maintained? And that equilibrium is maintained in  
18 perpetuity into the future. I see you're not  
19 understanding exactly what I'm getting at.

20 DR. NOBLE: No, I'm not.

21 MS. ROSENBERG: The waterway is a  
22 regulated waterway.

23 DR. NOBLE: I understand that.

24 MS. ROSENBERG: It's the waterway that  
25 Manitoba Hydro and the First Nations have been

1 living with for many decades.

2 DR. NOBLE: I understand that.

3 MS. ROSENBERG: And the substance of  
4 what happens in the future is controlled by things  
5 that happen upstream in that waterway.

6 DR. NOBLE: Um-hum.

7 MS. ROSENBERG: What this IR is  
8 showing you is that there is no decommissioning of  
9 those projects. Manitoba Hydro is contractually  
10 bound to maintain the water regime. Are you with  
11 me?

12 DR. NOBLE: I am.

13 MS. ROSENBERG: And in terms of the  
14 life of the project, I think you would find in  
15 other points in the EIS, it's projected for the  
16 analysis out to a hundred years. And that's what  
17 I want to go to now. That's point 1 in your  
18 bullet Temporal Scope. And for that, I want you  
19 to look at section 5.3.1 of the response to EIS  
20 Guidelines. And that refers you then to just  
21 other sections of the individual terrestrial,  
22 aquatic and physical environment volumes.

23 And so rather than going to the  
24 general, I think this time we need to do an  
25 example, okay.



1 project effects but no less than 100  
2 years after project operation  
3 commences and this is the assumed life  
4 of the project."

5 MS. ROSENBERG: And do you recall, if  
6 you read further into that terrestrial environment  
7 volume, you would understand that the first 30  
8 years of that analysis is quantitative and that  
9 after that, the assessment is qualitative?

10 DR. NOBLE: That's right, yeah.

11 MS. ROSENBERG: So is the temporal  
12 scope unclear?

13 DR. NOBLE: Certainly not for the  
14 analysis in the terrestrial environment supporting  
15 volume.

16 MS. ROSENBERG: And if I tell you that  
17 there's a similar section in the aquatic volume?

18 DR. NOBLE: I'll believe you.

19 MS. ROSENBERG: Thank you. Now let's  
20 do some spatial scoping examples.

21 THE CHAIRMAN: Ms. Rosenberg.

22 MS. ROSENBERG: Sorry, are we ready  
23 for a break?

24 THE CHAIRMAN: I think it's time for  
25 lunch. And rather than start into a new section

1 and break in a minute or two, let's break right  
2 now and we'll come back at 1:30.

3 MS. ROSENBERG: Thank you very much.  
4 I appreciate it. I apologize for not looking at  
5 the time.

6 THE CHAIRMAN: No, it's okay.

7 (Proceedings recessed at 12:28 p.m.  
8 and reconvened at 1:30 p.m.)

9 THE CHAIRMAN: We will reconvene now.  
10 Just one note before we get going,  
11 just as we broke for lunch, our recorder asked me  
12 to point out to both the questioners and the  
13 answerers, please wait until one is finished  
14 before jumping in with your response or your next  
15 question, because it can be a little confusing  
16 with the transcriber. Aside from that, no  
17 problems. Over to you, Ms. Rosenberg.

18 MS. ROSENBERG: Just on thing that I  
19 left out, I neglected to introduce Mr. George  
20 Hegmann, who is sitting one chair over to the  
21 right of me. I know that you know him, but it was  
22 pointed out to me that other people in the room  
23 might not know him, and just so we are clear on  
24 who is sitting with us, by way of being in the  
25 background.

1 THE CHAIRMAN: Thank you.

2 MS. ROSENBERG: Now I want to go to  
3 page 19 of your report where you begin a  
4 discussion about scoping. And I will just let you  
5 get there. It is a spot where you say:

6 "Cumulative effects assessment scoping  
7 must be sufficiently spatially  
8 temporally broad."

9 Do you see that?

10 MS. GUNN: Yes.

11 MS. ROSENBERG: So must be  
12 sufficiently spatially temporally broad to not  
13 only capture the direct effects of a project, but  
14 also its subsequent, indirect or ripple effects;  
15 correct?

16 MS. GUNN: Yes.

17 MS. ROSENBERG: And that's what we  
18 mean by including both direct and indirect  
19 effects?

20 MS. GUNN: Yes.

21 MS. ROSENBERG: On page 20 you talk  
22 about Wuskwatim, so you might want to turn to  
23 that?

24 MS. GUNN: Yes.

25 MS. ROSENBERG: I think what you are

1 arguing there is that the future operation of  
2 Wuskwatim was scoped out. You called it a scoping  
3 error?

4 MS. GUNN: The future of Wuskwatim was  
5 scoped out?

6 MS. ROSENBERG: The future operation?  
7 You say, yes, it was improperly characterized?

8 MS. GUNN: It was characterized as a  
9 past or current project, and it is current in the  
10 sense that it does exist. The turbines are in  
11 operation. But the point being that the effects  
12 that would unfold from that development would  
13 extend far into the future, and because it was  
14 characterized as past or current, it may not have  
15 been adequately captured in the prospective  
16 analysis, the additional ongoing effects.

17 MS. ROSENBERG: And one of those  
18 effects that you were concerned about was sediment  
19 loading to the aquatic system?

20 MS. GUNN: I personally didn't state  
21 any specific effects that I was concerned about.

22 MS. ROSENBERG: Well, I'm looking at  
23 paragraph 2 on page 20?

24 MS. GUNN: Paragraph 2 on page 20?

25 MS. ROSENBERG: Yes, that's the

1 paragraph before, and you were talking about all  
2 of the various concerns that flow from inadequate  
3 scoping, and you gave some examples. And one of  
4 the examples that you gave was sediment loading to  
5 the aquatic system, right?

6 MS. GUNN: I'm sorry, I don't see the  
7 line that you are referring to?

8 MS. ROSENBERG: I'm in the middle of  
9 page 20.

10 MS. GUNN: Yes. In that case the  
11 context of that statement was with reference to  
12 the Bipole I and II, the future Bipole III, et  
13 cetera, et cetera. And in that sentence  
14 sedimentation is mentioned.

15 MS. ROSENBERG: And then on page 21  
16 you state, I think, your overall conclusion about  
17 the impact of this improper scoping, right? And  
18 I'm looking at the sentence that says:

19 "Since the future effects of the  
20 Wuskwatim Generation Project are  
21 largely unknown, and the Keeyask  
22 Generation Station is not yet built,  
23 it stands to reason that there could  
24 be a very significant effect...",  
25 and you say combined effect, it was just a word

1 out, you meant a very significant combined effect  
2 on water quality and fish VECs?

3 MS. GUNN: Could be.

4 MS. ROSENBERG: That's what you said.

5 MS. GUNN: Yes.

6 MS. ROSENBERG: And your concern was  
7 that because Wuskwatim had been scoped as a  
8 current project, not a future project, that those  
9 would have been overlooked?

10 MS. GUNN: Yes, probably then the  
11 extended effects far into the future were probably  
12 not captured in the prospective analysis since it  
13 wasn't identified as a prospective project.

14 MS. ROSENBERG: Dr. Gunn, I looked at  
15 the list of documents you reviewed for your work,  
16 you repeated those today. And I see 29 references  
17 at the end of your report. And you don't have to  
18 count, I mean approximately 29 references, and  
19 almost half of those are on how to do cumulative  
20 effects assessment, correct?

21 MS. GUNN: I will accept that.

22 MS. ROSENBERG: Some are about  
23 regional or strategic effects assessment, but  
24 about half are focused on the theory of cumulative  
25 effects.

1 MS. GUNN: I wouldn't know unless I  
2 went back to judge if it was half or not, but I  
3 will accept that.

4 MS. ROSENBERG: Approximately?

5 MS. GUNN: Sure.

6 MS. ROSENBERG: What I don't see on  
7 that list is the Wuskwatim EIS, correct?

8 MS. GUNN: No.

9 MS. ROSENBERG: And I don't see  
10 transcripts from the CEC hearing on Wuskwatim  
11 where Mr. Rempel gave a presentation on that very  
12 issue?

13 MS. GUNN: No. But I do recall seeing  
14 something, though, about the focus on Wuskwatim  
15 and it saying very clearly that the focus with  
16 Wuskwatim was on direct effects.

17 MS. ROSENBERG: Where did you see  
18 that?

19 MS. GUNN: Somewhere in this stack of  
20 paper, it is in here somewhere. But anyway,  
21 continue, sorry.

22 MS. ROSENBERG: Well, let's just go on  
23 the theory that you are correct and that future  
24 impact of Wuskwatim of the operation phase is  
25 scoped out.

1 MS. GUNN: Okay.

2 MS. ROSENBERG: Because that's what  
3 you said in your paper?

4 MS. GUNN: That's what I imagine  
5 happened based on the logic of what was considered  
6 a past, current or future project, yes.

7 MS. ROSENBERG: Okay. Let's go on  
8 with the stuff you didn't review. You didn't  
9 review the Wuskwatim environmental licences and  
10 permits?

11 MS. GUNN: I don't think that I needed  
12 to in order to make the point that it wasn't  
13 scoped as a prospective future project, or that  
14 the effects were --

15 MS. ROSENBERG: You didn't read that  
16 project, though?

17 MS. GUNN: Well, I didn't think that I  
18 needed to read the Environmental Impact Statement  
19 to be able to make that point.

20 MS. ROSENBERG: Did you consider that  
21 those documents, as well as the annual  
22 environmental monitoring reports on the Wuskwatim  
23 project might contain information about the  
24 expected impacts of the operation of Wuskwatim on  
25 sedimentation and fish quality downstream?

1 MS. GUNN: I'm not seeing the  
2 connection to how that -- what does that have to  
3 do with the Keeyask CEA? I was asked to review  
4 the Keeyask CEA --

5 MS. ROSENBERG: Sorry, I apologize, I  
6 have done it again. I'm sorry. You didn't see  
7 the relevance of that material?

8 MS. GUNN: Not to make the point that  
9 I was making in the report.

10 MS. ROSENBERG: Which was scoping?

11 MS. GUNN: Which was simply that it  
12 was characterized as a past or current project,  
13 and I'm agreeing that it is, it is a current  
14 project. But what I'm saying is that that current  
15 project will obviously continue to result in  
16 environmental effects far into the future. So  
17 that was the point.

18 MS. ROSENBERG: And what you said then  
19 is that those environmental effects far into the  
20 future were not taken into account?

21 MS. GUNN: They did not appear to be,  
22 no, they didn't appear to be taken into account.  
23 It wouldn't stand to reason that they were taken  
24 into account in the prospective analysis because  
25 it wasn't identified as a future project.

1 MS. ROSENBERG: And so you are  
2 suggesting that the engineers and the aquatic  
3 biologists who had to scope their assessment  
4 missed, they overlooked a potential pathway or  
5 connection?

6 MS. GUNN: I didn't suggest that.

7 MS. ROSENBERG: You didn't mean to  
8 suggest that?

9 MS. GUNN: I didn't suggest that.

10 MS. ROSENBERG: You are suggesting the  
11 assessment is deficient?

12 MS. GUNN: I'm not suggesting that  
13 either.

14 MS. ROSENBERG: Good. Because  
15 Wuskwatim was incorrectly scoped?

16 MS. GUNN: I didn't suggest that. I  
17 didn't make that statement. I think perhaps you  
18 made that statement.

19 MS. ROSENBERG: I want to go back to  
20 what you actually said.

21 "In other words, the potential  
22 cumulative effects..."

23 MS. GUNN: If it helps to clarify, I  
24 said a couple of times that I agree it is a  
25 current project, it is a current project. What I

1 was trying to point out is that the effects far  
2 into the future probably were not captured in the  
3 prospective analysis. So I'm not disagreeing that  
4 it is a current project.

5 MS. ROSENBERG: And then you go on and  
6 say:

7 "Past and future current effects have  
8 to be modelled together so that you  
9 understand the cumulative effects  
10 together with this project."

11 MS. GUNN: Well, that's what a  
12 retrospective analysis is.

13 MS. ROSENBERG: And you say:  
14 "Since the future effects of the  
15 Wuskwatim generation project are  
16 largely unknown, and the Keeyask  
17 generation station is not yet built,  
18 it stands to reason that there could  
19 be a very significant combined  
20 effect..."

21 MS. GUNN: Yes.

22 MS. ROSENBERG: "...on water quality  
23 and fish VECs."

24 MS. GUNN: There could be.

25 MS. ROSENBERG: There could be?

1 MS. GUNN: There could be, but we  
2 don't know because it wasn't talked about.

3 MS. ROSENBERG: You are suggesting it  
4 wasn't talked about?

5 MS. GUNN: I'm suggesting that I stand  
6 behind my statement that there could be, it is not  
7 a statement saying there will be, it is saying  
8 there could be.

9 MS. ROSENBERG: And the error that you  
10 say has been made is a scoping error?

11 MS. GUNN: I think what I was just  
12 trying to suggest is perhaps it would have been  
13 better placed in the category of being a future  
14 project because so much of its effects were yet to  
15 unfold. So I'm not disagreeing that technically  
16 it is a current project.

17 MS. ROSENBERG: Dr. Gunn, you have  
18 made a statement that the future effects are  
19 largely unknown.

20 MS. GUNN: Well, they are because the  
21 future hasn't happened, so we don't know.

22 MS. ROSENBERG: And the only way we  
23 know future effects is by the future happening?

24 MS. GUNN: Well, definitely in terms  
25 of a definite knowing, yes. In terms of modeling

1 prospective scenarios, you could do that but those  
2 have their uncertainties.

3 MS. ROSENBERG: And are you suggesting  
4 there was a realistic possibility of impacts from  
5 Wuskwatim combining with impacts from Keeyask that  
6 were scoped out or not taken into account?

7 MS. GUNN: I didn't say that. I just  
8 said that there could be. There could be.

9 MS. ROSENBERG: Could be or there  
10 were?

11 MS. GUNN: I don't have the expertise  
12 to be able to say with confidence what will be. I  
13 don't know, I'm saying there could be.

14 MS. ROSENBERG: Dr. Gunn --

15 MS. GUNN: We wouldn't know because  
16 those future effects probably were not taken into  
17 account because it was in the category of past and  
18 current.

19 MS. ROSENBERG: Dr. Gunn, my question  
20 to you is not about the actual effects, I realize  
21 we are not talking about effects. What I'm  
22 suggesting to you is that you said that the people  
23 who were responsible for this assessment didn't  
24 take those effects into account.

25 THE CHAIRMAN: Ms. Rosenberg, I think

1 you have beaten this point to death.

2 MS. ROSENBERG: All right.

3 Well, Dr. Gunn, I put it to you that  
4 those effects were taken into account and that it  
5 was not scoped out. And I would like to read to  
6 you from the response --

7 THE CHAIRMAN: You are giving evidence  
8 now?

9 MS. ROSENBERG: I would like to read  
10 to you from the response to EIS guidelines which  
11 will be handed out ---can you get a copy of that  
12 please? Section 7, page 716, are you there?

13 MS. GUNN: Page 716, yes.

14 MS. ROSENBERG: And what it says there  
15 is:

16 "The most recent additions and  
17 alterations to existing hydroelectric  
18 developments are the construction of  
19 the Wuskwatim GS on the Burntwood  
20 River and the rerunning of the Kelsey  
21 GS on the Nelson River, both of which  
22 are directly upstream of Split Lake."

23 Then it goes on to say:

24 "The technical assessment of spatial  
25 extent of effects of the Keeyask

1 project indicates that there is no  
2 overlap with these recent  
3 developments."

4 MS. GUNN: But I think we established  
5 earlier that there doesn't have to be a physical  
6 overlap in order for there to be a cumulative  
7 effect.

8 MS. ROSENBERG: Dr. Gunn, does there  
9 have to be overlap of effects?

10 MS. GUNN: Well, yes, there would have  
11 to be an overlap, or an accumulation of effects is  
12 perhaps a more accurate way to say that. It would  
13 have to be an accumulation of effect experienced  
14 by a VEC, so that doesn't necessarily imply that  
15 there would be an overlap of effects, but an  
16 accumulation.

17 MS. ROSENBERG: And how would that  
18 accumulation occur between one generating station  
19 and another?

20 MS. GUNN: Well, when you have the  
21 various disturbances in the watershed, those kinds  
22 of things may eventually affect, let's say water  
23 quality, which may affect fish viability or health  
24 or those kinds of things. That is not my area of  
25 technical expertise to know exactly how those

1 things link together. I'm not a technical expert  
2 on fish or water quality.

3 MS. ROSENBERG: But for your statement  
4 to be correct, there would still have to be a  
5 realistic pathway by which an effect could occur?

6 MS. GUNN: I think it is fairly  
7 realistic to expect that multiple generating  
8 stations as part of the --

9 MS. ROSENBERG: Sorry, I didn't  
10 finish. There would have to be a realistic  
11 pathway for an effect to be generated at Wuskwatim  
12 and end up combining with or accumulating with a  
13 Keeyask effect, right?

14 MS. GUNN: I think the piece that's  
15 missing is understanding that the concern or the  
16 focus is for the river itself. And so when you  
17 are looking at the health of the river itself,  
18 from a cumulative perspective, if you have  
19 multiple generating stations all along that river,  
20 adding one more, whether or not their effects  
21 exactly overlap, all of it is still affecting the  
22 health of the river, from my perspective. As I  
23 said, I'm not a technical expert in terms of river  
24 systems and water quality and the like.

25 MS. ROSENBERG: I'm going to suggest

1 to you again that there has to be a realistic  
2 pathway by which the effect of Wuskwatim on  
3 sedimentation, because that's what we are talking  
4 about, could combine with or accumulate with  
5 effects of Keeyask?

6 MS. GUNN: Well, they are both  
7 affecting the same river so that's -- to me that's  
8 the potential for accumulation, or a cumulative  
9 effect.

10 MS. ROSENBERG: And I agree with you  
11 about the potential. And I'm suggesting to you  
12 that the words that I just read to you indicated  
13 that the project team considered the potential and  
14 ruled it out?

15 MS. GUNN: Okay. Thank you.

16 MS. ROSENBERG: Agreed?

17 MS. GUNN: That's what it says, yes.

18 MS. ROSENBERG: So it wasn't scoped  
19 out, it was ruled out?

20 MS. GUNN: Thank you.

21 MS. ROSENBERG: And in the process of  
22 ruling that out, we are not talking about the  
23 philosophy of cumulative effects assessment or how  
24 spatial scoping should be done, agreed?

25 MS. GUNN: Can you restate that,

1 please?

2 MS. ROSENBERG: I will start it with a  
3 statement. The project team agrees that if there  
4 is a pathway by which the effects of Wuskwatim  
5 could combine with or accumulate with Keeyask,  
6 that scoped in -- and I think we have just  
7 established that, correct?

8 MS. GUNN: All right, yes.

9 MS. ROSENBERG: So the question of  
10 whether that did or didn't happen, or can happen,  
11 is a technical question, correct?

12 MS. GUNN: Sure, yes.

13 MS. ROSENBERG: And that technical  
14 assessment is carried out by people who are  
15 trained experts in their area of expertise,  
16 correct?

17 MS. GUNN: Well, I would assume that  
18 is true, yes.

19 MS. ROSENBERG: And so your conclusion  
20 about the effects of Wuskwatim being unknown might  
21 have been based on incomplete information,  
22 correct?

23 MS. GUNN: I really don't know. I  
24 guess I'm just not understanding what you are  
25 trying to get at with this, because it is -- that

1 wasn't the point of making the statement. It just  
2 wasn't the point that I was trying to get across.

3 MS. ROSENBERG: Were you trying to get  
4 across a scoping error, because that's what you  
5 put it in your report?

6 MS. GUNN: We felt that, yes, it would  
7 have been better characterized as a future  
8 project, but it wasn't, and that's okay, we agree  
9 that technically it was current. We were just  
10 suggesting that you might have seen some more  
11 illuminating results had those future effects been  
12 considered in the prospective analysis.

13 MS. ROSENBERG: At the risk of beating  
14 a dead horse, I'm going to take you back to --

15 MR. WILLIAMS: Mr. Chair, if I might,  
16 I think the dead horse has been beat repeatedly.  
17 I have tried to show considerable respect to my  
18 learned friend. The witnesses for CAC Manitoba  
19 have repeatedly pointed out that there is a  
20 challenge in the EIS in terms of the failure to  
21 model in the prospective analysis the great  
22 uncertainty of Wuskwatim, a brand new project, in  
23 collaboration with Keeyask. The very section that  
24 we are speaking on now, or have been, again has  
25 been on past and current project effects and

1 activities. I think this issue has been answered  
2 in a variety of ways, and I think it is doing a  
3 disservice to the process to continue.

4 MS. ROSENBERG: Mr. Sargeant, my  
5 friend has repeated the allegation. And the  
6 allegation is that there are effects for which  
7 there was a realistic potential impact and that  
8 they were not modelled. He has repeated the  
9 allegation.

10 THE CHAIRMAN: I don't want to get  
11 into making a decision that we shouldn't be making  
12 for a number of months. But I seem to see a  
13 little bit of disconnect here. The witness is  
14 talking about unknown future effects not being  
15 included. You are referring to this document,  
16 which we were just handed which talks about past  
17 and current projects and effects.

18 So, I think I'm inclined to agree with  
19 Mr. Williams, that as far as questioning the  
20 witness about the inclusion of future effects, I  
21 think it has been asked and answered a number of  
22 times just since lunch time.

23 MS. ROSENBERG: Mr. Sargeant, at the  
24 risk of disagreeing with the Chair, I think we  
25 talked about whether to categorize it as a future

1 or past or current project. And I'm suggesting to  
2 the witness that that's not the point. The point  
3 is whether the future impacts of Wuskwatim were  
4 taken into account and were modelled. And she has  
5 suggested that they haven't been.

6 THE CHAIRMAN: Yes, and she has  
7 suggested that. And I don't see anything at least  
8 in this document that contradicts her statement,  
9 which is I think the point that Mr. Williams was  
10 making.

11 MS. ROSENBERG: I guess I would leave  
12 that with the fact that it was a technical  
13 assessment and that technical assessment was done.

14 THE CHAIRMAN: Okay. Shall we move on  
15 then?

16 MS. ROSENBERG: Now, that conclusion  
17 that you made about potential future effects on  
18 water quality being unknown were dependent on the  
19 correctness of your thinking that the future  
20 effects of Wuskwatim were unknown?

21 MS. GUNN: I didn't make a conclusion,  
22 I just suggested that we probably don't know what  
23 they are, because the future hasn't happened.

24 MS. ROSENBERG: Dr. Gunn, why do you  
25 do environmental impact assessments?

1 MS. GUNN: Pardon me?

2 MS. ROSENBERG: Why would you do an  
3 environmental impact assessment?

4 MS. GUNN: To predict the  
5 environmental consequences of development and to  
6 try to mitigate them.

7 MS. ROSENBERG: All right. I'm going  
8 to ask you to look at some slides about the  
9 aquatic environment and think about whether these  
10 environmental impacts have been taken into  
11 account. And the slide deck is slide 15, and I  
12 would like to look the other way -- number 1,  
13 sorry -- because you have suggested that there are  
14 some impacts in combination with Conawapa as well  
15 downstream; correct?

16 MS. GUNN: I don't think -- I just  
17 suggested there could be is what I suggested, I  
18 didn't say that there are, I said that there could  
19 be.

20 MS. ROSENBERG: Well, shall we leave  
21 it at this; that if there could be, and you didn't  
22 find that analysis, but that analysis exists, you  
23 would agree with me that your conclusion is  
24 incorrect?

25 MS. GUNN: I think that's a very vague

1 statement, so I would have a hard time agreeing  
2 with it. But if you could be more specific, I  
3 might be able to answer.

4 MS. ROSENBERG: You've said that the  
5 effects downstream in combination with Conawapa  
6 are equally unknown?

7 MS. GUNN: Well, they would be unknown  
8 because they haven't happened, correct.

9 MS. ROSENBERG: And are you suggesting  
10 that the assessment should have taken those into  
11 account and didn't?

12 MS. GUNN: Well, I don't know. I'm  
13 honestly getting a little bit confused by what you  
14 are getting at?

15 MS. ROSENBERG: Are you saying that  
16 the assessment should have taken something into  
17 account that it didn't?

18 MS. GUNN: We are getting like far  
19 away from, I feel, the original point, which was  
20 the statement about whether Wuskwatim was  
21 improperly or properly characterized. So I feel  
22 like, I don't know that I can comment specifically  
23 on what you are asking.

24 MS. ROSENBERG: Are you aware that  
25 chapter 6 includes predictions about the future

1 effects of current projects?

2 MS. GUNN: Yes, I am aware of that,  
3 yes.

4 MS. ROSENBERG: And that includes both  
5 construction and operation phases of those  
6 projects?

7 MS. GUNN: Yes, I am aware of that.

8 MS. ROSENBERG: And you've connected  
9 it up as well to impacts downstream from the  
10 future Conawapa. Correct?

11 MS. GUNN: That's a fragmented  
12 sentence. I'm not sure -- if you could restate it  
13 please?

14 MS. ROSENBERG: I want to go back to  
15 your conclusion then.

16 MS. GUNN: That's a good idea, what  
17 page were you looking on?

18 MS. ROSENBERG: Back at page 21.

19 MS. GUNN: Yes. What I said there was  
20 the potential cumulative effects of the Conawapa  
21 project are scoped out of the cumulative analysis  
22 for fish. I'm simply repeating what is shown in  
23 table 7-3. So the Conawapa is scoped in, in terms  
24 of, if I remember correctly scoped in, in terms of  
25 affecting water quality, but then not in terms of

1 affecting perhaps fish.

2 MS. ROSENBERG: So that's what I want  
3 to go to right now, and I think we have our first  
4 slide up.

5 MS. GUNN: Um-hum.

6 MS. ROSENBERG: And this slide shows  
7 you a summary of the results of the assessment  
8 about the impacts?

9 MS. GUNN: Okay, yes.

10 MS. ROSENBERG: The impacts of Keeyask  
11 on sedimentation.

12 MS. GUNN: Okay.

13 MS. ROSENBERG: And that assessment  
14 was based on the use of models in comparison to  
15 guidelines and existing conditions. And the slide  
16 goes through the management measures, and the  
17 conclusion is that most effects are only  
18 measurable near the construction site. Did you  
19 see that in the assessment?

20 MS. GUNN: Yes, I believe I did.

21 MS. ROSENBERG: And elevated total  
22 suspended solids extend further downstream than  
23 the construction site during periods of intensive  
24 in-stream work, for one to three months in each of  
25 two years?

1 MS. GUNN: Yes.

2 MS. ROSENBERG: Then the increases  
3 downstream of Kettle GS will be small?

4 MS. GUNN: Yes, I see that.

5 MS. ROSENBERG: Let's go to the next  
6 slide.

7 And that slide shows you the reach of  
8 the river, downstream, and it summarizes the  
9 effects during the operation phase. Do you see  
10 that?

11 MS. GUNN: Um-hum, yes.

12 MS. ROSENBERG: So that contributions  
13 to TSS, which is what we are talking about, during  
14 the operation phase is only in the flooded areas  
15 which is shown in light blue. Do you see that?

16 MS. GUNN: Yes.

17 MS. ROSENBERG: And the prediction is  
18 that in the main stem TSS will actually go down.  
19 Do you see that?

20 MS. GUNN: Yes.

21 MS. ROSENBERG: Let's go to the next  
22 slide. And there we get to the fish assessment.

23 MS. GUNN: Um-hum.

24 MS. ROSENBERG: And that fish  
25 assessment is based on the long-term cumulative

1 effect of Keeyask downstream?

2 MS. GUNN: Okay, yes.

3 MS. ROSENBERG: And the prediction is  
4 no adverse effects outside of the Keeyask  
5 reservoir in Stephens Lake, correct?

6 MS. GUNN: Yes.

7 MS. ROSENBERG: And all of that  
8 prediction was based on the work on water quality  
9 in the preceding sections; correct?

10 MS. GUNN: Yes, I will accept that,  
11 yes.

12 MS. ROSENBERG: And that work showed  
13 that the adverse effects in the Keeyask reservoirs  
14 and Stephens Lake are expected to occur during  
15 construction and the first few years of operation,  
16 correct?

17 MS. GUNN: Yes.

18 MS. ROSENBERG: While the long-term  
19 effects are either neutral or slightly positive,  
20 right?

21 MS. GUNN: Okay.

22 MS. ROSENBERG: And the assessment  
23 concluded that there is no overlap with other  
24 projects; correct?

25 MS. GUNN: Correct.

1 MS. ROSENBERG: And that was the  
2 technical assessment, agreed?

3 MS. GUNN: Yes.

4 MS. ROSENBERG: So it is not a  
5 question of scoping, it is a question of the  
6 technical judgment of technical experts, both  
7 about the potential for Wuskwatim and the  
8 potential for Conawapa to combine, agreed?

9 MS. GUNN: I still don't think that  
10 the prospective analysis included distant futures  
11 for those other two projects.

12 MS. ROSENBERG: Would the distant  
13 futures be different from the near future in terms  
14 of the contribution of sedimentation to a river?

15 MS. GUNN: They may be. You would  
16 have to perform the exercise to know for sure. It  
17 is a -- you know, if these dams are going to be in  
18 existence for perpetuity, or for 100 years or  
19 more, we are just suggesting that good practice  
20 would take a look at that, would also just take a  
21 look at that.

22 MS. ROSENBERG: And you concluded that  
23 that hadn't been done based on common sense, or  
24 your thinking about what might or might not have  
25 been taken into account by those technical

1 experts?

2 MS. GUNN: I'm not sure I understand  
3 the question. Based on common sense?

4 MS. ROSENBERG: You end with a  
5 comment, and I'm looking at page 21 of your  
6 report, fourth line from the top. And we can go  
7 as well to page 6 of the CEA summary. You say:

8 "Somehow not any of the four fish  
9 species named as VECs will experience  
10 significant adverse effects from the  
11 construction or operation of the  
12 Keeyask generating station."

13 And you say that because you believe that there  
14 has been a scoping error?

15 MS. GUNN: I'm sorry, I'm really  
16 having a hard time following your reasoning.

17 MS. ROSENBERG: Dr. Gunn, you say  
18 "somehow," and I suggest to you that it is not  
19 somehow, it is the conclusion of the analysis that  
20 is summarized in chapters 6 and 7 of the report,  
21 in relation to water quality, in relation to  
22 effects on fish, and taking into account the  
23 realistic potential interactions between the  
24 effects of Wuskwatim and Keeyask and Conawapa.  
25 That's what I'm putting to you.

1 MS. GUNN: The statement in the report  
2 was simply referring to table 7-3 and what is  
3 indicated there in terms of Conawapa being scoped  
4 into the CEA.

5 MS. ROSENBERG: And I put it to you  
6 that it was scoped in and that interaction was  
7 ruled out?

8 MS. GUNN: I will accept that.

9 MS. ROSENBERG: On a technical basis?

10 MS. GUNN: I will accept that.

11 MS. ROSENBERG: And when you drew your  
12 conclusion, did you send off an IR, did you ask  
13 Mr. Williams to write to the proponent asking why  
14 then those conclusions hadn't been drawn?

15 MS. GUNN: I didn't draw a conclusion,  
16 I simply pointed out that the eventual conclusion  
17 of the proponent is that the four fish species  
18 will not experience significant adverse effects.  
19 I didn't conclude that, I just pointed that out,  
20 that that was the conclusion.

21 MS. ROSENBERG: Indeed, that is the  
22 conclusion.

23 MS. GUNN: Um-hum.

24 MS. ROSENBERG: So where you stated  
25 that the potential -- these are your words,

1 Dr. Gunn.

2 "In other words, the potential  
3 cumulative effects of the Conawapa  
4 project are scoped out of the  
5 cumulative effects analysis for fish."

6 What you meant to say was ruled out on the basis  
7 of technical judgments?

8 MS. GUNN: I was simply referring to  
9 the content of table 7-3, and it is not --  
10 Conawapa does not appear in that table, that's  
11 what I was referring to.

12 MS. ROSENBERG: And I put it to you  
13 that table 7-3 is not a table representing  
14 scoping, but a table representing rather the  
15 results of the technical analysis that followed  
16 from the scoping?

17 MS. GUNN: Okay, I will accept that.

18 MS. ROSENBERG: And the basis of your  
19 own conclusion that there could be a very  
20 significant effect combined on water quality and  
21 fish VECs were based on conceptual concepts about  
22 scoping, not on that technical analysis, correct?

23 MS. GUNN: I think that you are  
24 reading something into the sentence structure that  
25 wasn't intended to be there. I simply was

1 reflecting what I saw written in 7-3. I was not  
2 intending to draw my own conclusion about the  
3 effects on fish. That's not what the sentence is  
4 meant to say.

5 MS. ROSENBERG: All right. Now, that  
6 we have established that it is, 7-3 is  
7 representing the results of the technical analysis  
8 and not a scoping decision, you have confirmed  
9 that, I think we can leave it at that.

10 Now, on page 24 and 25 of your report,  
11 on page 24 and 25 you are talking about trend  
12 analysis; correct?

13 MR. NOBLE: Correct.

14 MS. ROSENBERG: I will give you a  
15 moment to reread your words, but it seems to me  
16 that what you are saying is that the project  
17 assessment indicated that they couldn't do  
18 adequate trend analysis because they don't have  
19 enough information from before CRD and LWR?

20 MR. NOBLE: Could you just point out  
21 exactly where that is on page 24, just so I'm  
22 sure?

23 MS. ROSENBERG: You say:

24 "It is reported in the EIS that  
25 technical information is limited

1           regarding Nelson River water quality  
2           pre-hydro development, and in the  
3           aquatic assessment supporting volume,  
4           section 5.3, it is reported that  
5           methodological differences preclude  
6           the analysis of historic data to  
7           establish a clear trend..."

8   And the sentence goes on,

9           "...a clear trend of the effects of  
10          CRD and LWR to the fish communities."

11          So you are characterizing what the  
12   proponent said as lack of data, meaning lack of  
13   ability to do trend analysis?

14                 MR. NOBLE:  Sorry, I'm saying that's  
15   what is stated in the aquatic environment report.

16                 MS. ROSENBERG:  And I would put to  
17   you, Dr. Noble, that what that report is saying is  
18   exactly the opposite.  And in the aquatic  
19   environment supporting volume, volume 1, section  
20   2, page 2-9, and all of the pages following, what  
21   you see is a reflection of the trend analysis that  
22   the proponent did do, and the data that they did  
23   have.  And what they are saying is exactly the  
24   opposite of what you concluded, that in fact they  
25   do understand and are able to quantify what is

1 happening and has happened in the river?

2 MR. NOBLE: I didn't conclude  
3 anything. I simply said the report says  
4 methodological differences include the analysis of  
5 historic data to establish a key trend. And I  
6 acknowledge that in the next line, that that's  
7 often the case, that's not an anomaly, it is not  
8 unusual for this particular watershed.

9 MS. ROSENBERG: And I would put it to  
10 you that that sentence is acknowledging that after  
11 50 years of hydro development, CRD and LWR has  
12 permanently changed some of the aquatic  
13 environment, including the conversion of riverine  
14 habitat to lake like habitat? They have  
15 acknowledged that?

16 MR. NOBLE: Yes.

17 MS. ROSENBERG: And they have gone on  
18 to say, though, that they have more than adequate  
19 data and more than adequate trend analysis to  
20 determine what has happened in the stabilization  
21 of conditions in the waterways?

22 MR. NOBLE: Yes.

23 MS. ROSENBERG: And the question today  
24 is whether water quality has stabilized, what is  
25 it like, what does it support, correct? And they

1 have answered those questions.

2 MR. NOBLE: Yes, this part of the EIS  
3 is, I mean, one that we identify as good. I mean,  
4 I agree with what you are saying.

5 MS. ROSENBERG: And did you understand  
6 then that unlike the terrestrial environment,  
7 which is largely in tact, the Nelson River is  
8 regulated and the change is permanent; correct?

9 MR. NOBLE: Yes.

10 MS. ROSENBERG: And that the  
11 adaptation to it is what's important?

12 MR. NOBLE: For what?

13 MS. ROSENBERG: Water quality, fish,  
14 understanding the conditions as they have been,  
15 and are, and will be; agreed?

16 MR. NOBLE: I'm not sure what I'm  
17 agreeing to, sorry?

18 MS. ROSENBERG: I'm going to give you  
19 the proponent's view of what is in that section of  
20 the EIS and you tell me whether you agree or  
21 disagree.

22 The trend analysis described in the  
23 aquatic environment supporting volume used two  
24 decades of data to see whether the water  
25 conditions at a long-term monitoring site

1 immediately upstream of the project are stable,  
2 and described a trend analysis conducted by  
3 experts from the Government of Manitoba looking at  
4 water entering the Nelson River. Agreed?

5 MR. NOBLE: Okay.

6 MS. ROSENBERG: And that Manitoba's  
7 water quality index and whether it has changed in  
8 the last decades, they looked at that as well.  
9 Agreed?

10 MR. NOBLE: Okay.

11 MS. ROSENBERG: And the conclusion  
12 they drew is that water quality conditions are  
13 stable, it has taken time, but they are stable?

14 MR. NOBLE: Good.

15 MS. ROSENBERG: All right. Let's go  
16 to two errors that you say the proponent makes in  
17 the assessment of significance. Firstly, you say  
18 that the Partnership masks the significance of  
19 incremental effects by saying that they are small  
20 compared to bigger previous disturbances. Agreed?  
21 That's one of your points?

22 MS. GUNN: Could you point out the  
23 page?

24 MS. ROSENBERG: You are really  
25 passionate about it, because you say it four times

1 as a general concept, it is page 15, page 18, page  
2 35, and page 37 of your report.

3 You say on page 35, for example, we  
4 also note in chapter 7 that the incremental  
5 impacts of the project are often traded off  
6 against the significance of all other disturbances  
7 of activities in the project region. Agreed? You  
8 said that four times?

9 MS. GUNN: Yes, there it is at page  
10 35.

11 MS. ROSENBERG: All right. Dr. Gunn,  
12 the only example of this error that I could find  
13 in the 41 pages of your paper was the terrestrial  
14 VEC called intactness. And you gave that example  
15 on page 18.

16 Before we go to that example, I just  
17 want to keep in mind that the intactness  
18 assessment was something that you thought was done  
19 well in this report, correct?

20 MR. NOBLE: Reasonably well in terms  
21 of the approach adopted.

22 MS. ROSENBERG: And at page 18 you  
23 quoted chapter 7, page 728, are you with me?

24 MS. GUNN: I think we see it.

25 MS. ROSENBERG: And the quote you

1 picked out from chapter 7 says these words:

2 "Overall the likely residual project  
3 effects on regional intactness are  
4 expected to be adverse but small,  
5 because the project footprint is  
6 located in an area where intactness is  
7 already low due to past human  
8 activities."

9 And you offered that as an example of an attempt  
10 to minimize the significance of an effect by  
11 saying that it is small compared to worse effects,  
12 correct?

13 MR. NOBLE: Okay.

14 MS. ROSENBERG: But in chapter 7, the  
15 part that you are quoting is itself a summary of  
16 what is in chapter 6. Did you follow that?

17 MR. NOBLE: If you say so, I can't  
18 confirm that right here but --

19 MS. ROSENBERG: Well, I say so,  
20 Dr. Noble, because it is extremely important in  
21 understanding what is being said in the document,  
22 and it does say so. And I'm asking whether you  
23 understood that?

24 MR. NOBLE: I did understand what?  
25 Sorry?

1 MS. ROSENBERG: Did you understand  
2 that those words that you quoted are simply a  
3 brief summary of what is in chapter 6 of the  
4 document?

5 MR. NOBLE: I'm pretty sure I would  
6 have understood what it was saying. I mean, I  
7 used the example based on my reading of the  
8 technical report, chapter 6 and chapter 7, and  
9 provided it as an example.

10 MS. ROSENBERG: Can you look with me  
11 at section 6.5.3.3.5 -- that's a lot of numbers.  
12 I will give you a minute to go there. Section  
13 6.5.3.3.5. That's where you see the summary of  
14 the conclusion about residual effects on  
15 intactness taking into account Keeyask and  
16 existing cumulative effects; right?

17 MR. NOBLE: Yes.

18 MS. ROSENBERG: And one of the  
19 measures of intactness is linear featured density,  
20 correct?

21 MR. NOBLE: Correct.

22 MS. ROSENBERG: And the other is the  
23 extent to which core area remains untouched?

24 MR. NOBLE: Correct.

25 MS. ROSENBERG: I'm going to ask you

1 to look at the core area example in the slides  
2 that Dr. Ehnes presented two weeks ago. We are  
3 going to put up those slides now. It was slides,  
4 starting with slide 45 in Dr. Ehnes's original  
5 presentation.

6 MR. WILLIAMS: I hate to interrupt,  
7 would you mind if I just provided -- you have only  
8 given part of one page of that section -- would  
9 you mind if I approach and just provided --

10 MS. ROSENBERG: I believe that  
11 Dr. Gunn has it in front of her. Help yourself,  
12 of course. I want to go through this example, and  
13 I think it is important to see how your conclusion  
14 compares to the example. We are taking a look at  
15 the intactness slide, and you see that the  
16 cumulative effects are assessed starting with a  
17 pre-development condition. Agreed?

18 MR. NOBLE: Agreed.

19 MS. ROSENBERG: Then the existing  
20 cumulative effects are added. Agreed?

21 MR. NOBLE: Agreed.

22 MS. ROSENBERG: And if we go to the  
23 next slide, we see the addition of Keeyask to  
24 those existing cumulative effects. Correct?

25 MR. NOBLE: Correct.

1 MS. ROSENBERG: And the measurement is  
2 against the historic pre-development condition.  
3 Correct?

4 MR. NOBLE: That's correct.

5 MS. ROSENBERG: What remains is 82 per  
6 cent of the original historic pre-development  
7 condition. And then if we go forward to the next  
8 slide, we see Keeyask plus future projects;  
9 correct?

10 MR. NOBLE: Correct.

11 MS. ROSENBERG: Again, the measure is  
12 against the historic reference condition, correct?

13 MR. NOBLE: That's correct.

14 MS. ROSENBERG: So I would suggest to  
15 you that that analysis is the very opposite of a  
16 trade-off?

17 MR. NOBLE: Okay.

18 MS. ROSENBERG: Agreed?

19 MR. NOBLE: I'm not sure I agree why  
20 you say it is the opposite of a trade-off.

21 MS. ROSENBERG: Well, tell me again  
22 what a trade-off is?

23 MR. NOBLE: What we are looking at in  
24 this particular example is the contribution of the  
25 project to loss of intactness or core area over

1 time, its contribution versus the contribution of  
2 all other actions and activities that have  
3 happened. So if we look at from 99 per cent to 81  
4 per cent, whether that's a significant change or  
5 not I guess is up to the people who make the  
6 decisions on this. But if you are to look at that  
7 change and say, add in Keeyask, plus existing  
8 cumulative effects, so there is a one per cent  
9 difference between Keeyask existing cumulative  
10 effects and Keeyask existing and future projects,  
11 so Keeyask seems to be adding a very small  
12 contribution to that.

13 MS. ROSENBERG: Agreed.

14 MR. NOBLE: Relative to the other  
15 effects that are occurring, it is small. The very  
16 definition of a cumulative effect is what we see  
17 on that graph, moving from 99 per cent to 81 per  
18 cent. So it is less, the 83, to 82, to 81. But  
19 what we are concerned about in looking at this is,  
20 Keeyask existing in future projects is somewhat  
21 restrictive in terms of the types of future  
22 projects considered. So if we add those scenarios  
23 into the equation, I don't know what that 81 per  
24 cent would look like. The cumulative effects we  
25 are seeing here is a shift from 99 per cent to 81

1 per cent to whatever that might be in the future.  
2 If Keeyask added only 0.2 per cent of that change,  
3 it is extremely small compared to the rest of the  
4 change that's being identified. But that's not  
5 the point that we are making. The point we are  
6 making is overall that's not sort of the way that  
7 you approach the cumulative effects. It is  
8 whether the magnitude of the total change from  
9 past to present and going into the future is  
10 significant at all. So I agree in part, but the  
11 point that we are making is how this is  
12 interpreted in terms of what a cumulative effect  
13 is. And maybe we just disagree on that.

14 MS. ROSENBERG: Well, Dr. Noble, the  
15 point you made in your paper and the point you  
16 made in the presentation was that it is a  
17 mistake --

18 MR. NOBLE: No, I didn't say it was a  
19 mistake.

20 MS. ROSENBERG: Let me finish the  
21 question -- that it is a mistake to assess  
22 significance by comparing a small effect to a  
23 bigger effect of the past, and you called that a  
24 trade-off?

25 MR. NOBLE: I said no matter how small

1 the effect, when we add it to effects that have  
2 already occurred, they are cumulative effects.  
3 And the statement that's being made in this  
4 document in the summary is that it is occurring in  
5 a portion of the regional study area where  
6 intactness is already low due to past and current  
7 human development. And I'm not debating the  
8 technical analysis that was performed, I'm  
9 debating the principle of adopting a cumulative  
10 effects assessment approach or view on this, and  
11 making the statement. And so if this is not what  
12 was meant, it sure is what was said. And so I  
13 think that's sort of the challenge. If it wasn't  
14 meant, I mean, it sure says that, regardless of  
15 what the powerpoint slides show. This is the  
16 statement of the summary of the cumulative  
17 effects. And so that's what my comment in here  
18 was based on, not Dr. Peake's powerpoint per se.  
19 So I guess I just tend to see it differently.

20 MS. ROSENBERG: Well, I would suggest  
21 to you, sir, that you took a single sentence of  
22 the report, and out of that you said that a  
23 mistake was made by using a trade-off. And I  
24 would -- I would like to finish -- I would like to  
25 suggest to you that the true measure of how the

1 proponent assessed significance of this effect is  
2 represented on that slide, and that slide is a bar  
3 graph that takes the technical data that was in  
4 the report, and in one of the IR answers, and it  
5 puts it in a visual form so that you can see the  
6 thinking made transparent.

7                   And I further suggest to you that if  
8 you look at that slide, you will see that the  
9 assessment of significance is not a comparison of  
10 we are only adding one per cent, it is a  
11 comparison to the historic benchmark and using a  
12 threshold benchmark analysis of intactness that  
13 remains when you add these effects. Agreed?

14                   MR. NOBLE: I will just -- I mean, I  
15 did read the technical report. I did read all of  
16 the information. And so I didn't make my  
17 conclusion based on one sentence, and I stand by  
18 my statement in terms of the principle of  
19 cumulative effects. Thank you.

20                   MS. ROSENBERG: What was the measure  
21 of significance that was applied in this  
22 intactness assessment?

23                   MR. NOBLE: In this particular  
24 intactness assessment -- I'm going here from  
25 recall -- they had a core area percentage change,

1 I believe, and a density feature. And I think  
2 they were using, connecting that, if I remember  
3 correctly, to caribou habitat guidelines for  
4 Environment Canada. I'm not 100 per cent certain  
5 on that, I'm just recalling that.

6 MS. ROSENBERG: Well, right now we are  
7 just talking about intactness. How was the  
8 measure of significance of the intactness measure  
9 determined?

10 MR. NOBLE: Based on the benchmark  
11 shown in this diagram.

12 MS. ROSENBERG: Based on the  
13 benchmark, thank you.

14 And it is just a fact that if new  
15 development is built largely within the footprint  
16 of an existing development, it doesn't take up  
17 much more of the untouched area, correct?

18 MR. NOBLE: Sorry, could you restate  
19 that?

20 MS. ROSENBERG: It is just a simple  
21 fact that when you build new development, and you  
22 build it within an area that's already impacted,  
23 you don't diminish the core area any more?

24 MR. NOBLE: Yes, if it is being built  
25 in an area where there is no core area, yeah, you

1 are not taking away core area.

2 MS. ROSENBERG: And that's a good  
3 thing.

4 MR. NOBLE: That's relative.

5 MS. ROSENBERG: Dr. Noble, is it  
6 relative to that benchmark?

7 MR. NOBLE: Is what relative to that  
8 benchmark?

9 MS. ROSENBERG: Is it a good thing not  
10 to go closer to the benchmark?

11 MR. NOBLE: It is a good thing not to  
12 go closer to the benchmark, yes. Is it a good  
13 thing that we move from 99 per cent to 81 per  
14 cent? No. I mean, I'm not sure what else to say.

15 MS. ROSENBERG: Let's go to slide  
16 38 -- sorry, the next slide in the deck. And that  
17 slide shows the total terrestrial habitat effects  
18 from past, current and future projects, including  
19 Keeyask, and it shows that those impacts are less  
20 than 7 per cent of the pre-development area;  
21 correct?

22 MR. NOBLE: Sorry, are less than?

23 MS. ROSENBERG: 7 per cent?

24 MR. NOBLE: Yes.

25 MS. ROSENBERG: Would you say that

1 that slide is an example of assessing significance  
2 against a benchmark?

3 MR. NOBLE: It appears to be.

4 MS. ROSENBERG: And I would suggest to  
5 you, sir, that nowhere in this entire assessment  
6 has the proponent ever suggested that an adverse  
7 effect is not significant because it is small  
8 compared to an existing impact. And in fact, what  
9 has been said is that it is small compared to the  
10 per cent of area remaining in the region?

11 MR. NOBLE: Okay.

12 MS. ROSENBERG: Agreed?

13 MR. NOBLE: I can't offhand without  
14 double checking, but I will.

15 MS. ROSENBERG: Subject to check,  
16 agreed?

17 MR. NOBLE: Subject to check, agreed.

18 MS. ROSENBERG: Let's look at the  
19 other error that you say the proponent made.

20 MR. NOBLE: I didn't say that was an  
21 error, by the way, I just said in terms of the  
22 interpretation and approach to how cumulative  
23 effects are defined. I just wanted to make sure  
24 that's clear.

25 MS. ROSENBERG: Let's go on. On page

1 37 you say that cumulative effects can be masked  
2 or minimized by broadening the geographic scale of  
3 reference. Do you see that?

4 MS. GUNN: Are you talking about the  
5 presentation?

6 MS. ROSENBERG: Page 37 of your  
7 report?

8 MS. GUNN: Of the report.

9 MS. ROSENBERG: And again you use  
10 intactness as an example and you quote again a  
11 sentence out of chapter 7 of the report. Do you  
12 see that?

13 MS. GUNN: You are in where, the last  
14 paragraph?

15 MS. ROSENBERG: Page 37 of your  
16 report.

17 MS. GUNN: The last paragraph?

18 MS. ROSENBERG: Correct. And you are  
19 quoting on intactness, a section from chapter 7 of  
20 the report. Okay, are you there?

21 MS. GUNN: Well, I don't see a quote  
22 in that paragraph.

23 MS. ROSENBERG: Forgive me, it is on  
24 page 38, turn over the page, intactness is an  
25 example.

1 MS. GUNN: Yes.

2 MS. ROSENBERG: And you quoted chapter  
3 7 again.

4 MS. GUNN: Yes.

5 MS. ROSENBERG: You said:

6 "Although total core area would  
7 decline by approximately 135 square  
8 kilometres, the percentage of the  
9 regional study area in core area is  
10 expected to remain higher than 80 per  
11 cent of land area, which is well  
12 within the range for low magnitude  
13 core area effects."

14 And I would suggest to you that is an example of  
15 the assessment of significance against benchmarks.  
16 Agreed?

17 MS. GUNN: Yes.

18 MS. ROSENBERG: And against a  
19 historical reference condition?

20 MS. GUNN: Yes.

21 MS. ROSENBERG: And the benchmark  
22 gives you the health of the environment going  
23 forward. Correct?

24 MS. GUNN: Yes.

25 MS. ROSENBERG: And the historical

1 reference condition gives you, where did we come  
2 from in the past?

3 MS. GUNN: That's right.

4 MS. ROSENBERG: Now, Dr. Gunn, do you  
5 recall your testimony at the Bipole III hearing?

6 MS. GUNN: I'm not sure which piece.

7 MS. ROSENBERG: You won't have it, but  
8 I would like to read to you a little bit of what  
9 you said, if that's okay.

10 MS. GUNN: All right. Sure.

11 MS. ROSENBERG: "The point is that  
12 unless you have some established  
13 threshold, you can't really identify  
14 or comment on the significance of the  
15 cumulative effect..."

16 MS. GUNN: Um-hum.

17 MS. ROSENBERG: "...threshold."

18 MS. GUNN: Okay. Yes.

19 MS. ROSENBERG: Now, those thresholds  
20 could be ecological limits. And when you look up  
21 that slide and you see the benchmark, and you see  
22 the benchmark referred to in the section of  
23 chapter 7 that you just quoted, isn't that exactly  
24 what we are talking about?

25 MS. GUNN: Well, on this page of the

1 report, the point that's being made is that a  
2 second way, another way that cumulative effects  
3 can sometimes be masked or minimized is to broaden  
4 the scale of geographic reference, that's the  
5 point. And so that quote with respect to  
6 intactness was one example of a statement whereby  
7 you are comparing the effects locally to the  
8 effects more broadly in a regional study area.  
9 And in that sense those more localized effects  
10 could be made to seem less significant. So that's  
11 what the context is about there. It is not about  
12 thresholds and benchmarks, it is about broadening  
13 out the geographic scale of reference.

14 MS. ROSENBERG: Isn't it the case that  
15 you noticed as a positive that the terrestrial  
16 assessment, which is what we are talking about  
17 here, used eco-system boundaries as the measure  
18 for where to set those regional project --

19 MS. GUNN: Yes.

20 MS. ROSENBERG: They did that?

21 MS. GUNN: Yes.

22 MS. ROSENBERG: So that's an  
23 appropriate measure?

24 MS. GUNN: Yes, it is an appropriate  
25 measure, yes.

1 MS. ROSENBERG: And you said actually  
2 in your Bipole III testimony that there are  
3 different ways to set those thresholds, but they  
4 could be ecological limits?

5 MS. GUNN: Yes.

6 MS. ROSENBERG: And you said part of  
7 what one does is determine minimum viable  
8 population levels?

9 MS. GUNN: Yes, that was done.

10 MS. ROSENBERG: Then you look to see  
11 the minimum habitat needed to support those  
12 population levels?

13 MS. GUNN: Yes. And that was done.

14 MS. ROSENBERG: Correct?

15 MS. GUNN: Yes.

16 MS. ROSENBERG: Then you went on to  
17 say that thresholds can be ecological or they  
18 could be benchmarks, which is an acceptable amount  
19 of change. Correct?

20 MS. GUNN: Yes.

21 MS. ROSENBERG: Or they could be --

22 MS. GUNN: Yes, we thought that was an  
23 element of good practice here.

24 MS. ROSENBERG: And I'm going to  
25 suggest to you then that what you see displayed on

1 the slide and in this assessment is actually an  
2 example of the method you advocated at the Bipole  
3 III hearings?

4 MS. GUNN: Absolutely, but it is not  
5 what this piece of this report was about, that  
6 wasn't the point that was being made in using this  
7 quote.

8 MS. ROSENBERG: When the regional  
9 boundaries were set for this assessment, it was  
10 done based on a set of criteria. Agreed?

11 MS. GUNN: Yes.

12 MS. ROSENBERG: And you actually  
13 commented that those were appropriate criteria?

14 MS. GUNN: Yes, I'm not disagreeing  
15 with that.

16 MS. ROSENBERG: So the comparison to  
17 the regional study area is the appropriate  
18 comparison?

19 MS. GUNN: Yes, and I'm not  
20 disagreeing with that. What we are trying to say  
21 is that sometimes when the significance effects  
22 are reported in environmental impact statements,  
23 the way that it is characterized, the way that it  
24 is described can have a masking or minimizing  
25 effect. And I draw some examples, some other

1 examples of that on slide number 36. Again, with  
2 respect to moose the statement is:

3 "Small changes in habitat are expected  
4 compared to regional availability."

5 Okay. So that can have a bit of a masking or  
6 minimizing effect to state it that way. That's  
7 the point. Another example of a statement like  
8 that related to caribou:

9 "For summer residents the cumulative  
10 reduction in intactness is one per  
11 cent; small compared to the regional  
12 study area."

13 But the regional study area, although we make our  
14 best attempt to set the right boundaries and it is  
15 good practice to say ecologically, it is still  
16 rather subjective, the setting of boundaries. So  
17 if you are stating what the significance of  
18 effects are compared to a boundary, that can have  
19 a minimizing or masking effect, and that's the  
20 point of this area of the report. It is not to  
21 contest what is on the slides. It is appropriate  
22 to use benchmarks and past reference conditions  
23 and all of that. That's not what this is about.

24 MS. ROSENBERG: So the comparison to a  
25 region, a study region which was selected on

1 ecological criteria then, in your view, is  
2 correct? That's the best that we can do?

3 MS. GUNN: It is considered good  
4 practice, yes.

5 MS. ROSENBERG: All right. Thank you.

6 Just one more point on intactness and  
7 then we will move on. If you go back to page 13,  
8 we are going back to the comment where you  
9 remarked that the study region didn't include the  
10 footprint of other future projects. And I will  
11 just take a moment and help you with what  
12 paragraph it is at.

13 And the comment you make there is,  
14 spatial values in CEA scoping should be VEC  
15 centred and not project centred. And then you  
16 comment that the regional ecological boundaries,  
17 which you say are adopted for the direct  
18 assessment, but I think we established that it is  
19 both direct and indirect effects. Correct?

20 MS. GUNN: Yes.

21 MS. ROSENBERG: You are suggesting  
22 those aren't broad enough to capture other  
23 existing and future developments.

24 Now I'm going to ask you again whether  
25 it is your position that in order to be accurate

1 you need to capture the footprints of those other  
2 projects?

3 MS. GUNN: Yes. What I was thinking  
4 about there, you know, when I wrote this, I was  
5 echoing the concerns of the CEC at the time about  
6 the study zone five, and perhaps those boundaries  
7 should be extended for assessment. But I was also  
8 thinking of projects like the Bipole III, which is  
9 identified as a future project. And so the study  
10 zones, the study areas that are designated for the  
11 direct and indirect effects assessment do capture  
12 a portion of the Bipole III, but they don't  
13 capture all of Bipole III. And the point is, when  
14 you are thinking about effects in the future of  
15 the project, there could be effects for the Bipole  
16 III operation and vegetation maintenance long term  
17 that wouldn't have been captured within the study  
18 zone areas for the Keeyask as it stands. So that  
19 would be one example.

20 MS. ROSENBERG: So are you suggesting  
21 then that the whole length of the Bipole III  
22 should be scoped in to say an assessment of  
23 terrestrial habitat?

24 MS. GUNN: It certainly could  
25 conceivably be scoped in. According to the

1 Hegmann guidance, it is within the purview of a  
2 proponent to scope in -- you could be scoping in  
3 stuff that is trans-boundary and global in terms  
4 of scale, if there is some reason to believe that  
5 the project effects will have changes on that  
6 scale. So that is why I'm saying that it is  
7 possible that the study boundaries, as they are  
8 defined, don't necessarily capture all of the  
9 indirect effects that could come. And yes, you  
10 know the Bipole III, that's a very long  
11 transmission line, that's 1,300 kilometres of  
12 transmission line traveling down to the south. So  
13 a piece of that is definitely captured within the  
14 study zone boundaries as designated, but clearly  
15 the operation and maintenance of the Bipole III  
16 for the next 100 years outside of that could also  
17 have indirect effects that are of concern to  
18 people, and some of those indirect effects can be,  
19 you know, things like opening up -- leading to  
20 more hunting pressures, inducing more hunting  
21 pressures in those areas because there are no  
22 access roads, because of the transmission  
23 right-of-way itself allows access that wasn't  
24 there before. So these kinds of indirect effects  
25 are real, are connected to the project, but don't

1 necessarily -- aren't necessarily captured within  
2 the ecological boundaries, even though ecological  
3 boundary setting is good practice. So that's what  
4 this is about.

5 MS. ROSENBERG: What your comment went  
6 to was the spatial boundaries for the cumulative  
7 effects assessment. That was your comment?

8 MS. GUNN: Um-hum.

9 MS. ROSENBERG: And you were  
10 commenting that spatial boundaries --

11 MS. GUNN: Yes, that's what I was just  
12 talking about.

13 MS. ROSENBERG: And in the comment you  
14 made on page 13, you suggested that the spatial  
15 boundaries were too small, just in short, right?

16 MS. GUNN: Well, I was just suggesting  
17 that they, yes, they could possibly be too limited  
18 to capture the full range of indirect or induced  
19 effects of the project, yes.

20 MS. ROSENBERG: And if you want to go  
21 all the way down the length of the Bipole III, the  
22 study region could be all the way to Winnipeg and  
23 beyond?

24 MS. GUNN: Yes, it could be. But it  
25 has to be based on the issue at hand, on the

1 valued ecosystem component concerned and the scale  
2 of the issue. Within good practice guidance it is  
3 conceivable that you would have to set global  
4 boundaries or national boundaries or  
5 trans-national boundaries. So it is possible that  
6 you may scope in the whole Bipole III, you may do  
7 that if there was reason to be concerned.

8 MS. ROSENBERG: And VEC by VEC, it  
9 would be the judgment of the professional who did  
10 that assessment, what was the proper scope for the  
11 regional boundaries, taking full account of the  
12 impacts from this project in combination with  
13 other projects?

14 MS. GUNN: Yes, we are not disagreeing  
15 that the ecological boundary setting approach was  
16 incorrect, that is good practice. It is just when  
17 you are thinking of things from a cumulative  
18 effects assessment, you have to then rethink again  
19 if those boundaries may need to adjust to be able  
20 to tell you what you need to know about VEC  
21 sustainability. That's all.

22 MS. ROSENBERG: And if I told you  
23 those regional boundaries were set precisely to  
24 measure VEC sustainability and they were set  
25 precisely to counter the maximum total detectable

1 influence on the population, that was judged to be  
2 the population, population by population affected  
3 by Keeyask?

4 MS. GUNN: Yes.

5 MS. ROSENBERG: That would be good  
6 practice?

7 MS. GUNN: It would be. We think  
8 that's a good practice element of this particular  
9 impact assessment.

10 MS. ROSENBERG: All right. So the  
11 suggestion that an area is too small, you will  
12 agree, would contradict with an implication that  
13 the area is too big; correct?

14 MS. GUNN: I am sorry, can you restate  
15 that?

16 MS. ROSENBERG: You complained on page  
17 13 --

18 MS. GUNN: I would like to think I  
19 don't complain.

20 MS. ROSENBERG: You suggested on page  
21 13 that the spatial boundaries were short of what  
22 they should have been, that they should have been  
23 bigger; correct?

24 MS. GUNN: I said they are not broad  
25 enough to capture other existing and future

1 developments to the northeast of study zone five,  
2 echoing at the time the concern of the panel.

3 MS. ROSENBERG: And the concern of the  
4 panel was taken into account, do you recall?

5 MS. GUNN: Yes, that's right. And  
6 that's great. And then I went on to say also not  
7 scoped broadly enough necessarily to talk about  
8 potential indirect cumulative impacts, which is  
9 what I was just explaining to the panel.

10 MS. ROSENBERG: And when that concern  
11 was taken into account, and intactness was  
12 recalculated taking into account study zone six,  
13 what was the result?

14 MS. GUNN: I don't recall.

15 MS. ROSENBERG: I will remind you of  
16 the result. And the result was that the impact of  
17 Keeyask looked smaller than under the original  
18 assessment.

19 MS. GUNN: Perhaps because the study  
20 zone was larger, yes.

21 MS. ROSENBERG: Because the area was  
22 larger.

23 MS. GUNN: Um-hum.

24 MS. ROSENBERG: And I would suggest to  
25 you that you can't have it both ways, you can't

1 have a study zone that's too small and too big all  
2 on the same VEC measure?

3 MR. NOBLE: Can I respond?

4 MS. ROSENBERG: Sure.

5 MR. NOBLE: You are right, you can't  
6 have it both ways, but that's not the point. The  
7 point is making the comparison to, you can make  
8 the comparison to a very small area, make the  
9 comparison to a very large area. The point that  
10 we are making is not to make the comparison to,  
11 that's the principle that we have identified. You  
12 can pick the continent as our study area and look  
13 at intactness and, boy, would Keeyask look very  
14 small. And we could say on the continental scale,  
15 this is not an issue. And that's the principle  
16 that Jill was getting at in terms of re-examining  
17 what those ecological boundaries are when you make  
18 these sorts of decisions. Because there are two  
19 different things at play here. One is the process  
20 of how you select boundaries for your cumulative  
21 effects assessment. The other one is the  
22 principles on which you make decisions about what  
23 is or isn't significant. They are two different  
24 processes. And I think that's the point that we  
25 are trying to make.

1                   Can you have it both ways? I mean,  
2   that's the issue. You can't have it both ways and  
3   we are not -- I don't think that we are asking for  
4   it both ways. But we are asking to make sure  
5   that, you know, boundary setting and  
6   determinations of significance aren't affected or  
7   tempered by the scale which is used. That's the  
8   point that we are making. We agree with this, and  
9   the approach and the trends analysis and the  
10  benchmarks, and that's an extremely positive  
11  feature of the environmental assessment in terms  
12  of its practice.

13                   MS. ROSENBERG: And you agree as well  
14  that taking into account natural boundaries,  
15  ecological boundaries, is the right way to do the  
16  delineation of your study area, correct?

17                   MR. NOBLE: As Jill mentioned, yes,  
18  you start there by using those boundaries, and  
19  then you may need to revisit issues as you go  
20  along if the VECs are being affected. So, I mean,  
21  the challenge is you delineate the boundary at the  
22  outset, and one would hope in an environmental  
23  assessment there is some learning as we go along  
24  and collect data and analyze trends and  
25  disturbance. There isn't a rule that when you

1 define the boundary at the start of your  
2 environmental assessment, that's it, you are  
3 locked into that.

4           If, as Jill mentioned, there is reason  
5 to believe that ecological boundary as designated,  
6 which is fuzzy, as is in terms of the concept,  
7 isn't big enough to capture the real issues of  
8 concern, then you will want to extend that to make  
9 sure you do capture the stressors that are  
10 affecting the VEC of concern.

11           MS. ROSENBERG: I'm glad to hear that,  
12 because adjustment of boundaries is exactly what  
13 occurred in this assessment. And I wonder if you  
14 would turn your minds to an example of when it  
15 came to the point where the adverse effects  
16 agreements were negotiated. Did you notice that  
17 part in the assessment? That there were indirect  
18 effects on wildlife as a result of those adverse  
19 effects agreements and the activities that  
20 provided for them?

21           MR. NOBLE: I don't recall that.

22           MS. ROSENBERG: You don't recall that  
23 spatial boundaries were, in fact, adjusted to take  
24 account of that. All right.

25           I want to go to page 26 of your

1 report, and you are commenting on reference to the  
2 use of benchmarks for assessing plants. And I'm  
3 looking at the sentence that starts, "One of the  
4 citations."

5 "One of the citations provided  
6 supporting these benchmarks for  
7 priority plants is Hegmann et al."

8 And that's the guide, the cumulative effects  
9 assessment guide, correct?

10 MR. NOBLE: I can't find that on page  
11 26, I am sorry.

12 MS. ROSENBERG: All right. Give it a  
13 moment.

14 MR. NOBLE: Sorry, it is page 25, I do  
15 see it.

16 MS. ROSENBERG: My apologies. You are  
17 right, it starts on page 25 and it moves to page  
18 26. What you have said is:

19 "One of the citations provided  
20 supporting these benchmarks for  
21 priority plants is Hegmann, leading  
22 one to believe that the Practitioner's  
23 Guide on CEA has established such  
24 benchmarks. And nowhere in the  
25 Hegmann guide is there recommended

1 benchmarks for plants of any kind."

2 And you finish that paragraph with:

3 "This is misleading."

4 Do you happen to have a copy of the guide in front  
5 of you?

6 MS. GUNN: Yes, we do.

7 MS. ROSENBERG: Would you turn to page  
8 42? We have copies for the Commission.

9 Did you see page 42 under biological  
10 VECs?

11 MR. NOBLE: Yes, I did.

12 MS. ROSENBERG: Do you see the first  
13 question?

14 MR. NOBLE: How much of the population  
15 may have their reproductive capacity and/or  
16 survival of individuals affected, or for habitat,  
17 how much of their productive capacity of their  
18 habitat may be affected.

19 MS. ROSENBERG: Would you agree that  
20 that's a suggestion of one method to do this by  
21 using percentage loss of productive habitat as a  
22 benchmark for biological VECs?

23 MR. NOBLE: I do agree that it  
24 provides suggestion for using benchmarks for  
25 biological VECs.

1 MS. ROSENBERG: Not the specific  
2 benchmarks, but the idea of benchmarks and the  
3 percentages?

4 MR. NOBLE: Yes, the idea and some  
5 suggested percentages.

6 MS. ROSENBERG: And I take it that you  
7 agree that plants are a biological VEC?

8 MR. NOBLE: Yes, I do. But Hegmann  
9 doesn't refer to priority plants, it is a minor  
10 point overall, but I do agree with you, it could  
11 be interpreted that way. I found it misleading  
12 personally when I was reading it.

13 MS. ROSENBERG: But you do agree that  
14 Hegmann is the authority for the general  
15 principle?

16 MR. NOBLE: Is authority?

17 MS. ROSENBERG: Is authority for the  
18 general principle?

19 MR. NOBLE: Yes, I do.

20 MS. ROSENBERG: Sure. And the  
21 citation doesn't stop with Hegmann, does it, it  
22 provides another source which you yourself mention  
23 in your text?

24 MR. NOBLE: Yes.

25 MS. ROSENBERG: So I suggest to you

1 that the cite is far from being misleading, it is  
2 actually complete because it is giving you the  
3 general and then the specific reference, both.

4 MR. NOBLE: Okay. Fair enough. I  
5 will go, I mean, my reading of it was I found it  
6 misleading personally. I mean, the issue is how  
7 the benchmarks are used. But I will agree.

8 MS. ROSENBERG: Now, I want to deal  
9 with the suggestion that the terrestrial  
10 assessment didn't consider Bipoles I and II. And  
11 you say that on page 19, last paragraph. Do you  
12 see that?

13 MS. GUNN: Yes.

14 MS. ROSENBERG: I would like you to  
15 look at a map that was in the materials in the  
16 EIS. And it is response to EIS guidelines map  
17 630. And we are going to put it up on the screen  
18 for you. Sorry, we only have hard copies, we will  
19 pass out the hard copies, it will take us a bit  
20 longer.

21 And I'm going to show you another map  
22 as well. It is the terrestrial environment  
23 supporting volume map 212, and 213. And this is a  
24 map, 6-30, it is marked on the bottom. Do you see  
25 it?

1 MS. GUNN: Yes, we see it.

2 MS. ROSENBERG: It shows linear  
3 features and core areas?

4 MS. GUNN: Yes, we see that.

5 MS. ROSENBERG: And I want you to  
6 confirm for me that the routes of Bipoles I, II  
7 and III are all accounted for in that map?

8 MS. GUNN: Sorry, what did you say was  
9 accounted for, the routes I, II, and III?

10 MS. ROSENBERG: I and II.

11 MS. GUNN: The quality --

12 MR. NOBLE: We are having trouble  
13 seeing them.

14 MS. GUNN: The quality of the map  
15 doesn't allow us to see the line.

16 MS. ROSENBERG: Would you like  
17 somebody to point it out for you?

18 MS. GUNN: Sure.

19 MS. ROSENBERG: Dr. Ehnes is going to  
20 come up here and show you where it is. It might  
21 help you as well to look at the linear features  
22 map which is marked Mac212.

23 MS. GUNN: That's much clearer. Thank  
24 you.

25 MS. ROSENBERG: And map 213 has the

1 core areas. Agreed?

2 MS. GUNN: Could you repeat the  
3 question?

4 MS. ROSENBERG: I'm asking you to  
5 confirm that the routes are in, not out?

6 MS. GUNN: A part of the route is in.

7 MS. ROSENBERG: The part of the route  
8 that's in the regional study area, correct?

9 MS. GUNN: The part of the route that  
10 is in the study area is in the study area, yes.

11 MS. ROSENBERG: And we are back to the  
12 question of whether the study area is broad  
13 enough?

14 MS. GUNN: Well, it doesn't capture  
15 the entire line.

16 MS. ROSENBERG: It doesn't capture the  
17 entire route of Bipoles I, II and III, I agree.

18 MS. GUNN: No.

19 MR. WILLIAMS: Mr. Chair, I'm just  
20 mindful of the physical comforts of my witnesses.

21 I don't want to interfere with Ms. Rosenberg's  
22 cross, but I would suggest as we approach  
23 3:00 o'clock, if she can find a time that doesn't  
24 interfere with the direction -- I apologize for  
25 interrupting, Ms. Rosenberg, I just want to make

1 sure I get some mental health or physical breaks  
2 for our witnesses.

3 THE CHAIRMAN: You are trying to take  
4 over my job.

5 MS. ROSENBERG: I think if we are at  
6 where we are at, I think I'm almost done with one  
7 more question.

8 THE CHAIRMAN: Okay. Let's conclude  
9 and then we will take our break.

10 MS. ROSENBERG: Would you agree that  
11 the effects of Bipoles I, II and III on each of  
12 the terrestrial VECs were taken account of fully  
13 and properly within the regional study boundaries  
14 that were set?

15 MS. GUNN: I can't recall with  
16 certainty, you know, the evidence that would  
17 support that. But I would, if you are asserting  
18 that was true, I would accept that assertion.

19 MS. ROSENBERG: You are not  
20 challenging it?

21 MS. GUNN: No, I won't challenge it, I  
22 can't recall.

23 MR. NOBLE: Within the study area  
24 that's defined, and within the boundaries that are  
25 drawn, then my recollection is based on the

1 intactness and core area habitat that it was  
2 included within the boundaries that are shown.

3 MS. ROSENBERG: Past, present and  
4 future?

5 MR. NOBLE: I know for sure past and  
6 present. I would only be -- yeah.

7 MS. ROSENBERG: Look at the slides,  
8 sir, past, present and future?

9 MR. NOBLE: Past, present and future,  
10 sure, within the regional boundary that is  
11 identified.

12 MS. ROSENBERG: Significance assessed  
13 against benchmarks.

14 MR. NOBLE: Within the context of the  
15 study area, yes.

16 MS. ROSENBERG: Within the context of  
17 the regional study area for every VEC?

18 MR. NOBLE: Yeah, I can't answer that.

19 MS. ROSENBERG: You are not  
20 challenging it?

21 MR. NOBLE: No, I'm not challenging  
22 because I don't know.

23 MS. ROSENBERG: We can take our break.

24 MR. NOBLE: Thank you.

25 THE CHAIRMAN: Thank you,

1 Ms. Rosenberg. We will take a break for 15  
2 minutes, so come back just after 3:15, please.

3 (Proceedings recessed at 3:02 p.m. and  
4 reconvened at 3:15 p.m.)

5 THE CHAIRMAN: I would like to  
6 reconvene, please. Okay, Ms. Rosenberg.

7 MS. ROSENBERG: Thank you, Mr.  
8 Sargeant. You will be glad to know that I have  
9 two more maps to show you, and then we are almost  
10 done. And one is going to come up on the screen  
11 and you are going to find it very familiar,  
12 because it is taken from a report that I think you  
13 rely on in one of the references. And just so  
14 that we identify it correctly, it is I think -- we  
15 have a copy of the ---it is from Squires et al, it  
16 is one of your references, I think it is yours,  
17 Dr. Noble, because you use that information in a  
18 further report that you actually contributed to,  
19 and your name is on that other one. It is called  
20 "An Approach for assessing cumulative effects in a  
21 model river, the Athabaska River basin."

22 MR. NOBLE: That's Squires,  
23 Westbrook --

24 MS. ROSENBERG: Squires, Westbrook and  
25 Dube. And I think the information in here is what

1 you were using this morning in your presentation  
2 when you were talking about the Athabaska River as  
3 an example.

4 MR. NOBLE: Yes, it was from there and  
5 from Alison Squires PhD thesis.

6 MS. ROSENBERG: Great. Okay. And I  
7 read those articles, and I enjoyed them very much.  
8 And I looked at that map and when I looked at  
9 it -- and that map just for the Commission, why  
10 don't you explain what that map shows, because it  
11 may not be as obvious to them as it is to me. Do  
12 you want to explain it or shall I do it and you  
13 can tell me if I'm right?

14 MR. NOBLE: Go ahead.

15 MS. ROSENBERG: I see the hatched area  
16 is agriculture, and I take it that's agricultural  
17 impacts on the river, and then you have all of the  
18 Xs represent oil and gas wells, and then the  
19 diamonds represent point source sewage discharge  
20 into the river, and then you have some cities and  
21 also pulp mills, and you show all of those things  
22 as they affect the Athabaska River. Have I fairly  
23 represented it?

24 MR. NOBLE: That's right.

25 MS. ROSENBERG: Now, I have to tell

1 you that when I saw that map particularly, a light  
2 bulb went on in my head, and I realized that there  
3 was exactly the death by a thousand cuts, almost  
4 literally, the tyranny of small decisions that you  
5 have been talking about. It is an example of a  
6 process of environmental degradation caused by  
7 small and repetitive insults, and the Athabaska is  
8 an example of that in your view, correct?

9 MR. NOBLE: Yes, some of them small  
10 and some of them large.

11 MS. ROSENBERG: But a lot of them.

12 MR. NOBLE: Quite a few.

13 MS. ROSENBERG: And then I thought  
14 about that quite a bit, and I thought that point  
15 of view that you espoused makes sense with those  
16 many, many small decisions. And now I want you to  
17 look at the map that was just put in front of you.  
18 And that would be a map of the Keeyask region and  
19 you see on it -- I think you see the Manitoba  
20 Hydro infrastructure, and what that is displaying  
21 as well as the resource management areas of the  
22 four First Nations who -- yes, and you won't know  
23 what those boundaries are, but they are a maze,  
24 resource management areas where resources are  
25 managed by a First Nation together with Manitoba,

1 and the boundaries you see there are the  
2 boundaries that are shown on the map. And the  
3 First Nations who are partners with Manitoba Hydro  
4 particularly wanted me to ask you to take note of  
5 the fact that what they see in that map, when they  
6 look at it, is Manitoba Hydro and those four First  
7 Nations. And I'm wondering if you can see that?

8 MR. NOBLE: I can see Manitoba Hydro  
9 and the four First Nations, is that --

10 MS. ROSENBERG: That's what I want you  
11 to see. Agreed?

12 MR. NOBLE: Yes, I can see that.

13 MS. ROSENBERG: And that's all they  
14 see when they look at that map.

15 MR. NOBLE: That's all that appears to  
16 be labeled on it.

17 MS. ROSENBERG: That's all that's on  
18 it.

19 MR. NOBLE: Okay.

20 MS. ROSENBERG: I want to return to  
21 your book before I close, because I found the  
22 discussion of the topic about a broad spectrum of  
23 philosophies that apply to environmental  
24 assessment, I don't know if you recall this  
25 exactly, if you have a copy of your book, the

1 discussion is on page 4 and 5.

2 MR. NOBLE: About Matt Cashmore's work  
3 I believe.

4 MS. ROSENBERG: Exactly, precisely.  
5 And it was Dr. Cashmore that you were bringing  
6 into your thinking?

7 MR. NOBLE: Yes.

8 MS. ROSENBERG: And it is good  
9 thinking, I take it, or you wouldn't have brought  
10 it in. And you talk about at one end of the  
11 spectrum of EA philosophies, you have scientific  
12 method with hypothesis and quantifications, all of  
13 the instances of empirical thinking, right?

14 MR. NOBLE: Yes.

15 MS. ROSENBERG: Applied by scientists?

16 MR. NOBLE: Yep.

17 MS. ROSENBERG: And all the way to the  
18 other end of the spectrum, and I want to quote  
19 these words because I think they are really  
20 material. You say some people view EIA as a  
21 decision tool used to empower stakeholders, and  
22 promote a egalitarian society with a strong green  
23 interpretation of sustainability. And in that  
24 regard EIA must be deliberative, promote social  
25 justice, and help to realize community

1 self-governance.

2 MR. NOBLE: Yes. I don't know if the  
3 panel members have a copy of that --

4 MS. ROSENBERG: They don't.

5 MR. NOBLE: Could I just explain?

6 MS. ROSENBERG: I would love you to.

7 MR. NOBLE: Okay. What is being  
8 referred to is a diagram in a text book that  
9 synthesizes the different views on environmental  
10 assessment, different philosophies and theories,  
11 and making the point at one end of the spectrum  
12 there is people who approach EIA as an applied  
13 science to do experimental design and so on. At  
14 the other far end are those that approach EIA as a  
15 way of empowerment of stakeholders and communities  
16 for, as you say, egalitarian purposes,  
17 deliberative democracy. And that's not mine --  
18 that's authored by Matt Cashmore who is smarter.  
19 But he -- and he suggested that these are sort of  
20 the polar views and sometimes can cause a lot of  
21 tension in the EIA. And then we have sort of the  
22 middle, if you want, the middle for lack of a  
23 better way of putting it, 50 per cent, I think it  
24 is more, I am just generalizing, that folks that  
25 would see the environmental assessment as working

1 somewhere in the middle of information provision  
2 and participation to help inform decision making.  
3 And so that's the diagram, the extent of the views  
4 on environmental assessment.

5 MS. ROSENBERG: Thank you for that, it  
6 was much better than I did. And that view at the  
7 far -- you have to speak it is as left and right,  
8 but at that far left end it is a wonderful view  
9 that promotes social justice and participatory  
10 democracy all wrapped up with environmental  
11 thinking, and it is a lovely thing.

12 MR. NOBLE: Some would say it is.

13 MS. ROSENBERG: I would like to tell  
14 you who said it is right now, and ask you if you  
15 are aware that the four First Nations who are  
16 partners in this venture carried out their own  
17 environmental assessment reviews, and they did  
18 that from the point of view of their worldview,  
19 and then they came to their own conclusions. Are  
20 you aware of that?

21 MR. NOBLE: Yes.

22 MS. ROSENBERG: And they did that over  
23 a long period of time and years of dialogue with  
24 each other and Manitoba Hydro in their  
25 communities, and with society generally. And they

1 put those decisions in the context of the  
2 environment, but the environment from the point of  
3 view of the Cree worldview. I don't know whether  
4 you -- you are nodding.

5 MR. NOBLE: Yes, sorry.

6 MS. ROSENBERG: I wonder if you might  
7 think that the process they used as exactly an  
8 example of that deliberative process promoting  
9 community involvement and using EA for the purpose  
10 of advancing community self governance and their  
11 realization as communities?

12 MR. NOBLE: That's a big question. I  
13 would -- I don't know if I can answer that on the  
14 spot without thinking about it further, whether  
15 that's the model that it represents. I guess it  
16 is just my gut reaction, I would see it as being  
17 situating in that participatory, or participation  
18 view of environmental assessment, but typically  
19 much stronger than conventional practice, because  
20 the First Nations are actually involved, much more  
21 hand in it. Would I put it in that far category?  
22 I'm not sure if I would, but again I would really  
23 need to, you know, sit back in my office and pull  
24 the blinds and think about it.

25 MS. ROSENBERG: I will leave you to do

1 that. And I would suggest to you that using that  
2 participatory democracy process to do EA and then  
3 arrive at a pro-development decision is just as  
4 valid as arriving at a non-development decision.  
5 Agreed?

6 MR. NOBLE: I agree in, you know, the  
7 decision that comes out at the end of an  
8 assessment is validated by the quality of the  
9 information that's considered, the different  
10 parties involved, weighing all of those options,  
11 so I agree. You know, a positive decision for  
12 development coming out of an EA, that's fine, if  
13 it respects the process.

14 MS. ROSENBERG: I'm going to finish  
15 and put up on the screen for you a quote from one  
16 of our First Nation partners that I would like to  
17 leave you with to think about in our office. Oh,  
18 we don't have it. I will just read it. This is a  
19 quote from Elder William Beardy, and this is what  
20 he says at the conclusion of their deliberative  
21 community process.

22 "The lands, the waters and the  
23 resources have provided for us in the  
24 past. We can't exercise our  
25 traditional pursuits as in the past

1                   because the waters have changed. And  
2                   yet these waters and their power could  
3                   once again help to provide for our  
4                   people."

5                   MR. NOBLE: Do you want me to -- or  
6 can I respond?

7                   MS. ROSENBERG: You can respond or you  
8 can just acknowledge that's the point of view  
9 expressed by these four First Nations.

10                  MR. NOBLE: I would like to respond,  
11 because it is one sentence that came from a larger  
12 context of an assessment or document, so I would  
13 need to see the rest of it. Yes, it is a very  
14 powerful statement. And I don't recall these  
15 offhand, but I do know there are other places in  
16 the assessment where the First Nations' view on  
17 the technical assessment disagree on certain  
18 things as well, so I think it is important for us  
19 to, you know, acknowledge both of those  
20 viewpoints. And really when you come back to  
21 Cashmore's spectrum, that's exactly what he is  
22 talking about, is there are these different  
23 viewpoints, there is one, and the EIS technical  
24 analysis present another one, and then sometimes  
25 in the middle there are some clashes between

1 these. So -- but thank you for this.

2 MS. ROSENBERG: At the end of the day  
3 when the people who clashed come together and make  
4 one decision, is that a good thing?

5 MR. NOBLE: It can -- I mean that's a  
6 very big question because sometimes in natural  
7 resource management in general we undertake  
8 collaborative processes, and we assume that  
9 because there was collaboration the decision made  
10 was a good one, because we based it on we have  
11 collaborated. So generally speaking,  
12 collaboration and agreement on a direction is a  
13 good thing, but we do have to be careful in terms  
14 of not mistaking collaboration with a good  
15 decision or good outcome at the end of the day.  
16 So, I do agree it is a good thing. I just think  
17 we have to exercise some caution in how we view  
18 that, I do agree.

19 MS. ROSENBERG: Thank you. Before I  
20 finish, I wanted to cover one more thing and that  
21 is that when you reviewed these documents, I think  
22 in the course of that review my client offered you  
23 an option to come to Winnipeg and sit down with  
24 our technical experts, Dr. Schneider Vieira  
25 sitting on one side and Dr. Ehnes is sitting on

1 the other, and there is a whole pile of water  
2 resource engineers who aren't in the room, but I  
3 think it is a good thing as well in these  
4 processes for experts who might think they  
5 disagree to talk to one another and see if  
6 actually they are at consensus. And we issued  
7 that invitation, you decided not to come, but I  
8 want to tell you that my client has instructed me  
9 to re-issue the invitation, and right now today to  
10 give you at any time an open door and come and sit  
11 down, we will schedule all of the experts who did  
12 all of these technical assessments, the full  
13 cumulative effects assessment, we will put them in  
14 the room with you and you can go through in detail  
15 every aspect of it and talk it over with them.

16 MR. NOBLE: That would be great. I  
17 think if I can, we --

18 MS. ROSENBERG: Do you accept?

19 MR. NOBLE: We do accept that. And we  
20 really -- we appreciated the invitation initially.  
21 And just so we are clear I'm not sure how the  
22 message came back, it wasn't because we were  
23 deeply offended. For us it was a matter of being  
24 able to conduct just our review independently, but  
25 more so, a timing issue with both of us, the

1 timing of the year and just being one thing that  
2 we do in our academic careers. So that, you know,  
3 we did appreciate the invitation.

4 MS. ROSENBERG: Fair enough, and you  
5 have other lives. And this leads to, if I might  
6 Mr. Sargeant, a non-licensing recommendation for  
7 the future which we can talk to you about another  
8 day. Those are my questions. Thank you, Mr.  
9 Sargeant for your patience and for the patience of  
10 the panel. I know I was very long.

11 THE CHAIRMAN: Thank you, Ms.  
12 Rosenberg. I'm a little worried if you do this  
13 with all of the witnesses, you will put us out of  
14 work.

15 MS. ROSENBERG: Would that be a good  
16 thing, Mr. Sargeant?

17 THE CHAIRMAN: Not particularly,  
18 personally speaking. Mr. Williams.

19 MR. WILLIAMS: If I might, if I could  
20 just ask Ms. Rosenberg when she renewed her  
21 conversation with Dr. Noble and Dr. Gunn, she was  
22 referring to a map, and if she could just confirm  
23 the map. I believe it was 6-42, but that would  
24 just be --

25 MS. ROSENBERG: Mr. Williams, could I

1 just check my notes and make sure we have  
2 identified it correctly? Because I honestly think  
3 for you all of these things that we have talked  
4 about today, what we should give the secretary is  
5 the number of the document as it appeared in the  
6 original evidence. And I apologize for my being  
7 fuzzy about that. That was not well prepared on  
8 my part. It was 6-42 -- from what volume? Sorry,  
9 it was from the map folio volume of the EIS, and  
10 it was actually from the socio-economic  
11 assessment.

12 MR. WILLIAMS: Thank you.

13 THE CHAIRMAN: Thank you. I think now  
14 we turn to the participants and cross-examination.  
15 First up on our revolving list is Concerned Fox  
16 Lake Citizens.

17 MS. PAWLOWSKA: Good afternoon, I only  
18 have a few questions this time, I promise.

19 THE CHAIRMAN: Just introduce yourself  
20 for the witnesses, please.

21 MS. PAWLOWSKA: My name is Agnes  
22 Pawlowska-Mainville, and I'm asking just a few  
23 questions on behalf of the Concerned Fox Lake  
24 Grassroots Citizens. And I wanted to thank you  
25 for your presentation this morning. And my first

1 question is more so a clarification. In regards  
2 to the map that we were given -- well, I guess  
3 that you were given of linear features, and your  
4 discussion about including Bipole III and other  
5 linear features in the cumulative assessment,  
6 would you say or --

7 THE CHAIRMAN: Which map? The numbers  
8 are on the bottom.

9 MS. PAWLOWSKA: Linear features map  
10 212.

11 THE CHAIRMAN: Thank you.

12 MS. PAWLOWSKA: Would you say that  
13 linear features like Bipole III, as you mentioned,  
14 but others like the transmission lines connecting  
15 Keyask and the south access road should be one of  
16 the features on such a linear map as you were  
17 given today that would compose the cumulative  
18 assessment?

19 MS. GUNN: Yes, we would expect that  
20 this is a map showing linear features within the  
21 study area, so we would assume and expect that all  
22 of them are there.

23 MS. PAWLOWSKA: Okay. Thank you. So  
24 my next question is -- well, you stated on one of  
25 your slides, I think number 10, that you reviewed

1 the First Nations environmental report. You don't  
2 have to refer to it, I'm just -- so if you could  
3 discuss briefly about how or what you understand  
4 the First Nations understanding to be of the  
5 cumulative effects? What did you get from the  
6 report in terms of the cumulative effects that  
7 they see?

8 MR. NOBLE: That is a big one. I  
9 think the key message I took away from reviewing  
10 that was the importance of connectivity, between  
11 understanding connectivity and relationships  
12 between VECs and these components within the  
13 assessment area. And what -- whether it was a key  
14 message or not, what is set out to me is just some  
15 of the observations that were made about the  
16 relationship between land and how ecological  
17 change translated into social and cultural change,  
18 and the ability to use the land as was  
19 traditionally done. So that combined with the  
20 holistic interpretation of these was probably what  
21 stood out most to me.

22 MS. PAWLOWSKA: Okay. Thank you.  
23 And, Dr. Gunn, do you have any brief inputs of  
24 what you took from the reports?

25 MS. GUNN: That echos my impression as

1 well, it is very similar to what I would have  
2 said.

3 MS. PAWLOWSKA: Thank you. So the  
4 second question I have, you spoke briefly on the  
5 traditional impacts that will be affected, you  
6 mentioned them in your report, and my question is  
7 in regards to traditional subsistence economy of  
8 the Cree and why you would view this as a pretty  
9 important aspect of the cumulative effects of  
10 Keeyask, and how do you see them as being part of  
11 that cumulative effects?

12 MS. GUNN: Can you refer us to where  
13 in the report that --

14 MS. PAWLOWSKA: You mentioned it on  
15 your slides. That's page 47 I think. No, sorry.  
16 43. That's it.

17 MS. GUNN: 43.

18 MS. PAWLOWSKA: So here you use  
19 examples of the EIS that talks about the adverse  
20 effects of traditional use and culture. I was  
21 just wondering if you could discuss a little bit  
22 briefly why you think that traditional economy and  
23 subsistence economy would be considered to be an  
24 aspect of the cumulative effects in the Keeyask  
25 project?

1 MR. NOBLE: I mean -- I think in  
2 general in cumulative effects assessment social,  
3 particularly socio-economics, so employment  
4 issues, issues around health care and access are  
5 typically considered, and we have some fairly well  
6 accepted indicators for using those sorts of  
7 things. You see less common practice, including  
8 more of the socio-culture aspects in cumulative  
9 effects assessment. And most of the CEA work that  
10 we do is largely biophysical, in practice what is  
11 written about is largely biophysical. And when  
12 you get to an area where, you know, an important  
13 part of society is dependent on the land or the  
14 connection to the land, that's not only a  
15 connection for, you know, for let's say hunting  
16 and fishing, but also a cultural connection. And  
17 I think it is in those cases where that more  
18 holistic view is considered. So I mean, I think  
19 in an area like this regional assessment, this  
20 environmental assessment study area, it sort of  
21 goes without saying that, you know, the connection  
22 to the land and traditional use and culture is an  
23 extremely valuable part of the cumulative effects  
24 assessment that would be carried out. And I would  
25 echo that in, you know, in other regions as well

1 where you have any communities that are dependent,  
2 whether it be spiritually or culturally, not  
3 necessarily to separate those, but also in terms  
4 of just dependent on the land as a traditional  
5 practice. Cumulative effects assessment obviously  
6 interact with the way that those communities  
7 interact with the land. That was a relatively  
8 broad response, but --

9 MS. PAWLOWSKA: Thank you. And then  
10 you did mention that communities are dependent on  
11 the land and it is important to look at the  
12 cumulative effects. So if I bring you back to the  
13 same map, map 212, do you see any other  
14 transmission lines crossing south of the proposed  
15 Keeyask project that you think should be included  
16 in the linear features?

17 MR. NOBLE: It is hard for me to  
18 identify them on the map whether they are there or  
19 not without knowing the specifics. But my general  
20 comment would be, you know, any of these linear  
21 features or disturbances that would affect, you  
22 know, habitat, priority plants, caribou, moose,  
23 core area, regardless of whether they are Keeyask  
24 projects or not, and whether they are past or  
25 potentially future projects should be included.

1 And that's necessary in order to understand what  
2 that total cumulative effect might be on  
3 traditional use and culture. So I don't know  
4 whether they appear here or not, but my general  
5 statement is that if this is the regional study  
6 area, then all linear disturbances in there should  
7 be included in the assessment.

8 MS. PAWLOWSKA: Thank you. If I were  
9 to ask you that if an elder, one of the elders  
10 that is with the CFLGC would look at this map, and  
11 his trapline is south of the proposed Keeyask  
12 project, and he were to look at it and think that  
13 this is the map that it is, since there are no  
14 transmission lines connecting Keeyask project any  
15 where, and the south access road is not included,  
16 would you say that's a bit misleading?

17 MS. GUNN: I don't think it would be  
18 fair to characterize it as misleading, because we  
19 don't know how and why exactly the features that  
20 are represented there are or are not, so that's  
21 probably something that we couldn't comment on.  
22 But we would probably just go back to reiterating  
23 the same point that we would probably expect to  
24 see that all of the linear features would be put  
25 on that map, if this is a map of linear features.

1 So whether we could call that misleading or not,  
2 we probably couldn't say such a thing.

3 MS. PAWLOWSKA: Thank you so much.  
4 That's all of the questions that I have.

5 THE CHAIRMAN: Thank you. Ms. Kearns.

6 MS. KEARNS: Hi, my name is Stephanie  
7 Kearns, legal counsel for Pimicikamak. I will  
8 start at page 4 of your report, and the very first  
9 paragraph. Page 4 of the report, not the slides.  
10 And it says, in our view undertaking a regional  
11 CEA in the Nelson River sub watershed that  
12 considers the potential cumulative effects of all  
13 Manitoba Hydro projects and associated  
14 infrastructure is a prerequisite to effective CEA  
15 and to understanding the managing of the potential  
16 cumulative effects of hydroelectric development in  
17 the region.

18 And my question is why do you  
19 recommend a RCA for the Nelson River sub watershed  
20 as opposed to a smaller area? So, I guess I'm  
21 wondering if you can just explain to me how you  
22 arrived at the Nelson River sub watershed being a  
23 good area to do a RCA for?

24 MS. GUNN: I don't think -- I think we  
25 were just trying to get across the point that

1 doing a good, full, proper regional cumulative  
2 effects assessment is a prerequisite to doing a  
3 good cumulative effects assessment at the project  
4 level.

5 MR. NOBLE: And that there has been  
6 increasingly more work done on watershed and sub  
7 watershed scale assessment. So it is -- to us it  
8 was, you know, a clear choice and we were also  
9 following, based on the panel's report from Bipole  
10 III in terms of echoing some of the statements and  
11 conclusions and recommendations made in that  
12 report as well that we support and agree with.

13 MS. KEARNS: Do you think if it was a  
14 RCA that included the watersheds affected by the  
15 LWR and CRD, that would be a good prerequisite to  
16 an effective CEA?

17 MS. GUNN: I think potentially -- I  
18 think that those kind of decisions would have to  
19 be taken at the time that that kind of exercise  
20 would be considered. So what would be the exact  
21 appropriate boundaries for this broader regional  
22 cumulative effects assessment, that is something  
23 that would need to be debated. So it is possible.

24 MS. KEARNS: Okay. So then now  
25 turning to your recommendation, which is on slide

1 37, so your recommendation is that a good CEA is  
2 needed prior to Keeyask approval. So my question  
3 is am I right to read into that recommendation,  
4 the statement from your report, so that a good CEA  
5 includes as a prerequisite a regional cumulative  
6 effects assessment on a watershed level?

7 MS. GUNN: Yes.

8 MS. KEARNS: Then I just have a couple  
9 of questions to clarify some of the back and forth  
10 during your cross-examination. I got a bit  
11 confused about how I had read the report. So one  
12 was there was talk about mitigation measures. And  
13 am I correct that the point that you made in your  
14 report was that there is a difference between  
15 mitigation measures done in the initial assessment  
16 of direct and indirect effects, but the point that  
17 you made was that there are no mitigation measures  
18 to deal with cumulative effects?

19 MS. GUNN: Well, kind of, that's sort  
20 of -- okay. So the thing is that the conclusion  
21 was that there were going to be no cumulative  
22 effects significant in adverse, so when you  
23 conclude that, then there is no need to propose  
24 further mitigation measures, because it would --  
25 there is no need for it. But there were some

1 cumulative effects anticipated socio-economically  
2 and then mitigation was proposed for that such  
3 that there were no significant adverse residual  
4 effects. I hope that -- it is kind of a technical  
5 explanation. But it is just that you would have  
6 your mitigation proposed for the direct effects  
7 assessment and you may need to go further than  
8 that if you are going to anticipate residual  
9 cumulative effects.

10 MS. KEARNS: So other than the  
11 socio-economic, there were no mitigation measures  
12 proposed?

13 MS. GUNN: No, because they weren't  
14 expected.

15 MS. KEARNS: And then there was  
16 discussion this afternoon about the spatial limit  
17 for assessing the VECs. And am I correct that the  
18 point that you make in your report is that the  
19 study area for the cumulative effects assessment  
20 doesn't have to be the same as the study area used  
21 for the direct assessment?

22 MS. GUNN: Correct.

23 MS. KEARNS: It could be a broader  
24 area used for a cumulative effects assessment?

25 MS. GUNN: Yes, you may need to adjust

1 it, yes.

2 MS. KEARNS: That's it. Thank you.

3 THE CHAIRMAN: I want to test the  
4 water a little bit. It is 10 to 4:00. Ms. Whelan  
5 Enns, do you have any idea how long you might be?

6 MS. WHELAN ENNS: I would hope about  
7 half an hour.

8 THE CHAIRMAN: Okay. Come forward.

9 MS. WHELAN ENNS: Thank you.  
10 Mr. Chair. I have about ten or a dozen questions.  
11 They are short, and they are in relation to the  
12 presentation from the experts, and a couple that  
13 are from the cross-examination period. So the  
14 first question then for Dr. Noble and Dr. Gunn,  
15 came as a result of page 15, and it is from a  
16 non-scientific expert for sure. Would you tell us  
17 if it is a usual or best practice for the temporal  
18 limit or temporal scope for different VECs to vary  
19 to the degree that they do in this EIS?

20 MS. GUNN: That's a fairly general  
21 question and hard to answer specifically. But it  
22 is normal for it to vary. But the best practice  
23 or the good practice approach is to try to extend  
24 out your modeling or scenario analysis as far into  
25 the long term future as you can, yes.

1 MS. WHELAN ENNS: Thank you. Do  
2 either or both of you have advice for the  
3 participants, advice for the parties here about  
4 the parameters of a watershed that would have  
5 captured all cumulative effects? Now, the reason  
6 for the question is because there was some  
7 discussion, this was around page 18, in your  
8 presentation, about watersheds. So do you in fact  
9 have advice in terms of, again, the scale or  
10 scope, I'm not the best on terminology, the  
11 temporal scale, in terms of watershed that would  
12 be best for the CEA?

13 MS. GUNN: The spatial scale for the  
14 watershed that would be best for the CEA, again  
15 that is something that would need to be debated,  
16 those kinds of decisions depend upon the context  
17 of the development of the decisions that are being  
18 taken and that sort of thing. So it would be very  
19 hard for us to make a solid recommendation in the  
20 absence of knowing what the is project that you  
21 are looking at.

22 MR. NOBLE: But I think, and I agree,  
23 I think it is good to hear, one of the things I  
24 would add to that is in the map that was shown  
25 from Alberta, which is a nice example where they

1 took a watershed and broke it into river reach, so  
2 it is sort of a separate analysis within the  
3 context of different levels of development  
4 intensity and different types of effects. So  
5 effects were being analyzed within the context of  
6 what I guess was more closely matching what was  
7 happening on the landscape as opposed to simply  
8 taking one section of a river and then comparing  
9 it to the entire watershed, like in the Athabaska  
10 example, they selected reaches and did separate  
11 analysis there so it was context specific, and  
12 then looked at the broader cumulative context for  
13 the entire watershed, so a multi-scaled approach.

14 MS. WHELAN ENNS: Thank you. Looking  
15 for page number 22, and again this has to do with  
16 listening to your presentation and the questions  
17 that came up.

18 You made comments about the cumulative  
19 effects analysis provided to us being weak. So  
20 the climate change question comes forward from our  
21 perspective. And could you let us know whether or  
22 not you feel that the cumulative effects  
23 assessment that we have been provided with  
24 adequately responds to projections on climate  
25 change?

1 MS. GUNN: I don't think anything that  
2 I reviewed was with direct relevance to climate  
3 change. I don't know about you.

4 MR. NOBLE: Not sure I could give you  
5 a certain answer on that right now. You know,  
6 whether or how much reference was given to climate  
7 change and future development or future scenarios  
8 in forecasting, I'm sorry.

9 MS. WHELAN ENNS: Thank you. Did you  
10 have occasion in the analysis and study that you  
11 were doing to use the EIS guidelines in your  
12 analysis in terms of what is required in the EIS  
13 guidelines and what you were doing in looking at  
14 the cumulative effects?

15 MR. NOBLE: Sorry, is the question  
16 whether we used those?

17 MS. WHELAN ENNS: Did you use the EIS  
18 guidelines for the Keeyask Generation Project in  
19 your analysis and your study?

20 MR. NOBLE: Well, we used them, I  
21 guess we reviewed the guidelines and the  
22 principles that were stated for doing the  
23 assessment, and then identified our own principles  
24 and standards as well to examine the assessment.  
25 So we used both, both sets.

1 MS. WHELAN ENNS: Thank you. Are  
2 there examples, and this is about priority plants,  
3 so we are on page 23, are there examples in  
4 cumulative effects assessments done elsewhere in  
5 Canada where First Nations are affected and where  
6 medicinal plants are considered priority plants?

7 MR. NOBLE: Yes. And I mean, I can't  
8 speak broadly to all environmental assessments but  
9 I can proudly speak to one that I was involved  
10 with, where we did involve First Nations in doing  
11 traditional ceremonies within the area, and there  
12 was a series of sweats and ceremony procedures,  
13 and then we did traditional use mapping with the  
14 elders to identify areas of medicinal plants. And  
15 they decided that the most appropriate approach  
16 was to group medicinal plants with other priority  
17 or culturally significant or spiritually  
18 significant plants, so as not to identify or  
19 reveal where medicinal plants were located  
20 specifically. So that information was then  
21 overlain within the spatial analysis of the  
22 cumulative effects assessment. There wasn't any  
23 technical, you know, field based analysis by  
24 ecologists let's say to identify the plants. We  
25 relied 100 per cent on the mapped information

1 provided following the ceremonies.

2 MS. WHELAN ENNS: Thank you very much.

3 Again, a question if I may about spatial  
4 separation, and this follows approximately page  
5 31. And it is a similar kind of question in terms  
6 of cumulative effects assessment practice in  
7 Canada. And that is have you, and this probably  
8 applies to both of you, but up to you in terms of  
9 best way to answer the question and who to answer,  
10 and that is have you been involved in either the  
11 effects assessment of other projects or the review  
12 of effects assessment and cumulative effects  
13 assessment of other projects where spatial  
14 separation is used as a basis for the conclusion  
15 of no significance?

16 MS. GUNN: I think that we are kind of  
17 thinking about the Bipole III review that we did  
18 last year, and there was certainly a lot of  
19 discussion at that time around the connection  
20 between those two, you know, the perceived or  
21 actual connections between those two transmission  
22 rights of way on the same landscape. So there was  
23 that example.

24 MS. WHELAN ENNS: Okay. Thank you.

25 MS. GUNN: We do have another one.

1                   MR. NOBLE: I was thinking I had  
2 another example of a particular unnamed mining  
3 company that I'm currently doing some work for.  
4 And in their previous assessments they had  
5 identified spatial separations of their tailing  
6 sites. They were spatially separated so they are  
7 not seen as having any adverse effect because of  
8 the distance between them. They are rethinking  
9 that right now and looking more at the watershed  
10 and runoff from those, what is accumulating  
11 downstream in terms of how that is affecting the  
12 health of fish populations. So there are examples  
13 of where that comes up, and again we wouldn't want  
14 to generalize, it is something that really varies  
15 from one case to the next, but there are certainly  
16 cases where that does happen.

17                   MS. WHELAN ENNS: Was our  
18 understanding accurate in terms of your  
19 presentation today and your answers in  
20 cross-examination, that spatial separation, as a  
21 basis for an ingredient in arriving at  
22 insignificant or no significant effects  
23 conclusion, is less than best practice?

24                   MS. GUNN: I think what we are saying  
25 is that you can have spatial separation and there

1 can still be cumulative effects that result.

2 MS. WHELAN ENNS: Thank you.

3 Page 40 there is a reference to the  
4 initial amount of flooding predicted at 45 square  
5 kilometres. Would the EIS or portions of it and  
6 the cumulative effects assessment need to be  
7 updated or reviewed for a range of VECs if  
8 flooding after operation of Keeyask is more than  
9 45 square kilometres?

10 MR. NOBLE: I'm not sure the EIS  
11 itself would need to be updated, but I think  
12 that's where, I mean, the proponents' monitoring  
13 and adaptive management strategies would be most  
14 important, or at least it would trigger new  
15 management and mitigation measures and revisit the  
16 effectiveness of those proposed in the EIS. You  
17 know, the thing is that, I mean, we had a  
18 discussion earlier about the soundness of  
19 mitigation. And some mitigation efforts are well  
20 proven in practice, and that's fine. Others are,  
21 there are some uncertainties involved with them,  
22 and if there are uncertainties in the impact  
23 predictions, there are also uncertainties in  
24 whether the mitigation practices will work.

25 So I wouldn't say that you would

1 revisit the EIS per se, but I think that's  
2 something that would need to be carefully planned  
3 for and thought of in adaptive management  
4 programs.

5 MS. WHELAN ENNS: Connected question,  
6 and I was myself trying to identify instances in  
7 terms of Hydro generation projects in Canada,  
8 going outside of Manitoba, where the predicted  
9 amount of flooding was exceeded. And again, I'm a  
10 generalist, so I did not, other than concluding  
11 that's probably happened in Quebec, I didn't get  
12 any further in terms of trying to identify it.  
13 But I would like to ask you whether in the  
14 provinces in Canada where there is a lot of  
15 hydroelectric generation projects, whether either  
16 of you have been involved in the kind of steps  
17 that you are identifying, Dr. Noble, in terms of,  
18 okay, this is more than we predicted, and how do  
19 we go back to the cumulative effects and the  
20 adaptive management and the changes that we need  
21 to make? Have either of you worked on something  
22 of that sort?

23 MS. GUNN: I haven't, no.

24 MR. NOBLE: I was involved in, as a  
25 consultant for Nalcor Energy on their

1 hydroelectric development project for the lower  
2 Churchill. And it was something that was  
3 discussed there as well in terms of, you know,  
4 just, I guess in general, the certainty around the  
5 predicted impacts and the certainty around  
6 mitigation measures. So it is -- I couldn't  
7 really talk beyond that specific example where I  
8 had some direct involvement with, but it was a  
9 part of the mitigation planning parameters for the  
10 lower Churchill hydro project, and that was in  
11 Labrador.

12 MS. WHELAN ENNS: Thank you.

13 In your reading, your review and your  
14 study in terms of cumulative effects assessment,  
15 did you find -- and I remember what you've said in  
16 terms of the VECs approach and the compliments and  
17 also the best practices in Canada in terms of VECs  
18 approach, did you, though, in your review and your  
19 analysis identify any potential VECs, or VECs that  
20 you would have expected to see in the EIS and this  
21 CEA?

22 MS. GUNN: I don't think that we could  
23 comment on that because it wasn't part of the  
24 review framework that we were employing. That  
25 wasn't, you know, a piece of the work that we sort

1 of undertook. Again, if we had some time to  
2 reflect upon that, we might be able to suggest --  
3 so probably not at this time.

4 MS. WHELAN ENNS: Thank you.

5 I have a couple of questions left,  
6 Mr. Chair, that came from the cross-examination  
7 period.

8 The legal counsel for Manitoba Hydro  
9 and the Partnership has made references, made a  
10 few references to 30 years into the future in the  
11 questions that you were hearing today. And we  
12 also heard some discussion about length of life of  
13 the project from legal counsel. So the question  
14 is whether -- and I know this is general again, so  
15 it may be different by VEC, and also different at  
16 perhaps one point in time or another in the life  
17 of a project. But the references to 30 years is  
18 what the question is about, and that is, is 30  
19 years into the future sufficient to determine  
20 cumulative effects?

21 MS. GUNN: That really has to be  
22 considered on a VEC by VEC basis. And even then,  
23 what is ideal in terms of a length of time for  
24 prospective analysis, that can't always be  
25 accomplished because of limitations to data or

1 modeling or the like.

2 MR. NOBLE: And I think earlier I  
3 referred to some of the work that has been done in  
4 some other watersheds on more than modeling future  
5 scenario based analysis. And really you can run  
6 these things quite far into the future. The level  
7 of uncertainty obviously increases, but I think it  
8 is that balance between your temporal analysis,  
9 what is going to be useful to help inform decision  
10 making, and at what point are you exploring  
11 hypothetical. And I think it is trying to find  
12 that balance in general that will work. And  
13 again, this is a very general statement, but it  
14 is, as Jill said, it is something that varies VEC  
15 by VEC. And you know, I have been involved in  
16 assessments where 25 to 30 years has not been  
17 uncommon, 50 years has been modelled. If you are  
18 looking at things like climate change, obviously  
19 you tend to deal with longer term futures. It is  
20 quite variable in practice and it really depends  
21 on what information you want to get, what is the  
22 time frame that you are concerned about for  
23 decision making, when is the decommissioning of  
24 the project happening and so forth?

25 MS. WHELAN ENNS: Thank you.

1                   The EIS guidelines for the generation  
2 project include a decommissioning plan. Would  
3 having a decommissioning plan have helped you in  
4 terms of thinking about lifeline for the project  
5 and for the VECs that you were tracking for  
6 cumulative effects assessment?

7                   MS. GUNN: I don't know that it would  
8 have helped us. It is just that it is something  
9 that would have been good information, we would  
10 have suggested it was actually considered in the  
11 cumulative effects assessment.

12                   MS. WHELAN ENNS: Thank you. One  
13 question left, Mr. Chair.

14                   There have been also a fair number of  
15 references today during the cross-examination of  
16 the ten years of work that Manitoba Hydro and the  
17 Cree Nation partners have put into all of the  
18 steps to arrive to where we are at today. Is  
19 there any pattern in terms of the significance of  
20 this project in a long-standing 50 year old hydro  
21 system on this kind of river system, is there any  
22 kind of a pattern, anything that you can point to  
23 in terms of environmental assessment and  
24 cumulative assessments on those projects in Canada  
25 that points to how long it takes? Is ten years a

1 usual kind of pattern to work something up for  
2 this?

3 MR. NOBLE: For doing a cumulative  
4 effects assessment?

5 MS. WHELAN ENNS: To get to EIS, to  
6 include the cumulative effects assessment?

7 MR. NOBLE: Wow, I mean, I know of  
8 some projects that have been a lot longer and some  
9 that have been much shorter. It really, it is  
10 something that varies, I think, by the complexity,  
11 not only the complexity of the project, but I  
12 think the complexity of the parties involved, in  
13 terms of, you know, how well they work together  
14 and share the common views and values and so on.  
15 So I think that, you know, there has been some  
16 work done on the normal amount of time it takes to  
17 do environmental assessment, but that's something  
18 that is so variable. There have been some good  
19 regional cumulative effects assessments done for  
20 watersheds that have been done, provided useful  
21 information, these have been outside the  
22 regulatory process, but have provided useful  
23 information for decision making in a year. Some  
24 even less. But you have to appreciate that the  
25 type of data and the approach that's being used is

1 very different there than looking at long-term  
2 trends and benchmark modeling and so on.

3 So I think that's something that  
4 really varies based on practice. I mean, there  
5 are cumulative effects monitoring programs that  
6 have been ongoing for a number of years across  
7 Canada.

8 MS. WHELAN ENNS: Thank you very much,  
9 both of you.

10 THE CHAIRMAN: Thank you,  
11 Ms. Whelan-Enns. Ms. Guirguis?

12 MS. GUIRGUIS: Good afternoon. I'm  
13 Cathy Guirguis, I'm legal counsel for Peguis First  
14 Nation. I'm going to just take you through a few  
15 questions, hopefully it won't take too long, maybe  
16 not longer than 15 minutes.

17 I want to start off talking about  
18 scope and the evidence that you have already  
19 provided about scope, and just ask you a few more  
20 questions clarifying also what we heard this  
21 afternoon, and also what we heard this morning in  
22 your evidence.

23 So what I understand you to be saying  
24 is that geographically and temporally, scope  
25 shouldn't be limited to a specific area but it

1 should be defined in accordance with VEC  
2 sustainability. Is that correct?

3 MS. GUNN: Yes, that sounds right.

4 MS. GUIRGUIS: Okay. So that would  
5 also include what you are talking about earlier  
6 for what came out during cross about the regional  
7 study area and how things may have been assessed  
8 adequately in that regional study area, but maybe  
9 not necessarily in terms of VEC sustainability.  
10 Would that be fair to say?

11 Like, I guess I'm trying to -- I'm  
12 having a bit of difficulty understanding what  
13 comes first, is it VEC sustainability or the area  
14 that you define?

15 MS. GUNN: Well, it is the VEC first,  
16 and then the area that would respond best to  
17 understanding the condition of the VEC, yes.

18 MS. GUIRGUIS: Great. Thank you.

19 And so then it would be fair to say  
20 that the CEA, the cumulative effects assessment  
21 should just basically follow the effects on the  
22 VEC?

23 MS. GUNN: Yes. The study area  
24 should, as best as possible, represent an area  
25 that would be sufficient to be able to evaluate

1 the sustainability of the VEC. And so I think we  
2 talked about earlier, that's why it varies from  
3 VEC to VEC. So, yeah, you may see quite a bit of  
4 variance.

5 MS. GUIRGUIS: Great, thank you.

6 So when it comes to specific project,  
7 and I guess I will take you to slide 18, because  
8 you made mention of something that is particularly  
9 relevant for my client is that if there is the  
10 potential for let's say impacts from this project  
11 or the cumulative effects that it is going to add  
12 to that is going to change the water flow to the  
13 Nelson River and there is going to be upstream  
14 impacts to Lake Winnipeg, then the environmental  
15 assessment is the time, or the cumulative  
16 environmental assessment is the time to ask those  
17 questions and to see whether those impacts --  
18 whether those impacts do have potential to take  
19 place; is that correct?

20 MS. GUNN: I would agree.

21 MS. GUIRGUIS: Okay. Great.

22 So would it also then be fair to say,  
23 and I think you may have alluded to this, that is  
24 for good CEA to take place, it is required to  
25 broadly define VECs, so to take a broad approach

1 to defining what a VEC is?

2 MS. GUNN: I think what we suggested  
3 is that you would take those VECs forward that  
4 needed to be carried forward from the direct  
5 effects assessment, but you might also include  
6 some valued eco-system components that are  
7 regionally significant.

8 MS. GUIRGUIS: Would you be able to  
9 maybe walk me through how that's identified? How  
10 is a VEC identified?

11 MS. GUNN: There is a wide variety of  
12 ways that VECs are identified. Lots of times it  
13 is through conversations with key stakeholders  
14 around what is important. Sometimes it comes  
15 directly out of the science as to what is known to  
16 be important scientifically for eco-system  
17 function. It is sort of a multi-layered process  
18 by which that VEC list is defined.

19 MS. GUIRGUIS: So, earlier on in this  
20 process, and it has been discussed on the  
21 transcripts that from my client's perspective,  
22 Peguis First Nations who have reserve lands on  
23 Lake Winnipeg, they have raised concerns and they  
24 have been very open and on the record about the  
25 fact that they believe that water management in

1 the north has impacts on Lake Winnipeg on yearly  
2 flooding and so on. So is that something that  
3 should be considered in defining a VEC?

4 MS. GUNN: It could be.

5 MS. GUIRGUIS: Great. Thank you.

6 So I wanted to relate this to the  
7 discussion about threshold analysis, and I think  
8 what Ms. Rosenberg had brought up about the  
9 maximum zone of detectable influence. I think she  
10 was talking about it a bit in the context of  
11 whether mitigation measures were sufficient to  
12 bring down that -- bring down the detectable  
13 influence. But what I understood from your  
14 evidence is that it is more so about the  
15 assessment approach than the questions that you  
16 ask to determine what that zone is; would that be  
17 correct?

18 MR. NOBLE: I think it is a  
19 combination of those two things. And I think it  
20 is something that's examined at different stages  
21 of the assessment process in terms of, you know,  
22 if a project is having a potential effect on a  
23 VEC, then you want to make sure that, yes, you are  
24 examining to the maximum extent to which you can  
25 actually detect or understand or analyze an

1 effect. And I think you revisit that again when  
2 you look at mitigation measures in terms of what  
3 is the spatial or temporal limit of a detectable  
4 effect from the project. And then you can add to  
5 that, of course, other future projects and  
6 developments as well.

7                   So I think it is something that occurs  
8 not just once in the process, but in defining the  
9 VEC and the spatial scale of the assessment, but  
10 also then looking at the effectiveness of the  
11 mitigation measures that are being proposed.

12                   MS. GUIRGUIS: Thank you.

13                   I guess flowing from that, this might  
14 be a fairly obvious question, but I will ask it  
15 anyways. If we then fail to, or if there is a  
16 failure to identify a relevant or significant VEC,  
17 then we would have like -- we would have then a  
18 flawed picture of what the zone of influence of a  
19 particular project, or what the zone of influence  
20 of cumulative effects might be. Is that fair to  
21 say?

22                   MR. NOBLE: I'm going to, I guess it  
23 comes back to -- it is fair to say, yes, I think  
24 it comes back to what Jill was saying about how  
25 those VECs are determined. And I think it really

1 hinges on that process in terms of, maybe at the  
2 end of a cumulative effects assessment a VEC was  
3 missing that was deemed important to a particular  
4 group or community or region, I think that  
5 reflects on how VECs were selected up front, and  
6 maybe in terms of how the assessment process was  
7 adapted as new information was gained as it moved  
8 along.

9           So, you know, I guess whether it was  
10 unsuccessful or a shortcoming would vary depending  
11 on, if it was your VEC and you wanted it in there  
12 and it wasn't, then it was obviously a shortcoming  
13 but it may not have been to other participants.  
14 But, you know, that's part of the open process of  
15 scoping and including VECs in an EIA, and just  
16 making sure that the new information that you do  
17 learn as you move along in assessment is  
18 integrated, because you don't want to come up  
19 missing important VECs. At the end of the day you  
20 can't address everything, so I think it is finding  
21 that balance, that's just keeping it practical.

22           MS. GUIRGUIS: Okay. So then, I mean,  
23 do you have an opinion, or in your opinion, given  
24 the context of the fact that we are talking about  
25 a river system, that we are talking about

1 management of water flow, would it have been  
2 appropriate to identify a VEC as being, as one of  
3 them being the water flow and the water levels  
4 upstream of the project as far as Lake Winnipeg?

5 MS. GUNN: It certainly could have  
6 been, but you would need to have expert advice to  
7 know that for sure, and that's not our area of  
8 expertise. Yes. But it certainly could have  
9 been, it could have been.

10 MS. GUIRGUIS: Great.

11 I think those are all of my questions,  
12 thank you.

13 THE CHAIRMAN: Thank you,  
14 Ms. Guirguis. Canvass the panel? Do you have  
15 any?

16 MR. YEE: I just have one question,  
17 because I'm still having a problem with the  
18 temporal and spatial, how you establish this with  
19 specific VECs. Can you just give me a quick  
20 generalization on how that's done?

21 MS. GUNN: So you are asking --

22 MR. YEE: I'm trying to figure out, in  
23 terms of your cumulative effects assessment, how  
24 do you establish spatially and temporally with  
25 respect to the VECs? It depends on the individual

1 VECs and it will vary. I'm wondering what is that  
2 process, can you give me a brief overview?

3 MS. GUNN: Well, I guess it is just a  
4 matter of considering, you want to understand the  
5 condition of that VEC at the present, and you are  
6 going to want to understand the condition of it in  
7 the future with the proposed project and any other  
8 proposed projects. So if you take your temporal  
9 scale, then you are going to have to figure out,  
10 you know, what are those other, the project and  
11 the other proposed projects. And at least you  
12 would have to try and push that temporal scale out  
13 to capture the discernible effects from those. So  
14 it would be -- you would have to have that  
15 specific information to know, but you would  
16 consider that sort of thing. And then in terms of  
17 your spatial limit, again, it would be -- it would  
18 need to be broad enough to capture anything that's  
19 going to influence the overall survival or  
20 sustainability of that VEC. So, again, the  
21 process is very VEC specific on how you would  
22 obtain that information. Whether you are  
23 obtaining that information through established  
24 scientific, you know, boundaries or borders that  
25 already exist, or maybe that isn't there, so you

1 have to consult with experts and they are making  
2 their best judgments, so you might do that. You  
3 might look to previous cases where the same type  
4 of work for the same type of VEC has been done, so  
5 there are some standards to follow in that sense.  
6 So I think it is, I think it is a matter of  
7 feeling your way through each of those VECs and  
8 drawing on as much expertise as you can.

9 I don't think in the end it is ever  
10 going to be perfect. I think all of these things  
11 are still debatable, and we have to still accept  
12 that we can only do what we can do based on our  
13 modeling capabilities, or data and what we want  
14 out of that process. I hope that doesn't confuse  
15 you more, but there is no hard and fast way that  
16 is done for each one.

17 Bram, do you want to add to that? I  
18 hope that's helpful.

19 MR. YEE: Thank you, that's a little  
20 bit helpful. Thank you.

21 THE CHAIRMAN: Is that it?

22 I don't have any questions for you,  
23 although you raised one or two questions that I  
24 may need to put to the proponent before we are  
25 finished, but nothing for you today.

1 Mr. Williams, any re-direct?

2 MR. WILLIAMS: No re-direct,  
3 Mr. Chair.

4 THE CHAIRMAN: Thank you.

5 Well, I'm actually a little amazed, I  
6 didn't think we were going to wrap this up today,  
7 but it looks like we have. So thank you all for  
8 your participation today.

9 Madam secretary, we have any number of  
10 documents to put on the record.

11 MS. JOHNSON: Yes, we do, as well as a  
12 correction from last week. I had mistakenly  
13 numbered CAC 005 as the Northern Flood Agreement  
14 that Ms. Craft had put on the record. It is  
15 actually 006, and the TLE document will be 007.  
16 CAC 008 is the submissions of October 7 from CAC,  
17 with their submission outline and CVs; 009 is  
18 today's presentation on cumulative effects  
19 assessment; number 10 is Drs. Gunn and Noble's  
20 report; and number 11 was the supplement that was  
21 handed out with today's information.

22 Now, KHL P 51 is an excerpt from the  
23 EIS, section 1.4, assessment methods; 52 is  
24 section 5.3.1, assistant framework steps; KHL P 53  
25 is section 7.5.1, aquatic environment; KHL P 54 is

1 CEC round 1, CAC 0008; 55 is TAC public round 2,  
2 0001; 56 is section 6.5.3.3.4, residual effects of  
3 operation. Number 57 is Cumulative Effects  
4 Assessment Practitioner's guide; 58 is map number  
5 630, linear features and core areas; 59 is map  
6 212, linear features; 60 is map 213, core areas;  
7 61 is map 642, resource use local and regional  
8 study areas; and 62 is the quote from Elder  
9 William Beardy.

10 (EXHIBIT CAC006: Northern Flood  
11 Agreement entered by Ms. Craft)  
12 (EXHIBIT CAC 007: TLE document)  
13 (EXHIBIT CAC 008: Submissions of  
14 October 7 from CAC, submission outline  
15 and CVs)  
16 (EXHIBIT CAC 009: Presentation on  
17 cumulative effects assessment)  
18 (EXHIBIT CAC 010: Drs. Gunn and  
19 Noble's report)  
20 (EXHIBIT CAC 011: Supplement handed  
21 out with today's information)  
22 (EXHIBIT KHL P 51: Excerpt from the  
23 EIS, section 1.4, assessment methods)  
24 (EXHIBIT KHL P 52: Section 5.3.1,  
25 assistant framework steps)

1 (EXHIBIT KHLP 53: Section 7.5.1,  
2 aquatic environment)  
3  
4 (EXHIBIT KHLP 54: CEC round 1, CAC  
5 0008)  
6 (EXHIBIT KHLP 55: TAC public round 2,  
7 0001)  
8 (EXHIBIT KHLP 56: Section 6.5.3.3.4,  
9 residual effects of operation)  
10 (EXHIBIT KHLP 57: Cumulative Effects  
11 Assessment Practitioner's Guide)  
12 (EXHIBIT KHLP 58: Map number 630,  
13 linear features and core areas)  
14 (EXHIBIT KHLP 59: Map 212, linear  
15 features)  
16 (EXHIBIT KHLP 60: Map 213, core  
17 areas)  
18 (EXHIBIT KHLP 61: Map 642, resource  
19 use local and regional study areas)  
20 (EXHIBIT KHLP 62: Quote from Elder  
21 William Beardy)  
22 THE CHAIRMAN: Thank you.  
23 I would like to thank Dr. Gunn and  
24 Dr. Noble for their presentations here today and  
25 for the work that you did for your -- not your

1 client, but your whatever he is, for the Consumers  
2 Association of Manitoba.

3 Safe travels home, and who knows, we  
4 will be doing another one of these next year, we  
5 may see you again.

6 Not only did we conclude, but we are  
7 about five minutes ahead of schedule. So did you  
8 want to add something? I saw you pointing, I  
9 thought you might want to keep us going a while  
10 longer, Mr. Williams?

11 MR. WILLIAMS: Just seeking direction  
12 from the board. In terms of the terrestrial panel  
13 from Manitoba Hydro, and I haven't thought this  
14 full through and I'm not sure -- is it anticipated  
15 that they will be available tomorrow, or I'm just  
16 seeking guidance from the Commission.

17 THE CHAIRMAN: My understanding of the  
18 schedule is that we have two of your witnesses up  
19 tomorrow, do we not?

20 MR. WILLIAMS: We do. Normally we  
21 would let Hydro finish their record before we --

22 THE CHAIRMAN: That would be the  
23 normal process, but are these witnesses able to  
24 carry over for a day or two or three, or come  
25 back?

1                   MR. WILLIAMS: Well, I think there is  
2 no issue with Dr. Peake. What I will do, perhaps,  
3 Mr. Chair, is just go reflect whether in any way  
4 Dr. Schaefer's evidence would be impaired if we  
5 changed the normal course of business. So  
6 certainly Dr. Peake, who I believe is scheduled  
7 for tomorrow morning, there should not be any  
8 problem with that.

9                   THE CHAIRMAN: Okay. I mean, we would  
10 like to move the schedule along as best we can,  
11 but we are running a bit behind schedule, and I'm  
12 not exactly certain when we can get that panel in.  
13 But we will talk with you some more after, but  
14 Dr. Peake tomorrow morning is good to go, okay,  
15 and then we will consider it tomorrow morning.

16                   So I guess maybe we are not that much  
17 ahead of schedule. Thank you all, and we will  
18 reconvene tomorrow morning at 9:30.

19                   (Adjourned at 4:26 p.m.)

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

OFFICIAL EXAMINER'S CERTIFICATE

Cecelia Reid and Debra Kot, duly appointed  
Official Examiners in the Province of Manitoba, do  
hereby certify the foregoing pages are a true and  
correct transcript of my Stenotype notes as taken  
by us at the time and place hereinbefore stated to  
the best of our skill and ability.

-----

Cecelia Reid  
Official Examiner, Q.B.

-----

Debra Kot  
Official Examiner Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.  
The unregistered version of Win2PDF is for evaluation or non-commercial use only.  
This page will not be added after purchasing Win2PDF.