

MANITOBA CLEAN ENVIRONMENT COMMISSION

KEEYASK GENERATION PROJECT

PUBLIC HEARING

Volume 18

\* \* \* \* \*

Transcript of Proceedings  
Held at Fort Garry Hotel

Winnipeg, Manitoba

WEDNESDAY, NOVEMBER 27, 2013

\* \* \* \* \*

## APPEARANCES

## CLEAN ENVIRONMENT COMMISSION

Terry Sargeant - Chairman  
Edwin Yee - Member  
Judy Bradley - Member  
Jim Shaw - Member  
Reg Nepinak - Member  
Michael Green - Counsel to the Board  
Cathy Johnson - Commission Secretary

## MANITOBA CONSERVATION AND WATER STEWARDSHIP

Elise Dagdick  
Bruce Webb

## KEEYASK HYRDOPOWER LIMITED PARTNERSHIP

Doug Bedford - Counsel  
Janet Mayor - Counsel  
Sheryl Rosenberg - Counsel  
Bob Roddick - Counsel  
Jack London - Counsel  
Vicky Cole  
Shawna Pachal  
Ken Adams  
Chief Walter Spence  
Chief Louisa Constant  
Chief Betsy Kennedy  
Chief Michael Garson

## CONSUMERS ASSOCIATION OF CANADA

Byron Williams - Counsel  
Aimee Craft - Counsel  
Gloria Desorcy  
Joelle Pastora Sala

## MANITOBA METIS FEDERATION

Jason Madden - Counsel  
Jessica Saunders - Counsel

## MANITOBA WILDLANDS

Gaile Whelan Enns  
Annie Eastwood

## PEGUIS FIRST NATION

Lorraine Land - Counsel  
Cathy Guirguis - Counsel  
Lloyd Stevenson  
Jared Whelan

CONCERNED FOX LAKE GRASSROOTS CITIZENS

Agnieszka Pawlowska-Mainville

Dr. Stephane McLachlan

Dr. Kulchyski

Noah Massan

PIMICIKAMAK OKIMAWIN

Kate Kempton - Counsel

Stepanie Kearns - Counsel

Darwin Paupanakis

KAWEECHIWASIIHK KAY-TAY-A-TI-SUK

Roy Beardy

## INDEX OF PROCEEDINGS

Peguis First Nation Shoreline Modelling David Flanders	
Direct Examination by Ms. Land	3889
Cross-Examination by Mr. Bedford	3954
Cross-Examination by Ms. Craft	3956
Cross-Examination by Ms. Pawlowska	3961
Cross-Examination by Ms. Kearns	3969
Questions by CEC panel	3974
Re-direct examination by Ms. Land	3990
Consumers Association of Canada (Manitoba branch) Socio-economics panel Dr. J. Buckland, Dr. M. O'Gorman	
Cross-Examination by Mr. Regehr	4003
Cross-Examination by Mr. London	4025
Cross-Examination by Ms. Whelan Enns	4054
Cross-Examination by Ms. Pawlowska	4068
Cross-Examination by Ms. Kearns	4081
Re-direct examination by Ms. Craft	4083
Questions by CEC Panel	4086
Keeyask - Moving Forward as Partners Panel Ms. S. Pachal, Ms. C. Northover, Ms. M. Saunders, Ms. J. Kidd-Hantscher, Mr. G. Neepin, Ms. K. Anderson, Mr. V. Spence	
Cross-Examination by Ms. Pawlowska	4090

INDEX OF EXHIBITS

PFN001	Documents submitted October 7th, CVs and submission outline	4138
PFN002	Mr. Flanders' report	4138
PFN003	Mr. Flanders' presentation	4138

INDEX OF UNDERTAKINGS

12	Provide list of articles supporting research	3960
----	---	------

1 Wednesday, November 27, 2013

2 Upon commencing at 9:30 a.m.

3 THE CHAIRMAN: Okay, we'll come to  
4 order. This morning we have a witness called on  
5 behalf of the Peguis First Nation. Ms. Land?

6 MS. LAND: Good morning, Mr. Chair,  
7 Commissioners. Thank you for the opportunity to  
8 have Mr. Flanders present some evidence to you  
9 this morning.

10 So Mr. Flanders, can you state your  
11 full name for the record and spell it out for the  
12 purpose of the record, and then we'll proceed.

13 MR. FLANDERS: Yes. My name is David  
14 Norman Flanders. D-A-V-I-D, N-O-R-M-A-N,  
15 F-L-A-N-D-E-R-S.

16 David Norman Flanders: Sworn.

17 MS. LAND: Mr. Flanders, I'm going to  
18 walk you through some questions initially to help  
19 you introduce yourself to the panel, and then I'll  
20 turn it over to you to make your presentation, and  
21 I'll follow up with some questions based on your  
22 presentation.

23 MR. FLANDERS: Great.

24 MS. LAND: Mr. Flanders, you currently  
25 teach at the University of British Columbia School

1 of Architecture and Landscape Architecture; is  
2 that correct.

3 MR. FLANDERS: Yes.

4 MS. LAND: What do you teach at the  
5 University of British Columbia?

6 MR. FLANDERS: This year I teach two  
7 courses. One is in GIS, geographic information  
8 systems, I'll be talking about that today. And  
9 the other is in 3-D modeling and design.

10 MS. LAND: And in addition to teaching  
11 at the University of British Columbia, you also  
12 work as a research scientist with UBC Research  
13 Institute, called "The Collaborative for Advanced  
14 Landscape Planning"; is that correct?

15 MR. FLANDERS: Correct.

16 MS. LAND: I notice that a number of  
17 your recently authored peer reviewed articles were  
18 co-authored, for example, in the Journal of  
19 Sustainability and the Journal of Flood Risk  
20 Management. Would those be co-authored with some  
21 of your colleagues from the research institute,  
22 The Collaborative?

23 MR. FLANDERS: Yes.

24 MS. LAND: In addition to teaching at  
25 UBC and working as a research scientist with the

1 research centre there, The Collaborative, you also  
2 founded and worked for your own consulting firm,  
3 DPI Territorial Consulting; is that correct?

4 MR. FLANDERS: Correct.

5 MS. LAND: I did notice with envy that  
6 your firm has offices in Vancouver and  
7 Guadalajara, which sounds particularly nice this  
8 morning. And DPI does environmental values  
9 planning for a variety of government bodies, NGO's  
10 and First Nations; is that correct?

11 MR. FLANDERS: Correct.

12 MS. LAND: In terms of recent projects  
13 that you have worked on, I noted that you have  
14 been involved in GIS and mapping projects or  
15 workshops for the Government of the Yukon. Is  
16 that correct?

17 MR. FLANDERS: Correct.

18 MS. LAND: I also noted that you have  
19 worked for my old employer, the Government of  
20 Nunavut for the Nunavut Impact Review Board, doing  
21 mapping?

22 MR. FLANDERS: Correct.

23 MS. LAND: And it is also true,  
24 Mr. Flanders, that you have done mapping and  
25 spatial analyses, or mapping for a number of

1 municipalities, including the Towns of Kuujjuaq,  
2 Kangiqsualujjuaq in Quebec, the Town of Clyde  
3 River in Nunavut, the Hamlet of Tulita in the NWT?

4 MR. FLANDERS: Correct.

5 MS. LAND: And I also noted that you  
6 worked in recent years with a number of First  
7 Nations and Inuit groups, including the Mikasew  
8 Cree in Alberta, the McLeod Lake Indian band in  
9 BC, Pinehouse First Nation in Kawacatoose in  
10 Saskatchewan, Fort Severn First Nation in Sagamok  
11 in Ontario; is that correct?

12 MR. FLANDERS: Correct.

13 MS. LAND: Would the work that you did  
14 for those First Nations and Inuit community  
15 involve mapping?

16 MR. FLANDERS: Yes.

17 MS. LAND: Closer to home, I  
18 understand that you had been doing some work for  
19 the Southern Chiefs Organization here in Manitoba,  
20 doing some mapping and spatial analysis in recent  
21 years for the Southern Chiefs organization; is  
22 that correct?

23 MR. FLANDERS: Correct.

24 MS. LAND: Great.

25 Mr. Flanders, I'm going to invite you

1 to proceed with your presentation, and then I may  
2 stop you, I'll try not to, during the flow of your  
3 presentation, but I'll probably ask you questions  
4 at the tail end. So go ahead.

5 MR. FLANDERS: Thanks. I'll get going  
6 with my presentation then. Maybe while it's  
7 loading up here, I'll take a moment to thank the  
8 Clean Environment Commission for supporting the  
9 study. Much appreciated. Couldn't do it without  
10 you.

11 So the title of this analysis is  
12 identifying shoreline changes over time in  
13 Northern Manitoba. And we're using historic and  
14 current national topographic system maps to do  
15 this work. I'll be explaining what exactly I mean  
16 by that.

17 So in the body of this presentation, I  
18 am going to describe what we mean by shoreline  
19 changes over time, the nature of the study. How  
20 we measure shoreline changes over time, I'll walk  
21 us through the methodology step by step. I'll  
22 walk us through the results of the analysis. And  
23 I'll round up with some conclusions and  
24 recommendations that come directly from the  
25 analysis.

1 I'm going to be using maps a lot in  
2 the presentation, so I thought I'd just kind of  
3 frame things with some basic maps of the region.  
4 So here we're looking at a map of Manitoba. You  
5 can see Lake Winnipeg very clearly here. This is  
6 Hudson Bay, way out here. Ontario is next door,  
7 Saskatchewan here.

8 And I am going to change slides now,  
9 and I'm going to describe this as zooming in. So  
10 when I say zooming in, that's what's happening.  
11 It's almost like being in an airplane, getting a  
12 little closer to the ground and zooming in closer.  
13 So we have zoomed into the northern part of  
14 Manitoba. Here is Lake Winnipeg here. You can  
15 see really clearly, this is the Nelson River  
16 system. It stretches from the northern end of  
17 Lake Winnipeg, and you can see it actually quite  
18 clearly, it extends all the way to Hudson Bay.

19 The Churchill River system actually is  
20 roughly parallel. It moves up here through  
21 Southern Indian Lake. It's actually hard to see.  
22 My understanding is that the flow is much reduced  
23 in that river, it is difficult to see, but it does  
24 flow up through this way and out off-screen to  
25 Hudson Bay as well. And this is the Burntwood

1 River which connects via the Churchill River  
2 Diversion, connects the Churchill, and the Nelson  
3 River is here.

4 This is a map of roughly the same  
5 area, and what it shows you is a whole spread of  
6 various kind of hydro developments. There's  
7 generating stations and control structures, there  
8 are diversion channels, dams spread across these  
9 river systems that I just described. So this is  
10 what helped form our study area. And in a moment,  
11 I'll define exactly what our study area is on the  
12 map.

13 So the goals of this study were to,  
14 this is a preliminary study to identify some of  
15 the changes in water body shorelines that have  
16 occurred as a result of hydroelectric developments  
17 on the Nelson River, and the connected Churchill  
18 and Burntwood Rivers over this last century. And  
19 we're showing effects over a long period of time  
20 into the past, including past and currently  
21 existing hydro projects. It's over a large region  
22 of connected water bodies based on the Clean  
23 Environment Commission's request to look at the  
24 full Nelson River system.

25 Further steps are needed for a full

1 cumulative effects assessment of inundation. This  
2 doesn't claim to be that, but it does satisfy this  
3 desire to look at a larger region and a longer  
4 period of time.

5 I have a few definitions to walk you  
6 through. I don't want to dwell on them too long,  
7 but they are here for your reference in the  
8 printed copies if you need them.

9 Inundation, I am going to be using  
10 that word a lot. Inundation, I simply mean land  
11 that's covered by water now that normally isn't,  
12 or wasn't in the past.

13 The term dewatering means removing the  
14 water. This is actually the definition provided  
15 in the EIS, removing the water from or draining an  
16 area behind a cofferdam so that construction  
17 activities can be undertaken. We found some  
18 dewatering as part of the analysis around Missi  
19 Falls. I'm not actually sure if there was a  
20 cofferdam there or not, but there is dewatering  
21 behind that structure. So I am using that  
22 definition provided.

23 I'm going to be using the terms  
24 pre-development and post-development. And these  
25 are wordy explanations, but the pre-development

1 just refers to a condition that exists at the time  
2 that plans for the land development of a track of  
3 land are approved, or by plan approval authority.  
4 Pre-development is a condition before development  
5 had occurred.

6           Post-development, I'll sort of use  
7 plain language, is a condition that refers to  
8 after some developments have occurred on a tract  
9 of land. So I can be talking about the same part  
10 of the region and refer to a pre-development  
11 condition, so for example, before there was hydro  
12 developments there, or post-development condition,  
13 since there were hydro developments installed.

14           A few more, significance, I'm going to  
15 be using the term significant a lot, so I just  
16 wanted to make sure I can define it before I go  
17 ahead and use it. Significant shoreline changes  
18 are those that have meaningful consequences and  
19 cannot be due to, for example, horizontal accuracy  
20 limitations, or error of the data sources used in  
21 the analysis. And I'll be talking about error and  
22 accuracy further in my presentation. Accuracy  
23 simply means how closely the mapped features  
24 represent their actual locations in reality. It's  
25 closeness of a measure to its actual or true

1 value.

2                   And the national topographic system or  
3 NTS maps, many of you have maybe used NTS maps,  
4 maybe you have realized it or not. They are sort  
5 of the standard of topographic mapping. They are  
6 general purpose topographic maps of the entire  
7 Canadian land mass provided by the Federal  
8 Government. Natural Resources Canada is the  
9 distributor of NTS maps, and we were using  
10 1:250,000 scale NTS maps in this study.

11                   So this is a key map of the study  
12 area. You might find it helpful to refer to this  
13 map, maybe even to tear it out of your document  
14 and put it aside. What these black squares show  
15 on this map are 1:250,000 scale NTS map sheets,  
16 where these map sheets fall across Northern  
17 Manitoba. And these were the map sheets that were  
18 required then to be able to look at all of those  
19 developments that were on one of the previous  
20 maps, the developments that stretch along the  
21 Nelson, Burntwood and Churchill corridor.

22                   You can see each NTS map sheet, each  
23 one of those black squares has kind of a horrible  
24 code such as 54D or 63P or 64G. I find it helpful  
25 to refer to a particular map sheet using that

1 code, you may find the same. When I say something  
2 strange like, oh, they are in 63J, I'm actually  
3 referring to map sheet 63J, and you can use this  
4 map to figure out exactly where I'm talking about.

5 You can see Lake Winnipeg is there at  
6 the bottom of 63G.

7 Again, this is maybe just for your  
8 reference. This is the full list of NTS map  
9 sheets used in the analysis. All NTS map sheets  
10 are accompanied by a code followed by a name such  
11 as 64A Split Lake.

12 So I would normally never put so much  
13 into a slide, this actually stretches across two  
14 slides, but what I wanted to do is provide a  
15 reference for you that shows, that collects  
16 together all of the project names, so dams,  
17 control structures, generating stations, diversion  
18 channels, et cetera. That's in that first column  
19 there. It lists them all, what type they are,  
20 when construction started, various in-service  
21 dates, when turbines were added, et cetera, total  
22 number of units, and when construction ended. So  
23 those construction start and end dates were  
24 particularly meaningful for us because we wanted  
25 to find maps that demonstrate what I refer to as

1 the pre-development condition. So we looked back  
2 in time and we found maps that were produced  
3 before construction started on some of these  
4 activities. So this just collects together all  
5 that information that helped us figure out which  
6 maps to use, and what was on them, and why. Each  
7 map sheet number, the publication date is also on  
8 the scale, and where the map came from is all  
9 collected for you here in table 1 on these two  
10 slides.

11 I have already started using this  
12 terminology. I'm going to be constantly referring  
13 to the past and the present, or historical maps  
14 and modern maps. I might say a historical paper  
15 map versus a modern GIS shape file or a modern  
16 piece of GIS data. Those are two different forms,  
17 kind of a historical form and a current modern  
18 form of the same kinds of mapping data. Typically  
19 the form that a historical map comes in, such as  
20 this one I have included from 1961, comes in a  
21 big, in paper format. Whereas what I'll refer to  
22 as a current coverage of shorelines, in our case  
23 here, refers to a -- comes in the form of a GIS,  
24 which is a geographic information system file.  
25 That's just a computer, the computer programs, the

1 computer mapping programs that I used to do these  
2 analyses are called GIS, and they use things  
3 called shape files. That's just the way, that's  
4 the form that modern mapping data comes in now.  
5 When I say current, it actually dates to the year  
6 2006 is the most current dataset that we had  
7 access to, to use.

8 So I'll walk us through the steps in  
9 the analysis in sort of plain language. There was  
10 four basic steps, and then I'll sort of dig into  
11 each one a little bit in the coming slides.

12 The first thing we had to do was go  
13 and find historical maps, and map libraries at  
14 various universities and research institutions in  
15 Manitoba and UBC were visited to do this. And  
16 this is a process of going into a library,  
17 figuring out which map you need, and going into  
18 these beautiful caverns of map history, finding  
19 the NTS maps that we want.

20 Once we have the set of NTS maps that  
21 we want, maps that represent a pre-development  
22 condition, right, so mapping that was produced in  
23 a year that was before any kind of dams or control  
24 structures or generating stations had been built,  
25 we're finding maps that show that condition in the

1 study area.

2 We then go and scan the maps. So we  
3 just find a good flatbed scanner, scan them into a  
4 digital form, and that gives us that second image  
5 right there in the list. That's a little  
6 thumbnail of a paper historical map that we have  
7 scanned in a very high resolution flatbed scanner.

8 Step number 3 is called  
9 geo-referencing. We geo-reference those  
10 historical maps into a GIS. That just means we  
11 are taking those scanned historical maps that we  
12 had, and we're loading them into my computer  
13 mapping system called the GIS. That's the third  
14 step, and I'll describe how we do that. This  
15 actually is a screen capture of my GIS program,  
16 and there is the historical map that's loaded up  
17 into my GIS, along with all kinds of other GIS  
18 shaped fails. You can compare them and analyze  
19 them and see how they are different.

20 The last step then is, once we have  
21 our historical map loaded up into my computer and  
22 on my mapping program, then there is this program  
23 called vectorization, it sounds really horrible.  
24 All that means is we are taking all of the, if you  
25 squint you can see it -- I will actually zoom into

1 this on the next slides -- there's all of these  
2 light blue water bodies spread all across this  
3 scanned historical map. And what vectorizing  
4 means is we're simply tracing out the outlines of  
5 all of those historical water bodies. I'm going  
6 to use the colour pink to demonstrate that in any  
7 slide that I am talking about this. Pink is just  
8 a vectorized GIS shape file. This is now a  
9 shapefile, this is a modern format of lake  
10 shorelines, even though it represents a historical  
11 condition and it came from a historical map,  
12 vectorization creates a nice GIS shapefile.  
13 That's the modern language of mapping that lets us  
14 analyze those historic lakes. And that's what all  
15 these pink blobs are. This GIS data now that show  
16 where the shorelines used to be when that  
17 historical map was published.

18 So sort of crack open each one of  
19 these steps just a little bit. Finding these  
20 historical maps, so again we're looking for  
21 historical national topographic system, NTS maps  
22 that are provided by the Federal Government, that  
23 represent a point in time in the past that gives  
24 us a glimpse of what these river systems looked  
25 like before there was substantial development on

1 them.

2           Scanning them was actually, with  
3 today's technology, very simple. We used flatbed  
4 scanners. These are large flat scanners to  
5 minimize distortion, and a lid comes down on them,  
6 keeps the map nice and flat, and we scan these  
7 things in full colour at very high resolution.

8           Now, I'll crack open what I really  
9 mean by geo-referencing. This is quite a manual,  
10 very meticulous and careful process. I take a lot  
11 of passion into doing this very, very well.

12           This is one of those historical NTS  
13 map sheets. I haven't actually labelled them  
14 here. When I walk through all of the final maps,  
15 I'll always make sure to label them so you know  
16 which one I am talking about. This happens to be  
17 map sheet 54D. And the Nelson River, you can see  
18 stretches across this map sheet. The proposed  
19 Keeyask is right in the middle of map sheet 54D.  
20 This is one of those historical maps that we dug  
21 out of one of these map libraries or research  
22 institutions, scan them, and bingo, now it's a  
23 nice digital image of that historic map.

24           Now, I have zoomed way into one of the  
25 top corners of that historical NTS map. And

1 there's a lot of information here on this map.  
2 You can see these light blue water bodies. So  
3 these are the water bodies that I am always  
4 referring to. They just mean lakes, large river  
5 systems that show up as wide water bodies. There  
6 is all kinds of things here. You can see there's  
7 little red lines, these are just topography lines.  
8 And you can see there's these sort of dotted  
9 lines, and they look like little fuzzy blue mounds  
10 of vegetation. Those represent wet areas, like  
11 wetlands, not standing water but wetlands.

12           So there's a lot of mapped information  
13 on NTS maps, but what's of particular interest to  
14 me are all of these blue lines. This is a grid.  
15 And if you look closely, every time one of these  
16 blue lines hits the edge of the map, there's this  
17 number with an N. That N stands for north. And  
18 this number is a distance in metres from, a  
19 distance in metres north.

20           Similarly, along the top, you can see  
21 this blue line. It gives me a number, it gives me  
22 a number in metres east. These lines, this is a  
23 grid that simply represents the northings and  
24 eastings, if you will, for the map. Maybe more  
25 common terms, the latitude and longitude. So you

1 can see right here in the corner, here is good  
2 old-fashioned latitude, longitude. We are  
3 57 degrees north, 96-degrees east. That just  
4 tells us where exactly this map is in Manitoba.  
5 It's locational information.

6 And the process of geo-referencing  
7 then uses all of this information. And these maps  
8 are just full of this stuff. It's really a rich  
9 rigorous dataset. You can figure out exactly  
10 where this map should be in this world using this  
11 information.

12 When I say this is now geo-referenced,  
13 so we have gone already and we have found the  
14 historic map, we have scanned the map in a scanner  
15 at high resolution. Now we have to geo-reference  
16 it. That's similar to sort of like using pins, to  
17 take a paper map and using pins to pin it up on  
18 the wall where it belongs. But instead here we're  
19 pinning it in its correct location in Manitoba.  
20 So all the lakes in this historic map line up,  
21 they are where they should be in Manitoba.

22 This process of pinning, first we take  
23 this corner at 96 degrees east and 57 degrees  
24 north, we take a pin and we pin it right on the  
25 map, right at 96 and 57. Same with the other

1 corner, we pin it where it belongs. Same with the  
2 other corner, we pin it where it belongs, where it  
3 belongs. In reality, we use a whole bunch of  
4 pins, not just four, and we call them control  
5 points. So we're using control points to tell  
6 this map exactly where it belongs in Manitoba.  
7 And that, in a nutshell, that's geo-referencing  
8 101.

9           Once we have that then, so here I am  
10 looking at my geo-reference map, it's in my GIS,  
11 it's in my modern computer program that I can do  
12 mapping analysis with, that very last step is  
13 vectorization that gave me all of those pink  
14 blobs, those shape files that represent those  
15 historical water bodies. That's what I really  
16 need to do an analysis.

17           And I'll just demonstrate sort of the  
18 steps that I took to get me those pink blobs.

19           So here we're looking at the same map  
20 sheet, this is still 54D, this is still the Nelson  
21 River. I have actually labelled Stephens Lake  
22 here for your reference. We are all familiar with  
23 where that is. Stephens Lake actually doesn't  
24 exist yet on this map, but I think it helps to  
25 figure out exactly where we are to label it. This

1 is that historic map in my GIS. It is scaled, it  
2 has an appropriate scale. It's in the exact  
3 position it is supposed to be. It knows where it  
4 is in the world, it knows how big it is, it knows  
5 how big all these lakes are, how long these roads  
6 are, et cetera.

7                   And maybe I'll just sort of go back  
8 and forth a couple of times so you can see that.  
9 This is a historic map, and if you look at all  
10 those light blue water bodies, and I'll go  
11 forward, those are all of the areas that have just  
12 turned bright pink. And all of those bright pink  
13 areas are shapes. These compose the shape file  
14 that I need, that I have extracted from those  
15 light blue water bodies. So I can compare the  
16 historic water bodies to a current map of current  
17 water bodies, right. We want apples to apples.  
18 We want a GIS shape file that show me where the  
19 water bodies used to be, and I have that right  
20 there. And we're going to compare that to a GIS  
21 shapefile that shows me where the lakes are now.  
22 And when I say now, I mean as of 2006. That was  
23 when the data set was verified for.

24                   This dark blue, these dark blue blobs  
25 then is that. I have now introduced this current

1 map of current lakes. So all of the areas that  
2 are now coloured in this map, dark blue is -- this  
3 is my GIS shapefile of current, as of 2006, water  
4 bodies. So I'll just walk through that series one  
5 last time.

6 I started here with a geo-referenced  
7 historical map in my computer mapping program.  
8 I'll go forward. I have made a nice shapefile, a  
9 nice concise accurate shapefile of where those  
10 water bodies were historically when the map was  
11 produced. This is a GIS shapefile of where water  
12 bodies are now as of 2006. And that very last  
13 step is kind of where the magic happens, this is  
14 the difference between the two. So in this last  
15 slide, all of the areas that are dark blue, the  
16 light blue is those, is the historic map, all the  
17 areas that are now dark blue are areas that are  
18 now wet, now have standing water where there was  
19 not water in the historical map. The dark blue  
20 areas represent the difference in the water bodies  
21 between that historical map and the current map.  
22 And that's what we were after. In a nutshell,  
23 that's what we were doing with all of these  
24 historical maps, figuring out the difference  
25 between where the water bodies were, their shape

1 and form in history, in a pre-development  
2 condition, comparing that to where the water  
3 bodies are, and their look and form in the current  
4 condition, as of 2006.

5           Once you have that, it's like apples  
6 to apples, you can put the two on top of each  
7 other and you can see how they are different, see  
8 where they overlap, see where they have changed.  
9 And that is exactly what this shows actually, this  
10 shows Stephens Lake which exists now.

11           So now that I have introduced this  
12 current data of current water bodies, I'll just  
13 describe what this is. This is a Federal  
14 Government data source. It's distributed by  
15 Natural Resources Canada, and it's called -- they  
16 have horrible names -- it's called the CanVec GIS  
17 data. So if you hear me refer to the CanVec data  
18 set, that's the modern GIS shapefile that shows me  
19 where shorelines are now in the current.

20           This is available nationally. It's  
21 distributed by the Federal Government and you can  
22 download it.

23           There's all kind of things in that  
24 data set, all kind of things, it's just a gold  
25 mine. The pieces that you'll see elements of in

1 this map include hydro infrastructure, dams, dyke,  
2 levies, et cetera, settlements such as Thompson or  
3 Gillam or Grand Rapids, Indian reservations. And  
4 I was somewhat limited as to the naming and the  
5 content of that Indian reservations where it comes  
6 directly from the CanVec data set. Sometimes they  
7 are English names, sometimes they are Cree names,  
8 it's a bit of a mix. Not all of them were there.  
9 Sometimes there is too much there. There is no  
10 sort of sense of hierarchy in it, but it is what  
11 it is and it comes directly from the Federal  
12 Government in this CanVec data set -- and of  
13 course, water bodies.

14 That's the how we did it. And now  
15 I'll walk through the results, what that got us.

16 So I have all of these map sheets  
17 lined up for you in the powerpoint presentation I  
18 think you are all looking at. I'm actually going  
19 to look at the maps outside of powerpoint, so I am  
20 just going to switch. I have opened up the images  
21 outside, it's a little easier to navigate and zoom  
22 in and out of images outside of the powerpoint.

23 So here we are. So I'll just kind of  
24 give you a little tour of what's on these maps.  
25 Every one is titled, you can see the NTS map sheet

1 along the top. This one is 54D, it's the same  
2 sheet we have been looking at these last few  
3 slides. The common name is Kettle Rapids. And  
4 you will see in this case this shows a historical  
5 condition. For the remaining maps I'll only show,  
6 you will see that the title will change as such.  
7 It will say "results of analysis." For this one,  
8 I'll just show historical condition, I'll sort of  
9 start there. From here on, I'll just show  
10 results.

11           You'll see down in the bottom here,  
12 this is the legend, these coloured bars. When you  
13 see orange, small orange blobs, those are just  
14 lines that represent hydro infrastructure, be it  
15 generating stations, be it dams, control  
16 structures, diversion channels, et cetera. I have  
17 marked all those on the map. This is a historical  
18 condition so there's none there. I'll just go  
19 forward to the results of the analysis. For  
20 example, you can see there's some orange bars on  
21 this map, those just represent infrastructure.

22           There are red-ish, I'll just keep  
23 using the word blobs, red-ish blobs on the map,  
24 those represent some Indian reserves. There are  
25 also brown blobs. These are settlements. And you

1 can see infrastructure is always orange, labelled  
2 very clearly in black. Indian reservations are  
3 all sort of red-ish, also labelled in red-ish  
4 colour. Settlements are brown-ish and labelled in  
5 brown. I'll be zooming in and out of these maps  
6 to make it a little bit easier on the overhead to  
7 see in just a moment.

8                   This is a scale bar, so you can always  
9 figure out kind of how big things are that we're  
10 looking at. I always have the exact same scale  
11 bar on each map, so you know this is what 50  
12 kilometres looks like.

13                   And the last thing I'll note is this,  
14 is that key map, that map that I suggested you'd  
15 maybe use as a reference. You might start to  
16 recognize this funny square shape. These are all  
17 of the NTS map sheets that were included in the  
18 analysis. And I have always highlighted in bright  
19 green which map we're looking at. So as we go  
20 through each map, if you lose track of kind of  
21 where we are in the study area, which one we're  
22 looking at, you can always just look down here in  
23 this key and see which one is highlighted bright  
24 green, that's where we are.

25                   I have also dotted in, again just for

1 reference purposes, in dotted lines if you can see  
2 it, this is the Churchill River Diversion that  
3 stretches through the study area.

4           Okay. So what I'm going to do now,  
5 and I'm going to be doing this as I walk through  
6 the slides, I'm just going to be zooming in and  
7 out again, just to bring things a little bit  
8 closer, blow things up a little bit so we can see  
9 them clear.

10           So I'll just walk through the contents  
11 of each of these maps with you. You can see  
12 labelled are the Kettle Generating Station. This  
13 is the Long Spruce Generating Station and  
14 Limestone. And as I have alluded, all of the dark  
15 blue areas that had been highlighted on the map  
16 are areas of inundation. These are places where  
17 there's now standing water, where in that  
18 historical map in the pre-development condition  
19 there was no water. So all of these maps are  
20 going to be looking the same. All of the places  
21 where there's this rich dark blue, those are the  
22 areas of change where there's now inundation.

23           We had found one example of  
24 dewatering. I'll highlight that when we get  
25 there.

1                   Here's Stephens Lake reservoir, and  
2 the Nelson River, of course, flows through this  
3 map, draining out to the right to Hudson Bay.

4                   This is map sheet 63G, Grand Rapids,  
5 so here is Lake Winnipeg. You can see it very  
6 clearly in this map, the northern end of Lake  
7 Winnipeg is here. And the infrastructure in the  
8 map here is the Grand Rapids Generating Station.  
9 That's this orange line. I have visually tried to  
10 make it thick just to make sure you can see it.  
11 If I hadn't exaggerated somewhat, it would be an  
12 impossibly skinny line that you wouldn't see on  
13 the map. So I beefed it up so you can see this  
14 orange line of infrastructure.

15                   Then you can see immediately upstream,  
16 stretching to the left, to the west toward  
17 Saskatchewan, on that upstream side of Grand  
18 Rapids, you can see these were all of the areas of  
19 inundation that were highlighted in our analysis  
20 along Cedar Lake. Cedar Lake continues off the  
21 map outside of the study area. This isn't the  
22 border with Saskatchewan or anything, it is still  
23 Manitoba, but that was the edge of our study area.  
24 Cedar Lake continues off that way. We have just  
25 captured the eastern portion of Cedar Lake.

1                   Also appearing on this map in the  
2 north end of Lake Winnipeg are two diversion  
3 channels. This is the 2-mile channel here, and  
4 this is the 8-mile channel. And actually as a  
5 consequence of making these orange pieces of  
6 infrastructure large, they are actually covering  
7 up the water that is within them. But there is a  
8 strip of water, of course, that runs through the  
9 very centre of these two diversion channels.

10                   So I've gone to the next map now.  
11 This is map sheet 63J, Wekusko. And I will zoom  
12 in. So all I have done is I've gone immediately  
13 north from Grand Rapids, you can still actually,  
14 you can just see the top end of Lake Winnipeg, so  
15 I'm just moving just a little bit north and  
16 looking up from the previous map sheet, you can  
17 see here's 8-mile channel showing up on this map  
18 sheet again. And that infrastructure includes  
19 Kiskitto dam, the Ominawin bypass channel here,  
20 and the Jenpeg dam generating station and control  
21 structure. And you can see these are immediately  
22 upstream of Cross Lake.

23                   This is the inundation that we found  
24 on this map sheet, so starting at Jenpeg dam, at  
25 the generating station at Cross Lake, the

1 inundation stretches upstream, so upstream is  
2 towards Lake Winnipeg from Cross Lake. So the  
3 inundation that we found stretches from Cross  
4 Lake, all the way past upstream of the Kiskitto  
5 dam toward Playgreen Lake.

6 I'll move to the next slide. This is  
7 map sheet 64B. And I'll zoom in a little bit now.  
8 So you can see here, this is the Churchill River,  
9 I was describing that at the beginning of my  
10 presentation, that stretches northeast off the map  
11 and towards Hudson Bay. This is Southern Indian  
12 Lake. This is the South Bay diversion channel as  
13 part of the Churchill River Diversion, and you can  
14 see this is what then links up the Churchill  
15 River, which is here, down to the, through the  
16 Burntwood River and over to the Nelson. And this  
17 is the -- all of these dark blue areas are the  
18 areas of inundation that occurred, I'll really  
19 zoom in, that occurred as a result of the South  
20 Bay diversion channel. In fact, in many of these  
21 cases this wasn't a matter of shifting shoreline,  
22 there's actually -- there was actually no water  
23 bodies at all in many of these cases, and it was  
24 just all new water. And here is where the water  
25 bodies, there were historically water bodies.

1 Again, the historic water bodies always show up on  
2 all of these maps in the light blue. It's the  
3 dark blue that is the new inundation. That's the  
4 change is the dark blue. So you can always see  
5 where the historical water bodies were. That's  
6 the light blue.

7 I'll change slides.

8 I'm now looking at map sheet 630, I'll  
9 zoom in. So this actually just continues down the  
10 line from where we were. So in the previous  
11 slide, we were just up north of where my cursor is  
12 right now, at the northern end of the diversion,  
13 stretches south through the previous map sheet and  
14 it continues on through the map sheet that we're  
15 looking at now. This is all the same, part of  
16 that same diversion.

17 Infrastructure here includes the  
18 Notigi Control Structure, and the Wuskwatim  
19 Generating Station is here. And you can see this  
20 is where we meet up with the Burntwood River. I  
21 will note the Wuskwatim Generating Station  
22 infrastructure is here, but since the data set  
23 that we were using to show current water bodies is  
24 dated 2006, so it's not going to show changes that  
25 result from Wuskwatim since those changes would

1 have occurred since 2006. But it's labelled on  
2 the map.

3 I'll continue. Map sheet 63P, so this  
4 is -- now we're back down to the Nelson River.  
5 This is the Nelson River that stretches up towards  
6 Kelsey and eventually to the proposed Keeyask area  
7 and towards Hudson Bay. This is Sipiwesk Lake,  
8 and you can see the inundation that we found  
9 there.

10 And moving up we found further  
11 inundation along the -- this is actually, this is  
12 the Burntwood River now, so we have connected down  
13 to the Burntwood, and you can see the Burntwood  
14 stretches up northeast and connects with the  
15 Nelson River, just off the map. So you can see we  
16 found inundation here upstream from the, I guess  
17 ultimately the proposed Keeyask, which is just off  
18 screen, and also on the Nelson River immediately  
19 upstream from the Kelsey Generating Station.

20 One thing that I'll note was that the  
21 historical map, this is actually the only case  
22 where this occurred, this historical map for where  
23 the Kelsey Generating Station is located was  
24 actually dated at the construction end date for  
25 Kelsey. So it's actually not a true indication of

1 a pre-development condition, the construction on  
2 the dam had already started, but that was the best  
3 we could do. I believe this was -- let's see --  
4 actually one thing I didn't point out was the  
5 dates of all of these historic maps are always,  
6 always printed in the legend. So this map is  
7 actually 63P, which Kelsey is just outside of --  
8 this map you can see here is dated 1930. When I  
9 flip up to the next one where Kelsey is, you'll  
10 see the date for that one.

11 So here we are in 64A, so you can see  
12 there's Kelsey. We have just moved immediately  
13 north from the previous map sheet, and you can see  
14 this map is from 1961, there it is, which is when  
15 construction actually finished on Kelsey, not  
16 before it began. So in that sense it seems likely  
17 that we would be actually underestimating  
18 inundation there since the dam was completed then.

19 And here is the Split Lake.

20 The proposed Keeyask is actually just  
21 off screen to the right, to the east.

22 I'll continue. This is 64G, this is  
23 Big Sand Lake. I'll zoom in. This was the  
24 instance where we found dewatering. I'll zoom in  
25 a little closer. The yellow here, hopefully it

1 shows up and for your print as well, the yellow  
2 here -- maybe I'll just zoom in so it's really  
3 clear. This was where we found dewatering. So  
4 it's kind of the opposite. This is where  
5 historically there was water, now there's not.  
6 And we are immediately down, this dewatered area  
7 is immediately downstream from Missi Falls. And  
8 conversely, I'll zoom back out, on the upstream  
9 side of Missi Falls you can see all around  
10 Southern Indian Lake and the significant  
11 inundation that we found around the lake.

12                   Even at this scale you can sort of  
13 see, the more blue, the larger the inundation.  
14 Some of them really pop out as being larger than  
15 others.

16                   And as we went through this map by  
17 map, we were tallying up the total area of the  
18 inundation, and that's where I'm getting to when I  
19 get to the end of the maps.

20                   Okay. Those are the maps I wanted to  
21 walk us through.

22                   And where that brings us then is sadly  
23 another ugly table. All those projects, all of  
24 those pieces of orange coloured infrastructure  
25 that we saw on each one of those maps, those are

1 all listed on the left, which map sheet they were  
2 on is still there. And those two columns on right  
3 then is where we just added up all of the  
4 inundation, all of those dark blue areas that we  
5 were capturing was quite iterative, pass by pass,  
6 closer and closer, slowly we built our confidence  
7 and just got to know all of these lake systems,  
8 these hundreds of lakes, and slowly tallied up,  
9 added up all of the inundated area. So here I  
10 have used kilometre squared and acres. And you  
11 can see the one instance for Missi Falls of  
12 dewatering.

13                   So I have -- the way I did the  
14 accounting here was I got a total for each map  
15 sheet, rather than saying this is the total for  
16 Grand Rapids, I totaled, I got a total for map  
17 sheet 63G, which is where Grand Rapids is located.  
18 So in a case such as map sheet 54D, which houses  
19 Limestone and Kettle and Long Spruce, all three  
20 are together there. So I have reported out just  
21 one number for map sheet, and in that case 54D,  
22 even though it contains several developments.  
23 They ranged from up to 418 square kilometres for  
24 one map sheet where that South Bay diversion  
25 channel was. And in total, we found 1,350 square

1 kilometres of inundation, and 10 square kilometres  
2 of dewatering.

3 I'll continue.

4 So continuing through our results of  
5 the analysis, that was the maps and the total  
6 inundation, and now I'll finish by talking a  
7 little bit about accuracy and the confidence  
8 levels, kind of the nuts and bolts here of the  
9 analysis.

10 All maps have an inherent horizontal  
11 accuracy. So if you remember, I was defining  
12 accuracy as being how close a mapped feature such  
13 as a water body, how close its location is on the  
14 map to where it really is in reality. All maps  
15 can be slightly off. It's just the way it is,  
16 even modern top of the line maps. And so in order  
17 to calculate the total known horizontal positional  
18 accuracy, which is another way of saying what is  
19 the worst case condition, how far off could one of  
20 those water bodies be?

21 What you can do is just break apart  
22 all of the possible components that could  
23 contribute to that accuracy, to that error, and  
24 then add them all up, and that would be kind of  
25 the worse case scenario. If you got the worst

1 error for all of these pieces, add those all up,  
2 that's the worse that you could possibly, possibly  
3 have, the summation of them. So I'll just walk  
4 through them.

5           The first component of known  
6 horizontal positional accuracy is the hard copy  
7 historical NTS maps themselves, those old paper  
8 maps. And we had to do some real digging to find  
9 out, to get these numbers. But eventually from  
10 the map provider actually, from Natural Resources  
11 Canada, suggested that almost all of the maps, 10  
12 of them, of 11, have a positional accuracy of up  
13 to 125 metres. So all that means is for all those  
14 old historical maps, for 10 of them, they can be  
15 up to 125 metres off. That's kind of normal  
16 stuff. For one of the maps, it was 250 metres  
17 off, up to. Could be not nearly that much as  
18 well, but worst case scenario, it could be up to  
19 125 metres off for 10 of the 11 maps.

20           It's possible that distortions were  
21 introduced through the scanning of the NTS maps,  
22 when you load those old paper maps into a big flat  
23 bed scanner. You can minimize that completely by  
24 using a flatbed scanner, it pushes the map flat  
25 and you scan it. But it's possible some amount of

1 distortion was introduced through it. It's  
2 unknown what the number would actually be.

3           There is a township and range grid.  
4 Remember when I had that map up there with those  
5 blue lines, and I was showing those lines telling  
6 me latitude and longitude. In a couple of cases I  
7 used a different grid, it's called the township  
8 and range grid, and there would be an accuracy  
9 associated with that. It's unknown what that  
10 accuracy is, assumed to be small.

11           The geo-referencing step, so that  
12 process of taking this digitized, this scanned  
13 historic map and pinning it to its location, to  
14 its appropriate spot in Manitoba, so it's up in my  
15 computer program. As you geo-reference a map  
16 using those pins, I was calling them control  
17 points, and we use lots and lots and lots of them,  
18 my GIS program cranks out, automatically cranks  
19 out what's called the root mean squared error  
20 statistic, RMS error. It sounds horrible, but all  
21 that means is it's an indication, the root mean  
22 squared error is an indication of the quality of  
23 the control points that you have used to  
24 geo-reference the map. As I'm pinning this thing  
25 to Manitoba, we use lots of them, RMS error

1 simply says, how good were those control points  
2 you used, how internally consistent were they?  
3 It's not a measure of accuracy, it is a little bit  
4 different, but this is like saying, for example,  
5 if I only used four control points to  
6 geo-reference a map, one on each corner, and three  
7 of them all followed the same trajectory, moving  
8 up this way, and one of them was off, that's a bad  
9 control point, and my RMS error would increase  
10 from zero. And so we were always striving to  
11 achieve an RMS error of zero.

12           The CanVec water body data, so that's  
13 this modern, current as of 2006, GIS shapefile of  
14 current water bodies, that also has an inherent  
15 positional accuracy of between one and 30 metres.  
16 So that's the best we've got. That's modern  
17 stuff, and there's still some small accuracy,  
18 horizontal positional accuracy that's possible, up  
19 to 30 metres.

20           So you simply add all of those up.  
21 And you can consider that bottom, that punch line  
22 at the very bottom, combined known horizontal  
23 positional accuracy, that's kind of a mouthful,  
24 will range then between 126 metres to 280. So for  
25 10 of the 11 maps, it would be 126 metres. Okay.

1                   So, in short, what that means is for  
2 10 of the 11 maps, those water bodies just might  
3 be up to 126 metres off, right on the maps. And  
4 there's really nothing you can do about that. But  
5 now I'll show you the ramifications and how we  
6 dealt with that in the analysis to ensure that any  
7 changes we were finding were not due to that  
8 positional accuracy of the water bodies, and they  
9 are in fact significant. Meaning they are  
10 meaningful changes, they are not just due to  
11 horizontal positional accuracy, but because there  
12 really was inundation happening there. That's how  
13 we use this information to go forward.

14                   MR. SHAW: How were historical maps  
15 actually made? Do they send out survey teams?  
16 They've got a lot of detail.

17                   MR. FLANDERS: It is fascinating  
18 actually. I have a passion for these historical  
19 maps, I have looked at ones from the same series  
20 and even earlier, and they literally sent -- they  
21 actually did -- it's a combination of two things.  
22 By the sort of '60s, '70s, '80s, the horizontal  
23 positional accuracy that we got for our historical  
24 NTS maps actually dates to the '80s even though  
25 the maps, most of them are from the '60s, that was

1 the best we had. But it's a combination of aerial  
2 reconnaissance, so they actually flew planes --  
3 they are all sort of post war so they were doing  
4 this with airplanes, scanning the ground with  
5 photographs and interrupting them to find water  
6 bodies, and then verifying those with fueled  
7 surveying teams that would go out, classic, in the  
8 bush with their sites, and they would go out and  
9 verify these things. So all of these maps were a  
10 combination of these things.

11 MR. SHAW: Thank you very much.

12 MR. FLANDERS: You are very welcome.

13 These NTS map sheets, these historical  
14 maps do an incredible job of accounting for that.  
15 You can actually go to the very bottom fine print  
16 of each map and read exactly these details, when  
17 it was published, if it was surveyed, when the  
18 aerial, the flights were flown, all that stuff.  
19 It's all there.

20 Okay. So stemming from that  
21 discussion of accuracy, I wanted to talk about  
22 confidence, confidence levels in the results.

23 This is a bit wordy, I'll just walk  
24 you through it. There is a series of criteria  
25 that we use to ensure significant findings. So

1 we're trying to measure change, we want to make  
2 sure this is real change as a result of real  
3 inundation on the ground or dewatering, and not  
4 change that just happens because sometimes there's  
5 horizontal accuracy issues, and that historical  
6 water body might just not perfectly line up with  
7 the coverage of current water bodies that we have  
8 just because of these positional accuracy  
9 challenges that I was describing that all maps  
10 have.

11           So, as I was going through the  
12 analysis and picking out those dark blue areas of  
13 inundation, or the dewatering, I was always  
14 cross-referencing back to these criteria. This is  
15 our quality control. Identified areas of  
16 inundation and dewatering had to be the result of  
17 horizontal shoreline shifts of greater than 126  
18 metres for 10 of the 11 maps, or in the case of  
19 that one map, greater than 280 metres. Right. So  
20 we were looking for changes that were beyond that  
21 worst case scenario error, that positional shift.  
22 We want real -- we don't want any of these changes  
23 to be potentially the result of accuracy problems  
24 with maps.

25           Identified areas of inundation and

1 dewatering that are a result of horizontal shifts  
2 to shorelines of 126 to 280 metres, kind of at  
3 that margin, or at our limit of horizontal  
4 positional error, are not included if they closely  
5 match the shape of the historic water shoreline,  
6 and if they show an entire water body shifting in  
7 the same direction across a large area or for  
8 multiple water bodies. A bit of a mouthful.  
9 There was two things there.

10           The first is that if you can imagine  
11 two lakes, the shape of my hand. If the shift we  
12 were seeing, if we were seeing a shift in  
13 shoreline like that, and this new shoreline  
14 exactly matched the old shoreline, the historical  
15 shoreline, that's a bit of a warning flag. It  
16 suggests maybe this is just an accuracy issue,  
17 it's just a shift, they didn't quite line up  
18 perfectly. That's red flag number 1.

19           Red flag number 2 is if all across  
20 these enormous connected water bodies, if that  
21 shift, that little shift like this between the old  
22 and the new was all across the whole lake, that's  
23 another red flag. And you put those two together,  
24 and you can assume that that's just horizontal  
25 shift problem. What we're looking for is dynamic

1 changes, not just the shift of a shoreline but a  
2 significant change in the water. And often, as  
3 you'll see in some of the examples, you have  
4 probably noticed already often these inundations  
5 deviate considerably from the original shoreline.  
6 So, again, these two things together are part of  
7 the quality control. No any one individual is  
8 sufficient to ensure quality control, it all has  
9 to be done together, so it's constantly going back  
10 to this list.

11           Secondly, identified areas of  
12 inundation and dewatering had to be part of or  
13 adjacent to contiguous, so continuous, water  
14 bodies that are connected to existing hydro  
15 developments upstream or downstream. Right. So  
16 we're finding inundation. You have to be able to  
17 draw the line to a connected piece of  
18 infrastructure. This helps to ensure the  
19 correlation between the inundation or dewatering  
20 that we're finding and hydro infrastructure.

21           Areas of shoreline change that are at  
22 or very close to that threshold of horizontal  
23 accuracy, so 126 metres for most of the maps, must  
24 be part of linked areas of inundation that meet  
25 all of the above criteria. It's a funny way of

1 saying, we're looking for context clues here. So  
2 if something is very close, or if something is a  
3 bit of, one of those red flags, we're going to  
4 start looking around at the other parts of that  
5 shoreline, other parts of the lake. And if we  
6 found other parts of the lake that truly exceed  
7 that threshold, it is really a threshold, that's  
8 an indication that something significant actually  
9 is going on here.

10 So, again, no any individual one of  
11 these bullet points is sufficient to ensure  
12 significance, but together it ensures rigorous  
13 quality control.

14 The identification of shoreline change  
15 occurred very iteratively, pass after pass after  
16 pass of filter one, round two, round three, round  
17 four, going through this. And as new information  
18 came to light, such as getting those estimates  
19 from the map provider of horizontal accuracy, once  
20 those came in, we could really know exactly the  
21 kind of accuracy we're talking about for each one  
22 of these maps. We did another pass after that.  
23 We had local residents of some of these areas  
24 suggest that they had thought there was inundation  
25 happening. And that is not enough to tell us that

1 there was inundation, but that does tell us where  
2 to take a second look. So there is some anecdotal  
3 evidence on inundation. So let's look really  
4 hard. And gradually, we were looking really hard  
5 in places even if there wasn't anecdotal evidence,  
6 but gradually, these are just sort of -- this is  
7 the fuel to fuel another pass, another iteration,  
8 another search, combing through to find these  
9 significant changes.

10 As I did this, as more information  
11 came to light, my confidence levels increased  
12 slowly, and more areas of significant change can  
13 be found as such. The first pass provided the big  
14 ticket items, right, the Stephens Lake reservoir,  
15 Grand Rapids, South Bay diversion channel, these  
16 large, relatively large bodies of inundation.  
17 Those came out right away in the first pass. And  
18 with each successive pass, the changes that we are  
19 finding, however significant, were actually kind  
20 of smaller and smaller and smaller. And this was  
21 going on right up until last week, in fact, right  
22 up until I was putting together this presentation.  
23 There is kind of a diminishing rate of return.  
24 You can keep spending more time on this, you can  
25 keep including better data.

1                   For example, we were using 1:250,000  
2   scale NTS base maps. We could use 1:50,000 scale  
3   NTS base maps, really detailed. You could add  
4   those in and do a whole other pass, right. So  
5   eventually you have to stop and say, this is the  
6   inundation that we have uncovered. It's likely an  
7   underestimate, and we have tried to be really  
8   clear on that in the report. It's a conservative  
9   estimate. And we know it's a conservative  
10  estimate because that's the only way to have a  
11  defensible estimate as opposed to, for example,  
12  the potential for an overestimate. We know this  
13  has to stand up to rigorous criticism and so  
14  that's how we have moved forward.

15                   Okay. I guess I just lead into this  
16  slide. We know this is a conservative estimate of  
17  shoreline change. It doesn't include the full  
18  impacts of the Kelsey Generating Station. I  
19  mentioned that when we were looking at Kelsey, our  
20  historic map was actually published when the  
21  generation station was finished. So not a true  
22  indication of a pre-development condition. I  
23  don't know what changes happened between those  
24  years when construction started and when  
25  construction was completed, which is when that

1 historic map was published.

2 I mentioned it doesn't include the  
3 impacts of Wuskwatim. Those impacts would be  
4 since 2006, and our "current" data set of water  
5 bodies is dated 2006.

6 We also don't measure the effects of  
7 varying water elevations, flow rates, or volumes.  
8 That's not what this study does. This study looks  
9 at the changes in the extent of shorelines.

10 It's a snapshot. It doesn't indicate  
11 any variability, any changing in shoreline  
12 locations due to, for example, short-term  
13 fluctuations in water levels, hourly or daily.  
14 This is just a snapshot here, the shoreline  
15 levels, shoreline locations.

16 And lastly, I think I have hit this  
17 one several times, we were conservative when  
18 considering that combined horizontal positional  
19 accuracy of the analysis, always, always at the  
20 front of mind.

21 So a couple of examples of what this  
22 actually looks like on the ground, as I'm combing  
23 through all this data. Here's a little snapshot  
24 of a piece of -- this is Southern Indian Lake, and  
25 you can see, this is a historic map and this is

1 actually map 64G, and all of this light blue is  
2 the historic water body of South Indian Lake. All  
3 these other little sort of red-ish brown lines are  
4 just topography lines, those are contour lines,  
5 elevation lines. It's the light blue water bodies  
6 that we're looking at. So I'll show you what  
7 vectorization looks like, for those interested.  
8 There is all those pink blobs again, so this is a  
9 GIS shapefile of those historic water bodies.

10 Now, the next slide I'll show you is  
11 this, it's the same historical map but now  
12 overlaid with a GIS shapefile of current water  
13 bodies, current as of 2006. So I have turned on  
14 some darker blue, so it kind of looks like you're  
15 seeing double vision a little bit. There is that  
16 lighter blue historical map underneath, that's  
17 this, and over top of that now I have overlaid,  
18 with a little bit of transparency, a darker blue.  
19 That's that CanVec GIS data that shows current  
20 water bodies.

21 And the reason I wanted to use this as  
22 an example is because it's a very, very clear  
23 example of that horizontal shift that I was  
24 talking about. This is exactly what we want to  
25 avoid. Any time -- and you can literally see, the

1 whole lake system looks like it's shifted. And  
2 this is an example, whenever we saw this, where we  
3 could not assume that the changes in shoreline,  
4 because this would suggest a change in shoreline,  
5 is not significant. It could say just be due to  
6 just this inherent horizontal positional accuracy.  
7 Any time that we started to see this occur, and  
8 after you get to build this intimate relationship  
9 with all these maps that I built, you really just  
10 start to see this pattern. You just become quite  
11 keen. And after you have searched through several  
12 hundred lakes, you just see it, that's horizontal,  
13 that's a shift. That's not significant, that's  
14 not part of the analysis.

15                   Conversely -- so that was on one map  
16 sheet. South Indian Lake stretches across 64G and  
17 64B.

18                   So now I'm going to move north along  
19 South Indian Lake. This is the northern end of  
20 South Indian Lake. It's on a different map sheet.  
21 You can see still here all of this sort of light  
22 blue, you can see this was sort of on an old  
23 school dot matrix printer, but here is the  
24 historical water body. I'll turn on that pink  
25 vectorization of the historical water body so you

1 can see again -- again, this is a very rudimentary  
2 exercise. This vectorization to get a nice tight  
3 GIS shapefile of these historical water bodies is  
4 really bang on.

5 I'll go forward a little more. This  
6 then, the map we're looking at now, you don't see  
7 that double vision. This is the historical map  
8 underneath, and on top of that I have overlaid a  
9 darker blue current map, current GIS shapefile of  
10 water bodies. And what you can see is the  
11 beautiful registration of the shoreline all the  
12 way across. There's none of that double vision,  
13 there's none of that shift where the whole lake  
14 looks like it's just off by a little bit, it  
15 doesn't exist here at all, all the way around, all  
16 the way around, lake by lake. Even if you look  
17 over here at these little lakes that are way off  
18 on the edge, that is the current, the GIS  
19 shapefile of current water bodies sitting  
20 perfectly right on top of the historical one.  
21 Very, very high confidence levels in the results  
22 of this geo-referencing, and consequently the  
23 results of any change that we can see.

24 So you can see here is an example  
25 where that darker blue area, this darker blue here

1 is what in 2006 is a water body, that wasn't a  
2 water body when this map was produced in the '60s  
3 probably. I can't remember when this one was  
4 produced. It's in the table, right.

5 Here, there was a water body  
6 historically, still a water body there. Same with  
7 all on this shoreline. But here, this is new  
8 water, this is inundation. Right. We can be  
9 very, very confident that this is significant  
10 inundation and not due to that horizontal shifting  
11 issue I was talking through.

12 And after, again, pass by pass, by  
13 spending all this time on this map, you see these  
14 two patterns again and again. And by giving it  
15 really close look and measuring these changes, you  
16 can immediately tell which areas of inundation,  
17 which areas of shoreline change are real  
18 significant inundation, real change, and which are  
19 just part of this potential horizontal accuracy  
20 issue and should not be part of the analysis.

21 So that total inundation number that I  
22 gave you, 1,340 kilometres squared, is only  
23 collected in situations like this. Right. Very,  
24 very high confidence in the results of lakes like  
25 this.

1                   And there is, the last slide there is  
2 the inundation. That's the significant change  
3 that comes out of that change analysis. We had an  
4 old map, we had a new map, they registered  
5 perfectly. Any changes between the two are  
6 highlighted dark blue there. We added up the  
7 total area of all those dark blue areas to give us  
8 that number of total inundation in kilometres  
9 squared.

10                   Okay. I'll finish off with some  
11 conclusions and recommendations. I think this  
12 study demonstrates the utility of using historical  
13 and current maps to document shoreline changes  
14 over time caused by generation stations, dams,  
15 control structures and diversion channels.

16                   We can use this type of mapping to  
17 establish a defensible baseline study for future  
18 analyses of shoreline changes over time, linked to  
19 hydro, linked to other developments that affect  
20 water bodies.

21                   I think this would be particularly  
22 useful where there are uncertainties regarding the  
23 scope of anticipated inundation and dewatering, as  
24 baseline studies could be used to compare and  
25 evaluate actual changes to shorelines over time.

1 Right. You can actually look back and see what  
2 actual changes really were according to a  
3 baseline, and this serves as a kind of baseline  
4 study.

5 And future mapping would see improved  
6 accuracy, and even higher confidence levels  
7 with -- I think I mentioned, for example, if we  
8 used larger scale NTS maps, 1:50,000 scale maps as  
9 opposed to 1:250,000 scale maps, the lakes look  
10 quite a bit bigger, you see quite a bit more  
11 detail, it needs more time and resources to do  
12 that, but that's an option.

13 There's other historic data, there's  
14 other maps, such as those available, this was  
15 made -- I was made aware of the Conservation  
16 Commission of Canada had studied it, as one person  
17 put it, they studied every lake and river in  
18 Manitoba. There is really good data out there,  
19 there is other stuff out there. We have just  
20 relied on this one set of NTS maps. It's good.  
21 We can keep going. We can do another pass, right,  
22 you can just keep on digging. And certainly  
23 fulsome sharing of mapping data, not only by the  
24 proponent, but with others, this requires data,  
25 this requires access to good data. The more data

1 we have, the better analysis we can do.

2           The commitment of more time and  
3 resources to locate additional historic maps,  
4 other data, and further analyse more defined  
5 areas, I think I have mentioned pass by pass by  
6 pass, as recently as last night as I'm putting  
7 together this presentation, although I'm getting  
8 diminishing returns, I can still find more  
9 changes. All the big ticket items we've got. I  
10 can still find a few hectares here, a kilometre  
11 squared or two here, which seems insignificant  
12 compared to the 1,300 some odd square kilometres  
13 that we have found significantly, but you can keep  
14 on finding more.

15           There's other options too. You can  
16 use Google Earth, for example, if we didn't want  
17 to use a 2006 data set for our current shorelines.  
18 You can use other satellite imagery to give you  
19 other more up-to-date imagery. There's all kind  
20 of options out there. There's a lot of directions  
21 you could take from this preliminary study.

22           So we considered the area immediately  
23 around, but not including the proposed Keeyask  
24 Generating Station, including water bodies  
25 connected upstream and downstream. Where mapping

1 shoreline changes over time across a larger  
2 geographic area, I think it's certainly become  
3 very clear now that Manitoba Hydro's hydroelectric  
4 infrastructures are so systemic, system wide, and  
5 incremental, that the impact of any one  
6 development or any one project really must be  
7 considered in the context of numerous others that  
8 are part of this disturbed hydrological system.  
9 It's sort of like taking the blinders off and then  
10 seeing the whole system.

11           And I think it's a rigorous defensible  
12 demonstration of the mapping technology that's now  
13 available, and increasingly used I think in  
14 environmental assessment, certainly in land use  
15 planning, could be used in the Keeyask case to  
16 provide a system wide analysis of what are  
17 ultimately systemic impacts. It's a system wide  
18 analysis for system wide impacts occurring to  
19 these linked and manipulated water bodies.

20           Thanks again for the time to go  
21 through this with you.

22           THE CHAIRMAN: Thank you,  
23 Mr. Flanders. We'll turn to cross-examination,  
24 the proponent.

25           MS. LAND: Excuse me.

1 THE CHAIRMAN: Sorry, Ms. Land?

2 MS. LAND: Yes, I do have some  
3 examination in chief questions to follow up.

4 THE CHAIRMAN: Certainly, I'm sorry.

5 MS. LAND: That's fine. And sir, it's  
6 10:45, I'm not sure if you would want to take a  
7 break at this point. I have about half an hour of  
8 questions.

9 THE CHAIRMAN: Why don't we do your  
10 questions, and then we'll break, and then we'll  
11 come back with the cross-examination following the  
12 break.

13 MS. LAND: Okay, great. Thank you.

14 Thank you, Mr. Flanders. I wanted to  
15 pick up on the reference that you made in a slide  
16 towards the end of your discussion, and I'm going  
17 to actually go back to slide 40 of your slides.  
18 And to ask you a little bit more about --

19 MR. FLANDERS: Pardon me, which slide?

20 MS. LAND: Slide 40.

21 You mentioned the fact that you have  
22 been completing pass by pass of your analysis.  
23 And I was wondering if you could explain a little  
24 bit more detail why the data changed between last  
25 week and this week, and the one that had popped

1 for me was the data with respect to Kelsey. So  
2 slide 40 shows the inundated areas. And in the  
3 final report that was filed last week, for Kelsey,  
4 for instance, the inundated area was five  
5 kilometres squared. And then in the amended  
6 report, it's eight kilometres squared. And that's  
7 a 60 percent difference.

8           So there were some other changes, but  
9 I think that was one of the ones that was most  
10 dramatic. I was wondering if you could explain in  
11 a little bit more detail what happened there, why  
12 that changed, and also how that relates to other  
13 comments you made about accuracy, how you  
14 determine best accuracy in your analysis?

15           MR. FLANDERS: Absolutely. So it did  
16 follow from this iterative filtering process of  
17 going through these results that admittedly  
18 continues today. So what happened in that case  
19 was we found the -- we found even further upstream  
20 than I had initially been looking, further  
21 upstream from the development along the Burntwood  
22 River, some more inundation. And this is  
23 inundation that I am referring to here. And I  
24 hadn't, I had missed it. It's not like the others  
25 in that it's sort of a dam right there or a

1 control structure right here, or what have you.  
2 But as I have kind of got to know this river  
3 system, the Burntwood River flows into, of course,  
4 Split Lake. And just off screen is where the  
5 proposed Keeyask is, it's where Kettle is, Long  
6 Spruce, there's another one, Limestone, they are  
7 all just off screen. On a different map, they  
8 would actually probably, they could foreseeably  
9 all show up on the same map.

10           And so this is an example of more time  
11 on these maps, with more time getting to know  
12 these lakes and how they are connected, with more  
13 resources, you can continue to find very  
14 significant flooding. This meets all of those  
15 quality control criteria that I had described.  
16 You can see them here on this map as well. These  
17 are large inundation water bodies here. And so  
18 it's a reality I think of my -- in hindsight, I  
19 realize you could -- the more you dig, the more  
20 you find, and there are limits to the amount of  
21 time and resources we had to do this. But my eyes  
22 were still on these maps every single night and  
23 every single day, looking at this, putting  
24 together the report and the presentation, and  
25 finding more, I squeezed more in, it's significant

1 and that's how it came up, I would imagine. I  
2 think I mentioned even last night I found more  
3 little pockets, and that would continue. But at  
4 the end of the day, we know that it's an  
5 underestimate, it's conservative, but it's  
6 defensible. And so the previous number, was it  
7 five kilometres squared as opposed to eight,  
8 that's an example. So we only found three more  
9 kilometres squared as opposed to the 400 some odd  
10 that were from the Churchill River Diversion, the  
11 South Bay diversion channel, diminishing returns.  
12 But the previous version of the report was still  
13 defensible. It was an underestimate, but it was a  
14 defensible underestimate.

15           This version after this update is  
16 still an underestimate. It's less of an  
17 underestimate, but it is still defensible. I  
18 still consider both to be accurate. Neither of  
19 them are incorrect. The updated version is just  
20 slightly less of an underestimate.

21           MS. LAND: Thanks. And I'm going to  
22 ask you to flip to slide 59 now, just to pick up  
23 on what you were talking about in terms of just  
24 now, about the resources that allow you to do a  
25 more accurate analysis.

1                   So the third bullet in your set of  
2 recommendations about how to improve accuracy is a  
3 suggestion or recommendation of more fulsome  
4 sharing of mapping data by the proponent.

5                   Can you tell us a little bit about  
6 your request to Manitoba Hydro for information  
7 that they had about digital topography or maps for  
8 this area, and which maps and information you  
9 received from Manitoba Hydro?

10                  MR. FLANDERS: Yes. In the latter  
11 part of your question, we didn't receive any from  
12 Manitoba Hydro. We had asked specifically for two  
13 things. One relates very directly to this  
14 analysis, which was I mentioned in that CanVec  
15 data set, that Federally distributed Natural  
16 Resources GIS data set of current whole number of  
17 things. Infrastructure was in there, settlements  
18 were in there, Indian reservations, water bodies,  
19 that was all part of this large CanVec data set.

20                  One of those elements was a coverage  
21 of infrastructure, dykes, dams, levies, et cetera.  
22 And we had asked the proponent to help us with the  
23 identification of these things. Some of them were  
24 labelled, some of them weren't in the data set.  
25 We got it how it's distributed. And we had asked

1 for some help identifying these and figuring out  
2 what they were. There was often a very clear  
3 generating station such as Kelsey or Kettle. In  
4 the case of Kettle, in particular, and Grand  
5 Rapids you can see as well, there are these sort  
6 of linked pieces of infrastructure that spread out  
7 from the dam. And I wanted to make sure we knew  
8 what they were and the nature of them. You know,  
9 a dam is different than a generating station,  
10 which is different from a control structure, which  
11 is different from a diversion channel, et cetera.  
12 So we asked specifically for help with that, and  
13 we didn't receive any.

14           The other piece that we asked for is  
15 we actually wanted to do our own independent  
16 assessment of the potential inundation from the  
17 proposed Keeyask project to compare with the  
18 proponent's. And in order to do that, I'll use  
19 the expression again, you need a kind of apples to  
20 apples analysis to make sure, you know, control,  
21 all else being equal, all the control variables,  
22 can we do another analysis and get the same  
23 results? And in order to do that, we would  
24 actually need the same topography data. So this  
25 is what's called a digital elevation model.

1 That's the digital terrain model of the site  
2 around Keeyask that was built by the proponent and  
3 used to see what the inundation would be as a  
4 result of changing water levels. And without  
5 access to that, that topography data set, I would  
6 have had to use another one, which of course  
7 wouldn't let you compare apples to apples. We  
8 would have to use a different topography data set,  
9 we would have an analysis, there would be no  
10 question there would be differences, but you  
11 couldn't isolate the root cause of those  
12 differences. It could have just been because you  
13 were using two different topography data sets. So  
14 that was something we wanted to do but weren't  
15 able to.

16 MS. LAND: You mentioned CanVec, and I  
17 wanted to ask you two questions about CanVec. One  
18 is with respect to the CanVec information from the  
19 Federal Government about the location of Federal  
20 lands that are Indian reserves or Indian lands,  
21 which takes a variety of forms. But I notice that  
22 in some of your maps, you included information  
23 about the location of Indian reserves and lands,  
24 and in other ones you didn't. Can you explain why  
25 that would be?

1 MR. FLANDERS: Thank you. Yeah, it  
2 deserves an explanation, and I hope people weren't  
3 put off by the fact that some Indian reserves  
4 showed up on the maps and some of them didn't.

5 It was a very sort of raw data set in  
6 that way, there was very little ability, there was  
7 no ability to kind of assess any kind of hierarchy  
8 of kind of major centres, major settlements versus  
9 minor secondary and tertiary. And what ended up  
10 happening is in some cases there are actually so  
11 many reserves surrounding these water bodies, for  
12 lack of a better word, they completely clutter the  
13 map, and you just end up with all kinds of action  
14 going on in the map. And so in a couple of cases,  
15 I sort of filtered some of that out and dropped  
16 some of the Indian reservations off of the map,  
17 just to make clear the information that I wanted  
18 to jump out of the map.

19 MS. LAND: Similarly, you talked about  
20 the CanVec data from the Federal Government  
21 showing hydro infrastructure. And one of the  
22 things I had noticed at one point in one of the  
23 maps when you blew it up was a site called Russell  
24 Dam. Can you tell us about Russell Dam?

25 MR. FLANDERS: Russell Dam is actually

1 an example of something we, you know, part of what  
2 we needed help with, with the identification of  
3 these infrastructures. Russell Dam showed up in  
4 the CanVec data set right from the download,  
5 opened it up, and there is Russell Dam. We  
6 actually found some inundation rate upstream of  
7 Russell Dam. I even looked in Google Earth and  
8 found this, what appears to be a dam at Russell  
9 Lake. Yet I couldn't find, upon researching and  
10 trying to figure out the construction dates and  
11 that whole process of researching each development  
12 and figuring out when a pre-development condition  
13 would be, I couldn't find it. So it was a bit of  
14 a ghost dam. It's there, it's labelled, and there  
15 is inundation, but I couldn't peel back the layers  
16 any more. But, nonetheless, whether I have  
17 symbolized it as a piece of infrastructure or not,  
18 there was inundation behind it.

19 MS. LAND: And I think this is also  
20 related to CanVec. You mentioned the fact that  
21 you were using the 2006 CanVec data sets. Can you  
22 explain why you would use data from 2006 and not  
23 say 2012 or 2011?

24 MR. FLANDERS: Yeah. The 2006  
25 pertains specifically to the hydrology chunk of

1 that CanVec data set, the water bodies. And when  
2 you go into the, in my computer mapping program,  
3 when I open this thing up, you can actually see  
4 each and every water body has what's called, it's  
5 a verification date or a validation date, it's a  
6 date associated with each and every water body,  
7 and it averages out to almost every lake was 2006.  
8 And that's the date then that you can pin on that  
9 water body. As of 2006, this was the water body.  
10 And certainly if there was more up to date data, I  
11 would have loved to use it. That's how long it  
12 takes to, I guess, assemble a defensible rigorous  
13 hydrology data set by the data provider.

14 MS. LAND: Those are actually all my  
15 questions.

16 THE CHAIRMAN: Thank you very much,  
17 Ms. Land. I quite like your estimation of time.

18 Okay. We'll take a 15 minute break  
19 and we'll return at 11:15 with cross-examination.

20 Thank you

21 (Proceedings recessed at 10:58 a.m.  
22 and reconvened at 11:15 a.m.)

23 THE CHAIRMAN: We'll reconvene,  
24 please. Ms. Land, you are finished with your  
25 initial presentation?

1 MS. LAND: Yeah.

2 THE CHAIRMAN: Thank you. Proponent,  
3 Mr. Bedford?

4 MR. BEDFORD: Mr. Flanders.

5 MR. FLANDERS: How are you?

6 MR. BEDFORD: Well, I'm fine. Good  
7 morning.

8 MR. FLANDERS: Good morning.

9 MR. BEDFORD: I represent the  
10 proponent of the Keeyask project, the Keeyask  
11 Hydropower Limited Partnership. And I have for  
12 you this morning two pieces of information which I  
13 am very confident will come to you as being very  
14 interesting.

15 Firstly, one of the participants in  
16 this proceeding, the Concerned Fox Lake Grassroots  
17 Citizens asked my client last summer for mapping  
18 before and after, showing the areas inundated by  
19 the Kettle, Long Spruce and Limestone dams. And  
20 that before and after mapping was provided. I  
21 conclude that you haven't seen that mapping  
22 because you have made no mention of it, either in  
23 the written report that you filed or in your  
24 presentation. So I commend it to your attention.  
25 You clearly have a wonderful passion for maps.

1 And when you are back in your office, I'm sure  
2 professionally you'll want to see the mapping that  
3 my client provided of those particular areas.

4 MR. FLANDERS: Thank you.

5 MR. BEDFORD: Now, the second piece of  
6 information requires me to ask you to go to page  
7 11 of the report that you filed.

8 THE CHAIRMAN: The report or the  
9 presentation?

10 MR. BEDFORD: The report.

11 I'd like you to look almost exactly in  
12 the middle of page 11 of the report, and you  
13 wrote:

14 "Manitoba Hydro, upon request,  
15 declined to identify the CanVec vector  
16 data with each of its hydro generation  
17 installations."

18 And I did hear you repeat the same complaint this  
19 morning, that you had asked for this information  
20 and it was not provided.

21 So the second piece of information I  
22 have for you, Mr. Flanders, is that data which you  
23 requested of Manitoba Hydro was sent by courier  
24 for you on October 1, 2013, sent for you to the  
25 party, Ms. Whelan Enns, who retained your services

1 on behalf of Peguis First Nation. So the  
2 information that you complained you didn't  
3 receive, my information to you is it was sent for  
4 you by courier. No doubt, having received that  
5 information, Ms. Whelan Enns diarized November 25  
6 to send it on to you.

7 I have no questions of this witness.

8 THE CHAIRMAN: Thank you, Mr. Bedford.  
9 Participant questions, Consumers Association?

10 MS. CRAFT: Thank you, Mr. Chair.

11 Good morning, Mr. Flanders, I have  
12 just a few questions for you. I am wondering if  
13 you --

14 THE CHAIRMAN: Just for the benefit of  
15 the witness, perhaps you could introduce yourself,  
16 Ms. Craft.

17 MS. CRAFT: I'm sorry, I did introduce  
18 myself yesterday to Mr. Flanders. I'm Aimee  
19 Craft. I am a lawyer for the Consumers  
20 Association of Canada. It's nice to see you  
21 again.

22 My questions are related to your  
23 methodology, Mr. Flanders. And I'm wondering if  
24 you might be able to refer us --

25 THE CHAIRMAN: Pull the mic in a bit.

1 You're very soft spoken.

2 MS. CRAFT: I'm wondering,  
3 Mr. Flanders, if you'd be able to refer us to any  
4 examples from other regulatory proceedings where  
5 this type of methodology or something analogous to  
6 it has been presented to and accepted by the  
7 regulator?

8 MR. FLANDERS: No, I don't think I  
9 could, not off the top of my head. In a  
10 regulatory proceeding?

11 MS. CRAFT: And would it be fair to  
12 say then that you haven't participated in any  
13 regulatory proceedings where you have presented  
14 this type of information and methodology?

15 MR. FLANDERS: That's correct, I have  
16 not.

17 MS. CRAFT: Can you point us to any  
18 peer-reviewed articles that would confirm this  
19 type of methodology as an appropriate method for  
20 determining inundation and dewatering?

21 MR. FLANDERS: Yes, I move in that  
22 world. In fact, earlier on -- I'm trying to think  
23 of what part of this process this was -- I was  
24 asked to forward along a body of reference  
25 material to serve as a support, as a basis for

1 this kind of analysis. I submitted along with,  
2 you know, my name and description, I'm trying to  
3 think of exactly what that document was, I don't  
4 have it in front of me. But there must have been  
5 half a dozen or 10 peer-reviewed articles that  
6 all, in their own way, do various pieces of this  
7 process of collecting historical maps,  
8 geo-referencing and vectorizing them to find  
9 shoreline change in other environments on coastal  
10 environments. So, absolutely, there is numerous,  
11 I would actually say this kind of analysis, this  
12 is really not rocket science. I don't know if it  
13 really sounds incredibly complex, but this is  
14 actually pretty straightforward stuff. All of the  
15 pieces that made up the analysis have been  
16 practised for decades, no exaggeration there.

17 In fact, when I am teaching  
18 introductory level GIS, not all, but many of the  
19 tools that I have to use to do this analysis that  
20 I walked you through, many of them I actually  
21 cover just in a basic introductory GIS course.  
22 This is standard stuff, I just think a very novel  
23 and relevant application of it.

24 MS. CRAFT: Could you maybe then point  
25 us to the leading peer-reviewed articles on this

1 particular methodology.

2 MR. FLANDERS: Off the top of my head?  
3 I wish I had that list in front of me. I actually  
4 submitted this list of studies that I had visited.  
5 I can't even come up with one off the top of my  
6 head.

7 MS. LAND: Mr. Chair, would it be in  
8 the more extensive CV list of published  
9 publications that you had, would have done?

10 MR. FLANDERS: In my own CV?

11 MS. LAND: The CV that was submitted  
12 in October that has a more extensive list of your  
13 peer-reviewed publications?

14 MR. FLANDERS: There's a list of  
15 certainly my own peer-reviewed publications. I  
16 have done at least one study actually analogous to  
17 this one. It wasn't peer reviewed. The list I'm  
18 actually thinking of, kicking myself for not  
19 bringing it, we had to submit this list of  
20 materials. I think, Lorraine, you were part of  
21 this conversation where we were lining up the kind  
22 of things I was going to be presenting and a body  
23 of documents that support this kind of research.  
24 So I just sort of skimmed back in my archives and  
25 said, well, this is part of this body of research,

1 this is part, this is part, this is part.

2 MS. LAND: And we can provide an  
3 undertaking to provide that list if that would be  
4 of benefit.

5 (UNDERTAKING #12: Provide list of articles  
6 supporting research)

7 MS. CRAFT: Okay. Moving on to one  
8 last question, Mr. Flanders.

9 Assuming that your analysis into the  
10 extensive inundation and dewatering is  
11 directionally accurate, are there any other  
12 potential sources for some of the effects, apart  
13 from hydroelectric development or those that you  
14 have mentioned in your presentation?

15 MR. FLANDERS: Are you asking, are  
16 there any other potential root causes of the kind  
17 of inundation that we're seeing in the maps?

18 MS. CRAFT: Yes.

19 MR. FLANDERS: I asked myself this  
20 question as well, and I couldn't think of any that  
21 would be responsible for this scale of change.

22 MS. CRAFT: So are you saying that  
23 there are no others that have been taken into  
24 consideration?

25 MR. FLANDERS: I have thought about

1 this for six months, and I can't think of any  
2 other single root cause for the kind of change  
3 that we found in these maps. The world is a  
4 dynamic place, full of varying land uses and all  
5 kind of infrastructures and complex systems of  
6 transportation and harvesting and resource  
7 management and change, but we're very confident  
8 that the inundation that we found and marked on  
9 the maps is from the infrastructure noted in the  
10 maps.

11 MS. CRAFT: Okay. Those are my  
12 questions. Thank you, Mr. Flanders. Thank you  
13 panel.

14 MR. FLANDERS: You are welcome.

15 THE CHAIRMAN: Thank you. Concerned  
16 Fox Lake Citizens?

17 MS. PAWLOWSKA-MAINVILLE: Good  
18 morning.

19 MR. FLANDERS: Hi.

20 MS. PAWLOWSKA-MAINVILLE: Thank you,  
21 Mr. Flanders, for your presentation. I only have  
22 a few questions and they are more of a general  
23 question.

24 Do you see your method of being an  
25 effective way of working with First Nations and

1 traditional knowledge, because traditional  
2 knowledge tends to look at impacts in like a big  
3 broad picture way, and could you talk a little bit  
4 about that?

5 MR. FLANDERS: Absolutely.

6 Actually, earlier on when the very  
7 initial discussions were happening about doing  
8 this work, I had envisioned, I had hoped that it  
9 would involve actually site visits and being able  
10 to travel to some of these places. Usually when  
11 I'm working, in fact, always, almost always when  
12 I'm working with First Nations communities, I'm  
13 working in a rural area in the north or in the far  
14 north. It's in situ, it's in place, it's working  
15 with people, it is working with hunters, it is  
16 working with trappers. I have interviewed  
17 hundreds. So I had actually hoped that I could  
18 speak with people that live in these places and  
19 that use these water systems, and that trap there  
20 and fish there, to actually help me uncover some  
21 of these places and help me sort of zero in on  
22 these places where they felt there was change, to  
23 help guide this whole sort of filtering that I was  
24 describing.

25 So I think this would be actually

1 ideally paired, I guess this is kind of -- this is  
2 kind of the -- I have heard the term western  
3 science come up the other day. This is kind of  
4 the western science way of measuring change. But  
5 really it would improve the efficacy of the work,  
6 and certainly the efficiency, and I think the  
7 validity and usefulness of the work to consult  
8 with the people that live in all these places that  
9 I am mapping. I haven't even visited a lot of  
10 these lakes. It's been this tedious process of  
11 getting to know these places, and I really would  
12 have appreciated being able talk to the people  
13 that use them and know them intimately themselves.

14 MS. PAWLOWSKA-MAINVILLE: Thank you.

15 So do you think that this would be a  
16 very effective way of helping First Nations see  
17 the extent of the effects from hydro development?

18 MR. FLANDERS: Absolutely, First  
19 Nations and others, absolutely.

20 MS. PAWLOWSKA-MAINVILLE: Thank you.

21 So your method kind of looks at the  
22 big picture. And with the Keeyask, there is this  
23 offsetting program where First Nations are going  
24 to be flown to other areas to pursue traditional  
25 harvesting practices. So do you think that your

1 method could be used to predict whether or not  
2 those areas that First Nations will be kind of  
3 relocated to could be affected by hydro  
4 development?

5 MR. FLANDERS: Could you ask me that  
6 question again?

7 MS. PAWLOWSKA-MAINVILLE: Yes, of  
8 course.

9 So the Keeyask project has this plan,  
10 it's called the offsetting program, where First  
11 Nations who are directly impacted with this  
12 project will be flown to other areas in order to  
13 pursue the traditional harvesting practices,  
14 trapping, hunting and snaring. And do you think  
15 that your method of mapping and predicting impacts  
16 could be used to determine whether or not certain  
17 impacts or inundations or drainage will be felt in  
18 those areas that those First Nations will be  
19 relocated to?

20 MR. FLANDERS: Since this analysis is  
21 looking into the past, it's backward looking at  
22 changes that have occurred up until now, up until  
23 2006, I would actually have to say no, it wouldn't  
24 do it. It wouldn't serve that purpose that you  
25 have described. I think what you are describing

1 is, could you use this analysis to forecast future  
2 conflicts between traditional land users and  
3 future inundation? That's not exactly what this  
4 does. This would sort of, to modify it slightly,  
5 this actually just suggests all of the places that  
6 in the last, over the last century have changed.  
7 Now that I supposedly -- I suppose could not now  
8 fly into, because they are inundated, or the  
9 opportunities for traditional activities would  
10 have changed or have been diminished or would have  
11 to be adapted as a result of the changes that I  
12 found.

13 That was a bit wordy. Did that come  
14 through clearly?

15 MS. PAWLOWSKA-MAINVILLE: Yes, I think  
16 so.

17 So you mean that this method could be  
18 used to almost see the extent of the traditional  
19 knowledge that has been kind of vocal about some  
20 of the impacts that hydro has done in the past?

21 MR. FLANDERS: Oh, I see, like a  
22 verification?

23 MS. PAWLOWSKA-MAINVILLE: Yes, I guess  
24 you can call it that.

25 MR. FLANDERS: Yes, it can be seen as

1 a verification. And the only caveat I would add  
2 is that -- I'll put it this way. All of the  
3 changes that I have identified are significant for  
4 all of those quality control reasons I walked  
5 through, it's painstaking. But it's not likely  
6 that I have accounted for all of the changes.  
7 There could very well be, I would go so far as to  
8 say it's likely that there are other changes that  
9 we haven't found in this analysis, just due to the  
10 limitations of our time and resources.

11           And there are some specific examples  
12 of that where we had heard anecdotally, I think  
13 the example was -- was it Cross Lake or Split  
14 Lake? I could open up the map, but it might be  
15 distracting -- where we had heard anecdotally that  
16 there had been changes, and I didn't find any, I  
17 couldn't find significant changes. That's not to  
18 say that there were no changes there, that's only  
19 to say that this kind of analysis doesn't uncover  
20 the changes there.

21           MS. PAWLOWSKA-MAINVILLE: Okay, thank  
22 you.

23           So one of the changes that you did say  
24 was going to occur was, for example, the presence  
25 of water bodies have been -- a new creation of

1 water bodies is one of the effects. So what  
2 changes do you think, or what impacts do you think  
3 these new water bodies would have on traditional  
4 harvesting or trapping, from what your experience  
5 has been, that individuals perhaps vocalized to  
6 you.

7 MR. FLANDERS: I am happy to provide  
8 an answer to that based on the time that I spent  
9 with harvesters in the north, although outside of  
10 Manitoba, but in Saskatchewan and Northern Ontario  
11 and further north. As I am not -- I am not a  
12 harvester nor a trapper myself, I feel like I'm  
13 kind of speaking outside of my expertise,  
14 although -- and then I do use in occupancy  
15 mapping, I hear a lot of the stories so I can  
16 speak to some of that. I am just putting out that  
17 caveat, that question would probably be best  
18 directed to a harvester.

19 MS. PAWLOWSKA-MAINVILLE: Okay, fair  
20 enough.

21 And I guess the final question I had  
22 was, because new water bodies would be created,  
23 from what your experience has been with working  
24 with First Nations, do you think that they tend to  
25 see that those new water bodies kind of changed

1 the way that their knowledge has been of the  
2 environment in the past? Has it affected their  
3 knowledge?

4 MR. FLANDERS: Are you asking, has the  
5 inundation that's occurred, that I'm showing in  
6 the map, has that inundation changed the way  
7 traditional land users perceive their land base?  
8 Did I get that quite right?

9 MS. PAWLOWSKA-MAINVILLE: Yes, yes.  
10 Because, to elaborate on my question, because  
11 traditional knowledge is based on knowing the  
12 land.

13 MR. FLANDERS: Absolutely.

14 MS. PAWLOWSKA-MAINVILLE: And if there  
15 are areas that are all of a sudden inundated or  
16 new landscapes, like new lakes or new water bodies  
17 are created, that changes the way that knowledge  
18 is understood and is perceived. So do you find  
19 that is an important impact that most First  
20 Nations that you had been working with felt that  
21 it was important?

22 MR. FLANDERS: The first thing that  
23 came to mind before your follow-up clarification  
24 was, there's no question to me that it would  
25 change their perception of their land base.

1 Because the harvesters that I have met, and I'm  
2 talking about hunters, real harvesters that were  
3 either born on the land, they are out on the land  
4 every chance they get, they are bush harvesters,  
5 they survive off of the bush economy. They are  
6 so -- I can't even -- I can't even do it justice,  
7 the connection and understanding that they have to  
8 the land. It's so -- they are so intimately  
9 connected to the land that any change, whether  
10 it's small, or what I would refer to as large  
11 changes -- like the inundation that I am showing  
12 would absolutely affect their perception of the  
13 land. There is just no question in my mind that  
14 it would. And that's my perception based on  
15 spending a lot of time with harvesters. And  
16 that's not my understanding as a harvester myself,  
17 just my perception.

18 MS. PAWLOWSKA-MAINVILLE: Thank you  
19 very much. That's all the questions I have.

20 THE CHAIRMAN: Thank you.  
21 Pimicikamak?

22 MS. KEARNS: Hello. Stephanie Kearns  
23 for Pimicikamak.

24 MR. FLANDERS: Hi.

25 MS. KEARNS: I'm wondering if you can

1 touch on what are some other methods that could be  
2 used to calculate inundation, other than the one  
3 that you used?

4 MR. FLANDERS: To calculate this  
5 historical inundation that's occurred over this  
6 last century like I've done?

7 MS. KEARNS: Right. So maybe a better  
8 question is, are there other methods that could be  
9 used?

10 MR. FLANDERS: Yeah, there are other  
11 methods. They all have their pros and cons. One  
12 method actually that would be applicable in some  
13 cases, I could kind of go on and on about the  
14 exact circumstances when this would work and when  
15 it would make sense to do something else. But as  
16 an example, using remotely sensed imagery, using  
17 satellite imagery itself, or aerial photography  
18 itself, and extracting the features from, for  
19 example, satellite imagery, identifying the water  
20 bodies from satellite imagery in a more kind of  
21 automated way, the remote sensors, the people that  
22 work with satellite imagery are really good at  
23 automating and scripting ways of detecting changes  
24 over large, large, large scales that aren't quite  
25 so manual. Like sort of, I'm sure they are

1 equally as time consuming, but it's a different  
2 process when you're using satellite imagery as  
3 opposed to historical paper maps. So that would  
4 be one other alternative source of data. There's  
5 a number of reasons why it didn't make sense in  
6 our particular case, but that would be one.

7 Another I think I had mentioned is  
8 changing that library of historical maps. That's  
9 kind of, the meat and potatoes of this whole  
10 exercise was that incredible collection of  
11 historical maps. If you could swap that out, as I  
12 just mentioned, swap that out with historical  
13 satellite images, we have this long history of  
14 several decades of satellite imagery that has been  
15 collected all across the planet. We could dig  
16 into those. I think there's limitations to doing  
17 that. We could also use 1:50,000 scale historical  
18 base maps, maps that are different scale, whether  
19 they are NTS maps or not. Another data set I was  
20 made aware of is the Conservation Commission of  
21 Canada, which I hadn't heard of, someone actually  
22 had told me of them, had done all kinds of studies  
23 on the river systems and lakes in Manitoba. That  
24 would be another data set to mine, to pull out, to  
25 sort of do this comparison of before and after

1 change.

2                   There are others. We could use Google  
3 Earth, for example, as a way of getting a more  
4 up-to-date version of current shorelines to  
5 compare with our data set of historical shorelines  
6 or another one. You can sort of pull in and swap  
7 data sets and redo it. There's multiple sources  
8 for -- there's a number of reasons we picked the  
9 one that we had, but there's more than one way to  
10 do it.

11                   MS. KEARNS: Thank you.

12                   So I'm wondering, the method you  
13 chose, in a perfect world would you have wanted to  
14 use other data sets than the ones that you had  
15 available to you to make it a better analysis, or  
16 is the ones that you chose the best option?

17                   MR. FLANDERS: In a perfect world,  
18 i.e. with more time, resources?

19                   MS. KEARNS: Right, that's what I was  
20 thinking. So if this analysis were done sort of  
21 again, and you had more time, more resources,  
22 would you do it the same way or are there ways to  
23 make it better?

24                   MR. FLANDERS: There's always ways to  
25 improve things, always. I think in a perfect

1 world, as you described, where I had all the time  
2 and resources in the world, I would have actually  
3 preferred to use, I really liked sticking with the  
4 NTS -- this NTS map series I think was the right  
5 decision. I would have stuck with that. Ideally  
6 using a different scale would have allowed us to  
7 detect fire scale changes, which ultimately when  
8 you add them all up, they do add up to large  
9 numbers. And we weren't able to find those.

10 I showed some examples where just due  
11 to horizontal accuracy at the scale we're working  
12 at, there were places on the map where I didn't  
13 have a high confidence in the result of the  
14 geo-referencing process, the registration between  
15 the two maps, and it wasn't included in the  
16 analysis. So, ideally, using maps where I didn't  
17 have to do that, I didn't ever have to draw up  
18 certain parts of the study area for that reason,  
19 that would have been ideal. One way to do that  
20 would probably be using a larger scale map set.  
21 Of course, the amount of area that's covered in a  
22 1:50,000 map is like this, and in a 1:250,000  
23 scale map is like this. So it's way more maps  
24 that you'd need to fill up the study area. And  
25 since our aim was this larger study, longer period

1 of time, it's more of a reconnaissance higher  
2 level, the decision, and I think it was the right  
3 one, was to go with these 1:250,000 scale maps.

4 MS. KEARNS: Thank you.

5 MR. FLANDERS: You're welcome.

6 THE CHAIRMAN: Thank you, Ms. Kearns.

7 Manitoba Wildlands? Is anybody  
8 prepared to ask questions from Wildlands? No?  
9 Thank you.

10 So panel members? Mr. Shaw, I think  
11 you had one question at least?

12 MR. SHAW: I just have one question,  
13 and it's following up on a question that Ms. Craft  
14 had touched upon, and that is with respect to the  
15 source of the inundation, you know, shown in the  
16 dark blue portions of those maps, you said, as I  
17 recall, that you were satisfied that those were  
18 due to the dams, but you had reflected on it over  
19 quite a period of time.

20 So my question to you is, are you  
21 saying that you would rule out say extreme  
22 patterns, weather conditions?

23 In other words, let's suppose you had  
24 a ten-year period of unusually wet weather  
25 conditions in that area?

1 MR. FLANDERS: Um-hum.

2 MR. SHAW: Would it not be reasonable  
3 to say, well, that that could very well be  
4 superimposed on the existing flooding and that  
5 that contributed in a significant way to the  
6 shoreline being, you know, moved say half a mile  
7 or something, to take an extreme example, or  
8 alternatively years of drought? I'm just  
9 interested in knowing why you seem to, on the face  
10 of it, exclude weather conditions?

11 MR. FLANDERS: Yeah.

12 MR. SHAW: Especially in a time of  
13 climate change and so on.

14 MR. FLANDERS: Yeah, I'm glad you  
15 asked.

16 Two things come to mind. The first  
17 is, what you are describing, this multi-year, you  
18 have described two different things. At one point  
19 I think you were actually describing climate,  
20 these multiple year trends where things have  
21 changed year after year after year, things are a  
22 little bit different now. It's a little bit  
23 different than weather, as a wet month and a dry  
24 month and that kind of thing.

25 So this analysis would capture any of

1 those trends that have occurred. So, for example,  
2 if a climate scientist was prepared to tell me  
3 that in the last 10 years, to use your number, as  
4 a result of climate change, an impact of a  
5 changing climate has been inundation over the last  
6 10 years, then this analysis would have captured  
7 that inundation, because our map of the current  
8 shorelines would encompass that.

9 The analysis would not be affected by,  
10 you know, a dry spell or a wet spell or, you know,  
11 there are snow years and dry years, it's not that  
12 kind of data set.

13 And I think, actually, I have never  
14 heard, and I spent a lot of time doing climate  
15 change in community planning and adaptation and  
16 mitigation planning with communities specifically  
17 looking at climate impacts and how to plan for  
18 them, outside of Manitoba. And I have never heard  
19 any instance anywhere of this kind of inundation,  
20 sustained inundation, and a climate scientist  
21 stating that it's an impact of a changing climate.

22 The closest I have come, and the one  
23 that we work with a lot, certainly in on the  
24 coast, is the extreme events, particularly in the  
25 spring, that spring thaw, the frechette it's

1 called, there's a lot of work looking into this  
2 kind of variability is this changing spring  
3 frechette, as the warmer, longer, hotter, dryer  
4 summers occur, that that melt comes, and the  
5 dynamics of that melt are changing.

6 MR. SHAW: Well, fair enough. But  
7 let's suppose you had two or three years where  
8 there were such extreme events, and let's say on  
9 the wet side, so to speak. In order to determine  
10 whether or not that actually moved the shoreline,  
11 I take it inherent in that would be that you have  
12 to have very current data. Would that be fair  
13 comment?

14 MR. FLANDERS: You would need very  
15 current data to spot that.

16 MR. SHAW: Year by year?

17 MR. FLANDERS: Yeah, actually, yes.  
18 And so the second point I wanted to make is, I  
19 think one way of getting at those changes would  
20 actually be to, rather than taking the two book  
21 ends like what we have done, we have gone back to,  
22 for example, 1961 and 2006, and we see the change  
23 in between. One way to address that would be to  
24 actually go and look at the '80s, find those maps  
25 for the '80s, find the map of the same area, the

1 NTS map for the '90s, find another one around  
2 2000, et cetera, and see the change there. There  
3 you can actually see that train and uncover some  
4 of those effects are being there.

5 And actually that's a point that I  
6 hadn't even made, is that that would be another  
7 way to really improve the quality and improve the  
8 kind of the conclusions, the quality of the  
9 conclusions and what you can derive from the  
10 analysis by increasing the number of time steps  
11 that you have looked at, rather than just taking  
12 the book ends.

13 MR. SHAW: Right. So in order to do  
14 those slices, if you will, what would be your main  
15 technology? Like Google Earth or what?

16 MR. FLANDERS: We could certainly use  
17 Google Earth. I think my preference kind of in  
18 following the platform I have built up so far  
19 would be to keep the data sets consistent. I like  
20 a consistent apples to apples to apples. The data  
21 set in the '60s should be apples to apples with  
22 that of the '70s, '80s, '90s. I would actually  
23 continue to use the NTS map series, but just find  
24 those maps that were published in the '80s. And  
25 actually the University of Winnipeg is just one

1 example of one source that had a whole series of  
2 maps from the '80s. Go find the NTS maps from the  
3 '90s, find the ones from the '70s, and stick with  
4 the NTS maps, we could stick with the 1:250,000  
5 scale maps, keep all of that consistent, and just  
6 add more time slices and find those changes in  
7 between. Yeah, that would uncover that.

8 MR. SHAW: Very good, thank you.

9 MR. FLANDERS: You're welcome.

10 MR. NEPINAK: Good morning. Can you  
11 go to page 34, and this would be mostly a  
12 clarification, which is map 64B. Is there a  
13 chance you could put it up on the screen?

14 MR. FLANDERS: Yes.

15 MR. NEPINAK: I just want to clarify  
16 that. And that's the Diversion. I had a vision  
17 when we talked about this Diversion of wider lines  
18 on the shorelines.

19 MR. FLANDERS: Say it again?

20 MR. NEPINAK: Wider, the shorelines,  
21 the lines being bigger on the shorelines. And  
22 when I saw this, this morning, it doesn't look  
23 like it's that inundated with, as being flooded.  
24 Can you give us an idea, or zoom into the, say  
25 this portion of the map, and just pick an area

1 there where that's got a thin line and give us an  
2 idea of how many, what's our -- yeah, right where  
3 you've got the cursor there, where that says 900.  
4 From the top of that water, yeah, right across  
5 there, how big an area is that?

6 MR. FLANDERS: Right across there, if  
7 I had my GIS open I could tell you within many  
8 decimal places. But what I'll do is I'm just  
9 going to look back to my scale bar. If I can,  
10 I'll try to bring up one of these wire lines along  
11 with our scale bar, there it is right there, and  
12 estimate. So I could have used a finer scale if  
13 we're talking about, to look at fine details. But  
14 if this is five kilometres, this black bar, that  
15 distance between the top of that, as you refer to  
16 wire lines, to the bottom, it looks like it's  
17 about, it looks like it's less than a kilometre,  
18 maybe 750 metres.

19 MR. NEPINAK: Okay. I just wanted to  
20 get a visual on that. And that's quite a  
21 sizable -- it's not a small area, even though it  
22 doesn't look that, it doesn't look that big on the  
23 map but it's still not a small area.

24 MR. FLANDERS: I agree. I think  
25 there's a fallacy in thinking an area such as that

1 is small only because it's relatively smaller than  
2 the inundation that we are finding in other parts  
3 of the map. So I agree.

4 MR. NEPINAK: Yeah, okay. And so we  
5 get that all over the lake there, and it's just a  
6 point I wanted to make.

7 MR. FLANDERS: Yeah.

8 MR. NEPINAK: Because I expected to  
9 see more blue, you know. That's it.

10 MR. FLANDERS: Okay.

11 MR. NEPINAK: Thank you.

12 THE CHAIRMAN: Mr. Yee, any questions?

13 MR. YEE: Yes. Thank you, Mr. Chair.

14 Mr. Flanders, just a couple of  
15 questions for clarification. In terms of maps for  
16 Northern Manitoba, are they mostly low resolution,  
17 1:250,000?

18 MR. FLANDERS: The CanVec coverage  
19 claims to be nationwide, it claims to cover the  
20 whole width of the continent. So, in that case, I  
21 would expect if we looked, we would find -- I  
22 won't use the word better or poor, I think what's  
23 good or poor depends on does it satisfy the  
24 objective? And that 1:250,000 scale maps  
25 satisfied the objective, so they were good. I

1 think 1:50,000 NTS maps do in fact cover the same  
2 area.

3 I have noticed that, in other work  
4 when looking at actually older maps, there were  
5 areas that we found that did not have coverage.  
6 And it's just a fact of the limited amount of  
7 activity that was happening in some of these more  
8 remote parts of the province, especially in the  
9 far north where there weren't a lot of people,  
10 there tends to be less coverage there.

11 But that being said, I would have  
12 expected to be able to find a consistent 1:50,000  
13 scale set of maps as part of the same NTS database  
14 map library.

15 MR. YEE: Thank you.

16 So, today, would you say that the  
17 CanVec GIS data sets are more complete for  
18 Northern Manitoba in terms of their mapping now?

19 MR. FLANDERS: CanVec, yeah, these  
20 2006 current maps of shorelines, absolutely  
21 complete. Yeah, in fact, the whole country, they  
22 are all there.

23 MR. YEE: Great. Thank you very much.

24 MR. FLANDERS: You are welcome.

25 THE CHAIRMAN: Mr. Nepinak has another

1 question.

2 MR. NEPINAK: Okay. The first two  
3 maps you showed on this, the one of Northern  
4 Manitoba?

5 MR. FLANDERS: Oh, yeah, early on?

6 MR. NEPINAK: Yes.

7 MR. FLANDERS: Would you like me to  
8 bring that map up?

9 MR. NEPINAK: Yes, please.

10 Now, there we -- did you do any  
11 colouring to the river?

12 MR. FLANDERS: No, it's right off  
13 Google Earth.

14 MR. NEPINAK: Okay. So we can see the  
15 river quite plainly there, as opposed to the  
16 Churchill River?

17 MR. FLANDERS: Yeah, the Nelson comes  
18 through very clearly at this scale, the Burntwood,  
19 the Diversion channel, you sort of lose the  
20 Churchill though, yeah.

21 MR. NEPINAK: Why is that?

22 MR. FLANDERS: Answering that question  
23 with certainty, with conviction, would be outside  
24 of my area of expertise.

25 MR. NEPINAK: Okay.

1 MR. FLANDERS: I don't want to  
2 speculate.

3 MR. NEPINAK: Okay.

4 MR. FLANDERS: I'm too much of a  
5 scientist.

6 MR. NEPINAK: All right, thank you.

7 MR. FLANDERS: Okay.

8 THE CHAIRMAN: Mr. Flanders, were you  
9 able to compare what you observed in the flooding  
10 with what was predicted at the time that these  
11 hydro installations were put in?

12 MR. FLANDERS: The historic, all of  
13 these historic developments?

14 THE CHAIRMAN: Yes.

15 MR. FLANDERS: No, I was not.

16 THE CHAIRMAN: Okay. So I'll ask this  
17 question but you may not be able to answer it.  
18 The estimates for what will be flooded by this  
19 project, by the Keyask Generation Station, can we  
20 assume that they are fairly reliable or very  
21 reliable?

22 MR. FLANDERS: I have no way of  
23 verifying that. I am reluctant to make any kind  
24 of assumption at all unless there's analysis to  
25 support it, which I wasn't able to do. Although

1 it certainly could be done, I'd be happy to do  
2 that. I would -- you know, I think the best --  
3 unless an independent analysis was done, I think  
4 that's perhaps up to the board to decide if it was  
5 done in a sufficiently rigorous manner by experts.  
6 And it appears to have been but there's no way to  
7 verify with an independent study if one hasn't  
8 been done.

9 THE CHAIRMAN: This next question, it  
10 may be a bit of a chicken and egg. The historical  
11 NTS maps, were they initially done based on  
12 groundwork or from aerial photography?

13 MR. FLANDERS: A combination of both.

14 THE CHAIRMAN: Okay. What scale were  
15 the photographs?

16 MR. FLANDERS: Good question. I think  
17 what you mean is what resolution, what scale is  
18 attributed after those flights are flown, after  
19 those photographs are taken, after all that and  
20 they extract features like the shorelines out of  
21 them. And in the case of the NTS maps, they were  
22 extracted to two scales, 1:50,000, 1:250,000. But  
23 I think you are asking me about the quality of  
24 those original air photos.

25 THE CHAIRMAN: Yes.

1 MR. FLANDERS: I don't know.

2 THE CHAIRMAN: Okay, thank you.

3 MR. FLANDERS: I haven't seen these  
4 ones. I have seen others. I don't know.

5 THE CHAIRMAN: Doing this work that  
6 you have presented this morning, and Ms. Kearns  
7 earlier asked you about doing it on a 1:50,000  
8 scale and you said it could be more refined, how  
9 much of a time commitment is it? How much of a  
10 time commitment was it doing what you did and how  
11 much would it take to do 1:50,000 which I guess is  
12 many more map pieces or sections.

13 MR. FLANDERS: I'll try to answer this  
14 in layers, sort of going deeper to the punch line.  
15 It wouldn't take a lot more time. I think it  
16 would be ideally done not all at once. It would  
17 be done in pieces. The advantage of using this  
18 scale of map is that we were in a position to do  
19 it all at once. And so I would suggest actually  
20 that the way to do it would be iteratively over  
21 time in manageable pieces that could be reviewed.  
22 It's this kind of iterative build on it, build on  
23 it, build on it.

24 How much more time would it take to do  
25 a study using those 1:50,000 scale maps as opposed

1 to 250,000 scales? Since many of those 1:50,000  
2 scale maps fit into 1:250,000 scale maps --

3 THE CHAIRMAN: Yes.

4 MR. FLANDERS: -- I would probably  
5 suggest to you, and since it's that manual process  
6 of geo-referencing them one by one, thankfully we  
7 only had to do 11, you would end up with dozens,  
8 over hundreds.

9 THE CHAIRMAN: Hundreds.

10 MR. FLANDERS: It would take several  
11 times more. Off the top of my head, it would take  
12 three, four, five times longer to do the same  
13 amount of work all at once.

14 As I think about this more, there's  
15 probably things that would become quite a bit  
16 quicker compared to what we were running into  
17 here, and there's things that would take longer.  
18 The things that would take longer is just the  
19 sheer volume of maps would take longer. I think  
20 the things that would actually become quicker is  
21 you're georeferencing these things, pinning these  
22 things on Manitoba where they belong. On these  
23 smaller maps. It's a lot less area. You could  
24 probably use fewer control points and get better  
25 accuracy so you could achieve better results with

1 less of that manual intensive labour of going into  
2 georeferencing them all.

3           So I know that was a long-winded  
4 answer. It would take several times longer. It  
5 would certainly be out of the scope of what we  
6 could have done for this. But that being said,  
7 those kind of projects are done. Those kinds of  
8 historical mapping projects, those kinds of change  
9 detection projects at that scale are done,  
10 absolutely. In fact, some of the body of the  
11 peer-reviewed literature that I was referring to  
12 earlier, does work at that scale. And it would be  
13 just a matter of setting up the work plan in an  
14 iterative step wise fashion to do the whole study  
15 area, it would take several times longer.

16           THE CHAIRMAN: Is there enough  
17 historical information available that you could  
18 sort of attribute different flooding to this  
19 project or that project, given that they span at  
20 least 50 years but go to Kelsey in the early '60s,  
21 50 plus years. Is there enough historical  
22 information available that you could attribute the  
23 different levels of flooding or inundation?

24           MR. FLANDERS: Somewhat, I think so.  
25 This gets to that issue about time steps. And to

1 kind of generalize across all of the information  
2 that's in table 1 about construction start dates  
3 and end dates, there's kind of these phases of  
4 development. There was this pocket in the sort of  
5 early '60s when a whole bunch of things happened,  
6 kind of within the same decade.

7 I'm guessing that you could find maps  
8 that kind of book-end the before and after of that  
9 little pocket that happened in the early '60s and  
10 any development that happened, for example, in  
11 the '70s, maybe decade by decade, grab that little  
12 pocket, get the before and after maps. Do the  
13 same thing in the '80s, get the before and after  
14 maps. So that might not actually translate to  
15 detecting change by a project by project by  
16 project basis. But certainly on a decade by  
17 decade basis, there might be a handful of projects  
18 that kind of get grouped into one

19 The other thing I'll note is that you  
20 can, in this analysis, the way these maps are, and  
21 it is an assumption, it's not as good as doing  
22 that kind of analysis step-wise that I described,  
23 but you could simply grab just the inundation  
24 that's directly upstream from a dam and just see  
25 what the total inundation is there as a proxy.

1 This inundation, presumably, would be from that  
2 dam right downstream. Go over to this next dam,  
3 just collect the inundation that's immediately  
4 upstream from that one. In fact, in another  
5 study, that's actually how we reported it. You  
6 could even get those kinds of answers just from  
7 the study we have done. I just didn't report  
8 anything quite that way. I reported it map sheet  
9 by map sheet and not development by development.

10 THE CHAIRMAN: Thank you,  
11 Mr. Flanders. Any other questions?

12 Ms. Land, any redirect?

13 MS. LAND: Thank you, Mr. Chair.

14 Just three quick questions on  
15 redirect. So I'm going to pick up first with one  
16 of the questions that was asked to you just  
17 recently by the Chair. So the Chair was asking if  
18 you would be able to verify that projections for  
19 the proponent is projecting for the flooding in  
20 the Keeyask area. My question for you is what  
21 would you need from Manitoba Hydro in order to  
22 verify what the proponent is suggesting will  
23 happen?

24 MR. FLANDERS: I think to do an  
25 independent assessment of that, you would need a

1 couple of things. First of all, I would certainly  
2 want to pair up with an engineer, a hydrologist or  
3 hydrological engineer, together with someone with  
4 my skill set. So that would be the first thing,  
5 is construct that micro team.

6           The second thing would be, I think the  
7 other things are just kind of nuts and bolts, you  
8 would need that higher -- you would need the same  
9 topography data set, that nice high resolution  
10 topography that the proponent used for their  
11 analysis. You don't want to use the exact same  
12 one for the independent study, so you'd need  
13 access to that.

14           And you would also then need an  
15 indication of the hydrology, the dynamics of water  
16 levels, what these water levels are to forecast  
17 and the potential inundation from them. And I can  
18 only presume this would be part of why you would  
19 certainly want to be working with a hydrological  
20 engineer. You would want a good understanding of  
21 how flows and flow rates and the variability in  
22 flow rates would potentially change those lake  
23 levels in that whole dynamic and the resulting  
24 inundations.

25           So someone that can put together those

1 people, part of the micro team, and just those  
2 specific pieces of data to do the analysis.

3 MS. LAND: And for the analysis, did  
4 you have access to the high resolution topography  
5 data that the proponent had for their projections?

6 MR. FLANDERS: No. If I recall, I  
7 believe the term was it was proprietary I believe.  
8 So I couldn't access it.

9 MS. LAND: Okay. And Mr. Bedford  
10 asked you as well about, well he didn't ask you,  
11 he told you about the two occasions where  
12 information was shared, and he referred to  
13 information that was sent by courier to you via  
14 Whalen Enns & Associates on October 1st. Were you  
15 aware of the paper maps that were sent by courier?

16 MR. FLANDERS: No, I was -- I was a  
17 little bit confused by that. And we may just be  
18 mixing our terminology. It sounded like a data  
19 set was distributed or had arrived.

20 MS. LAND: And I think maybe  
21 Mr. Bedford might want to clarify that that was  
22 not a data set, but that was a paper map that was  
23 sent.

24 MR. FLANDERS: Well, a paper map.

25 MR. BEDFORD: Well, I'm never ever so

1 pleased to have a second opportunity.

2           What was sent was a CD, so digital  
3 data, and paper maps. It wasn't sent by my client  
4 to you by courier, so let's be really clear. It  
5 was sent pursuant to your request to Ms. Whelan  
6 Enns by courier on October 1, 2013, but clearly  
7 for you to use because you had requested it.

8           Now I did realize immediately, no  
9 fault of yours, that you were quite puzzled  
10 because you didn't receive this information. And  
11 you weren't here earlier this week, so you clearly  
12 had no understanding of my parting comment that no  
13 doubt what has happened here is that Ms. Whelan  
14 Enns diarized to send this material on to you and  
15 diarized it to November 25.

16           MS. LAND: Mr. Chair, this is  
17 inappropriate.

18           MR. BEDFORD: I won't bother  
19 explaining that to you because everyone else  
20 here --

21           MS. LAND: This is an inappropriate  
22 line of questioning by Mr. Bedford. And I do want  
23 to ask the proponent, I have seen the trail of  
24 e-mails and I'm aware of the exchange of  
25 information. This is my witness. But I am not

1 aware of data sets that were sent to my witness  
2 that were anything other than publicly available  
3 maps and data that are already available. So this  
4 is why I'm as perplexed as my witness is.

5           So perhaps if the proponent would be  
6 willing to make an undertaking to provide another  
7 copy of that so we can verify this information.  
8 If they could provide a copy of what exactly was  
9 sent on October 1st. There seems to be a  
10 miscommunication, and perhaps it's on our end, but  
11 I'm a little concerned about the fact that there  
12 is a misapprehension that is being left that has  
13 nothing to do with my witness's ability to review  
14 the information. And maybe based on some missed  
15 information of what was sent and not sent to my  
16 witness.

17           THE CHAIRMAN: Ms. Land, I would agree  
18 with your comment that Mr. Bedford was out of  
19 order with his little shots at one of the  
20 participants.

21           However, from what I heard, this  
22 information was not sent to your witness, it was  
23 sent to Manitoba Wildlands and presumably Manitoba  
24 Wildlands did not forward that information.

25           Ms. Whalen Enns is now in the room and

1 I would ask if she can respond to that now or if  
2 she wants to discuss it with her staff and respond  
3 after lunch.

4 MR. FLANDERS: Can I also -- oh,  
5 sorry.

6 THE CHAIRMAN: Perhaps we can deal  
7 with it right now. Ms. Whelan Enns, come up to  
8 the front.

9 MR. FLANDERS: While Gail's coming, I  
10 can maybe offer an alternative explanation as  
11 well?

12 THE CHAIRMAN: Certainly.

13 MS. WHALEN ENNS: Mr. --

14 THE CHAIRMAN: Just hold on Ms. Whalen  
15 Enns.

16 MS. WHALEN ENNS: I just wanted to  
17 make sure my full name is in the record rather  
18 than first names.

19 THE CHAIRMAN: Don't worry about that.

20 Mr. Flanders.

21 MR. FLANDERS: This gets just to what  
22 I was referring. This is maybe a problem with  
23 terminology. We didn't need data, if that was  
24 what was sent. We had the data. What we needed  
25 was clarification on what was in it, what were

1 these structures? Which ones are dams? Which  
2 ones are cofferdams? Which ones are control  
3 structures? Which ones are generating stations?  
4 It was just this sort of clarification of what's  
5 in there and we can kind of get so far. You can  
6 do your digging around and figure out what's what.  
7 But there were these moments where we wanted  
8 verification from Manitoba Hydro since they were  
9 Manitoba Hydro structures. That's specifically is  
10 what we were asking for help with with.

11 THE CHAIRMAN: Thank you.

12 Mr. Bedford, are you aware of the nature of the  
13 information that was sent to Whelan Enns and  
14 Associates or? Did the information address the  
15 concerns that Mr. Flanders has just noted?

16 MR. BEDFORD: Ms. Cole handled this so  
17 she can respond to you.

18 THE CHAIRMAN: Please.

19 MR. BEDFORD: And if people would like  
20 the information or the courier slip, I gather we  
21 can provide both.

22 MS. COLE: As Mr. Flanders has noted,  
23 we were specifically asked to identify our  
24 infrastructure in the CanVec database. We  
25 produced both maps and a pdf file so it can be

1 e-mailed to Mr. Flanders at the request of  
2 Ms. Whalen Enns. Both were couriered to  
3 Ms. Whelan Enns on October 1st at the request of  
4 Ms. Whelan Enns and through e-mails with her.

5 THE CHAIRMAN: Ms. Whelan Enns, can  
6 you comment on that, please?

7 MS. WHALEN ENNS: Yes, Mr. Speaker,  
8 and thank you. We probably need to make sure in  
9 terms of the record that Manitoba Wildlands is a  
10 participant in these proceedings, that we have a  
11 discussion that has to do with Whalen Enns &  
12 Associates --

13 THE CHAIRMAN: You're getting funny  
14 here.

15 MS. WHALEN ENNS: Well, I wasn't --

16 THE CHAIRMAN: That's totally  
17 irrelevant.

18 Okay. Mr. Bedford or Ms. Cole, was  
19 this information forwarded to Whalen Enns &  
20 Associates or Manitoba Wildlands or Ms. Whelan  
21 Enns specifically?

22 MS. COLE: We'll have to check the  
23 courier slip. In all fairness to us as the  
24 proponent, does it really matter? It's the exact  
25 same address and the exact same individuals who

1 are receiving the information.

2 THE CHAIRMAN: Well, I think it might.  
3 My understanding is that, and I could be totally  
4 wrong in this, but the impression I have had over  
5 the last number of months is that Ms. Whelan Enns,  
6 Gail Whelan Enns, is participating under the title  
7 or under the rubric of Manitoba Wildlands but that  
8 other staff who are co-located in the same office  
9 are operating under Whelan Enns Associates and  
10 they are working with Peguis on this. And I  
11 believe it's different people in the office who  
12 are doing that. Am I correct?

13 MS. WHELAN ENNS: Yes. Excuse me, I'm  
14 clearing my throat. In terms of working with  
15 maps, databases, GIS data and so on, there's  
16 specific individuals in the same office who deal  
17 with these matters. And of course there's a  
18 different individual than myself who is the  
19 coordinator for --

20 THE CHAIRMAN: And who would that be?

21 MS. WHELAN ENNS: The coordinator for  
22 Peguis First Nation.

23 THE CHAIRMAN: Yes.

24 MS. WHELAN ENNS: Whose witness  
25 Mr. Flanders is.

1 THE CHAIRMAN: Yes.

2 MS. WHELAN ENNS: Is Jared Whalen.

3 THE CHAIRMAN: He's just fled the  
4 room.

5 MS. WHELAN ENNS: I was late arriving  
6 myself. So, Mr. Chair, I only have pieces of what  
7 has been said which is why my initial comment.

8 THE CHAIRMAN: Okay. And I apologize  
9 for misunderstanding, but I thought you were going  
10 somewhere else.

11 MS. WHELAN ENNS: I'm trying not to.

12 THE CHAIRMAN: But so this was  
13 Mr. Whalen who is the --

14 MS. WHELAN ENNS: Yes. You'll find  
15 that's the way the CEC records for participants.

16 THE CHAIRMAN: I'm aware of that. And  
17 just as we were talking, he doesn't seem to be  
18 very observant. He wasn't paying attention. He  
19 got up and left the room just as you were about to  
20 bring up his name.

21 MS. WHELAN ENNS: The last thing he  
22 said to me was that he was dealing with an ill  
23 child in texts. So that may be why he's out of  
24 the room right now. If I may --

25 THE CHAIRMAN: You may.

1 MS. WHELAN ENNS: Because I heard some  
2 of this and staff --

3 THE CHAIRMAN: Mr. Whalen, would you  
4 care to come up at this time, please. I don't  
5 need to go into a lot of detail but what I want to  
6 know is if somebody in your office received the  
7 information that the proponent is speaking about?  
8 The proponent has said that information about  
9 CanVec vector data was sent to Whelan Enns  
10 Associates.

11 MR. WHALEN: Yes, aWe received a paper  
12 map. I visually inspected it with our GIS  
13 technician, Mr. Downing. I do not remember there  
14 being a USB key drive with a pdf of the map. I  
15 think the sticking point here is what Mr. Flanders  
16 referred to. We sent a spreadsheet of the data in  
17 the CanVec database to Manitoba Hydro, and I  
18 believe it was to Ms. Cole, and asked them to fill  
19 in the blanks and to name things appropriately.  
20 Canada, Natural Resources Canada doesn't  
21 necessarily label everything properly. It's a  
22 huge data set. So we asked Manitoba Hydro to  
23 label things appropriately. So this was dykes,  
24 dams, levies, causeways, everything, generating  
25 stations, everything. They declined to do that.

1                   What they did do is they produced a  
2 map. The map was the same information that's  
3 publicly available on the corporate website. It  
4 was not the level of detail that we asked them  
5 for.

6                   THE CHAIRMAN: But nonetheless, what  
7 the proponent provided was not forwarded to  
8 Mr. Flanders?

9                   MR. WHALEN: We didn't forward him the  
10 paper map and I don't remember a digital file. So  
11 the digital file may have been misplaced. And for  
12 that, and the confusion, I apologize.

13                  THE CHAIRMAN: Ms. Cole, do you have a  
14 response?

15                  MS. COLE: I do. With all due  
16 respect, the actual request came directly from  
17 Ms. Whalen Enns and not from Jared. I have the  
18 e-mail chain actually in front of me here. And I  
19 did reply to Ms. Whalen Enns and noted that we  
20 printed the map provided and labelled the  
21 infrastructure. All of the infrastructure  
22 requested to be labelled was labelled. And in  
23 addition to providing paper copy, a pdf of the map  
24 was also provided so that it could be e-mailed or  
25 placed on a website to BC.

1 THE CHAIRMAN: Okay. In all honesty,  
2 I'm not sure we need to pursue this all that much  
3 farther. I think that Mr. Flanders made a  
4 statement in his paper that was based on  
5 information that he wasn't aware of, so he may  
6 have felt a little embarrassed when he was  
7 challenged by counsel for the proponent.

8 However, you needn't be embarrassed  
9 because you weren't provided that information.  
10 You haven't made any mistakes. Obviously  
11 somewhere in the office of Whelan Enns &  
12 Associates and/or Manitoba Wildlands, some  
13 information went missing and was not provided. In  
14 all honesty, I'm not sure that it's all that  
15 relevant at this point. So thank you both and  
16 we'll move on.

17 MS. WHELAN ENNS: Thank you,  
18 Mr. Chair. We will check. We will have to do it  
19 after the fact, thank you.

20 THE CHAIRMAN: Ms. Land?

21 MS. LAND: I have no further questions  
22 on redirect.

23 THE CHAIRMAN: Thank you very much.  
24 Oh my goodness, we are ahead of schedule by about  
25 seven minutes. We will take a break in a moment

1 for lunch. After lunch, I believe that professors  
2 from yesterday afternoon's presentation, Al Gorman  
3 and Buckland will be returning to conclude the  
4 cross-examination. And following that, we will  
5 call the Moving Forward panel. So come back at  
6 1:30, please.

7 (Proceedings recessed at 12:23 p.m.  
8 and reconvened at 1:30 p.m.)

9 THE CHAIRMAN: Okay, we will  
10 reconvene. And we are in still in the midst of  
11 cross-examination of Drs. Buckland and O'Gorman,  
12 and it was one of the partnership counsel who was  
13 about to go when we broke yesterday.

14 Mr. Regehr?

15 MR. REGEHR: Thank you, Mr. Chair.  
16 Thank you Drs. Buckland and O'Gorman. You  
17 switched seats, so this must be some attempt to  
18 confuse me. I have got some questions here. I  
19 was directed by my client to try and keep it short  
20 because they want to get on with their panel so  
21 they can get moving. Thanks for coming out in  
22 this rather nasty Manitoba day with all of the  
23 snow.

24 I'm going to take you first to, we are  
25 going to deal with some questions relating to this

1 report, which is pronounced Kipekiskwaywinan. I  
2 will refer to it as Our Voices and I will be quite  
3 happy if you refer to it as Our Voices.

4 Yesterday you stated that you had read  
5 York Factory's --

6 MS. CRAFT: Mr. Chair, if we are going  
7 to be referring to this, may I please provide a  
8 copy to our witness?

9 THE CHAIRMAN: Sorry?

10 MS. CRAFT: May I please provide a  
11 copy to our witnesses if we are going to be  
12 referring to this document?

13 THE CHAIRMAN: Of course.

14 MR. REGEHR: You have a copy of the  
15 report in front of you?

16 DR. O'GORMAN: Yes.

17 MR. REGEHR: Now, you have read this  
18 report in its entirety?

19 DR. BUCKLAND: Yes.

20 DR. O'GORMAN: I can't say I read  
21 every page, but I read a big chunk of it, yes.

22 MR. REGEHR: You have it listed on  
23 page 45 of your bibliography, is that correct?

24 DR. BUCKLAND: That's correct.

25 MR. REGEHR: Thank you.

1                   On page 35 of your report you include  
2 a quote from the information requests, CEC round  
3 one, CEC 0035, in particular that would be page 5  
4 of that IR. And that quote is taken in the IR as,  
5 is actually taken from Our Voices report, is that  
6 correct, to the best of your knowledge?

7                   DR. O'GORMAN: We drew it from the IR,  
8 but it could be in turn taken from Our Voices.

9                   MR. REGEHR: And you are aware that  
10 that IR was in relation to a question about how  
11 cumulative effects were assessed within the KCN  
12 environmental evaluation reports; is that correct?

13                  DR. O'GORMAN: Yes.

14                  MR. REGEHR: So, as we discussed, this  
15 quote is actually from page 72 of the Our Voices  
16 report. Do you want to check that?

17                  DR. BUCKLAND: Yes, that's correct.

18                  MR. REGEHR: So, as you've testified,  
19 you had read and you certainly obviously then had  
20 access to the Our Voices report. Why did you not  
21 just reference the Our Voices report directly  
22 rather than through an information request?  
23 Because the quote there that you use, where you  
24 quote from the IR rather than Our Voices, I don't  
25 believe that deals with cumulative effects. When

1 I was in university, I was always told to go right  
2 to the original source rather than quoting it  
3 through a secondary source. Can you explain why  
4 you did that rather than going directly to the Our  
5 Voices report?

6 DR. O'GORMAN: There wasn't a  
7 strategic decision. You are right, it is always  
8 best to go to the source.

9 MR. REGEHR: And are you aware that  
10 the quote that you've relied upon comes from the  
11 chapter in the Our Voices report which is called  
12 "Change and Damage to the Water, Land and People"?

13 DR. O'GORMAN: Yes.

14 MR. REGEHR: And you would then be  
15 aware that the purpose of the chapter in Our  
16 Voices, that particular chapter, outlines the  
17 perspective, values and knowledge of York Factory,  
18 and their insistence that these perspective,  
19 values and knowledge be respected and given equal  
20 weight?

21 DR. O'GORMAN: Yes.

22 MR. REGEHR: And since you've -- on  
23 page 40 of your report you then include a quote  
24 from Eric Saunders, which is directly from the Our  
25 Voices report, which actually that quote is from

1 page 3 of the Our Voices report. And you hold  
2 this up as an example of KCN members' concerns in  
3 the public involvement process.

4 DR. BUCKLAND: If we could have a  
5 moment to read that?

6 MR. REGEHR: Absolutely.

7 DR. O'GORMAN: Could I clarify your  
8 question. You are asserting that this is not  
9 about the public involvement program, but rather  
10 this comment came through the public involvement  
11 program?

12 MR. REGEHR: No. My question is that  
13 you are holding this up as an example of the  
14 concern of KCN members which were raised through  
15 the public involvement process?

16 DR. O'GORMAN: Through the public  
17 involvement process, yes.

18 MR. REGEHR: Now, you do understand  
19 that the Our Voices report was a document that was  
20 prepared by York Factory as part of its  
21 environmental evaluation, and that the public  
22 involvement process is a completely separate part  
23 of the EIS?

24 DR. O'GORMAN: Yes.

25 MR. REGEHR: You are also then aware

1 that the Our Voices report represents the York  
2 Factory worldview, their background, feelings, and  
3 reasons for deciding to be a partner in the  
4 Keeyask project?

5 DR. O'GORMAN: Yes.

6 MR. REGEHR: So since you have read  
7 the Our Voices report, you will therefore also  
8 have read the June 13th, 2012 preface to the Our  
9 Voices report. And I have handed that out so you  
10 didn't have to, everyone didn't have to have a  
11 copy of the Our Voices report. And it is the  
12 first, very first part of the Our Voices report.  
13 Do you have that in front of you?

14 DR. BUCKLAND: Yes.

15 MR. REGEHR: Could you read the third  
16 paragraph on the first page for me, and I will  
17 completely understand if you can't pronounce some  
18 of the Cree words in that paragraph.

19 DR. BUCKLAND: Okay. I can do that.

20 "In preparing (a long word) it has  
21 been important to us that the voices  
22 of our members come through -- as  
23 honest, varied and conflicting as they  
24 are. Many voices express anger, hurt,  
25 sadness uncertainty, and distrust with

1 Manitoba Hydro and hydroelectric  
2 development and demonstrate the  
3 difficulties we faced in deciding to  
4 become a partner in the Keeyask  
5 project. The introductory chapter  
6 attempts to represent the full range  
7 of opinions and feelings of our  
8 members. The reader must understand  
9 that (a long word) has been the first  
10 time our members have been able to  
11 acknowledge our thoughts, feelings and  
12 perspectives of hydroelectric  
13 development in writing. This has been  
14 an important process of healing and  
15 reconciliation for our members that we  
16 call (another long word). For this  
17 reason it is imperative to read our  
18 entire document to understand our  
19 history and experiences that lead us  
20 to support and become a partner in the  
21 Keeyask project."

22 MR. REGEHR: So you understand then  
23 that the quote that you cite in your conclusion to  
24 your paper, the quote of Eric Saunders, is part of  
25 an introductory chapter which sets out the full

1 range of feelings and opinions of the members of  
2 York Factory?

3 DR. O'GORMAN: Yes.

4 MR. REGEHR: Is that correct, you  
5 understand that?

6 DR. BUCKLAND: Yes, we understand,  
7 yes, that the document includes a variety of  
8 opinions expressed.

9 MR. REGEHR: You also understand then,  
10 that from this preface, that the Our Voices report  
11 is to be taken as a whole and read as a whole?

12 DR. O'GORMAN: As any document would  
13 be, yes.

14 MR. REGEHR: And that's stated  
15 explicitly in the preface, the paragraph that was  
16 just read.

17 DR. O'GORMAN: Yes.

18 DR. BUCKLAND: What we have done,  
19 Mr. Chairperson, in our report is to try to  
20 represent, and I think we were saying this  
21 yesterday, the enormity of the decision that you  
22 are facing regarding the Keeyask dam. And that  
23 was why we were drawing on various quotes from  
24 people who are articulating concerns.

25 MR. REGEHR: Is the holistic approach

1 of a First Nation conducting its own evaluation --  
2 I'm going to sound like Martha Stewart -- but a  
3 good thing?

4 DR. BUCKLAND: I am sorry, I couldn't  
5 hear the final part of the question.

6 MR. REGEHR: Is the First Nation  
7 approaching, or conducting its own evaluation in a  
8 holistic approach, is that a good thing?

9 DR. BUCKLAND: Absolutely.

10 MR. REGEHR: So you also understand  
11 that the Our Voices report reflects a great deal  
12 of Aboriginal traditional knowledge from York  
13 Factory?

14 DR. BUCKLAND: Definitely.

15 DR. O'GORMAN: Yes.

16 MR. REGEHR: And do you see value in  
17 gathering and presenting Aboriginal traditional  
18 knowledge and the First Nation perspectives as  
19 part of an environmental assessment?

20 DR. BUCKLAND: It is very valuable,  
21 and both the pros and cons that are represented in  
22 the document, I think, particularly from a  
23 community development framework it is important to  
24 amplify those voices. And that's what we are  
25 seeking to do. And so in parts of the report it

1 becomes very clear that members of the community  
2 felt that the project was inevitable and,  
3 therefore, the decision was very difficult. And I  
4 think that's what we were trying to represent in  
5 our report.

6 MR. REGEHR: I'm going to suggest to  
7 you that, given the approach York Factory took in  
8 writing the Our Voices report, that by taking one  
9 quote out and stating that it is representative of  
10 the concerns of members from all four Keeyask Cree  
11 Nations is inaccurate?

12 DR. BUCKLAND: What we tried to do was  
13 to identify voices of concern, and to do that we  
14 described those points and then we used quotations  
15 to better represent them, to more clearly state  
16 them.

17 MR. REGEHR: If you were informed that  
18 York Factory wanted Our Voices to be an open and  
19 honest account and they didn't want to gloss over  
20 anything, even in the event there were conflicting  
21 statements, that would be a positive thing,  
22 wouldn't it?

23 DR. BUCKLAND: I think the document as  
24 a whole is a very positive document, it is a very  
25 important contribution. And it is a part of the

1 entire process of the Keeyask project, and I think  
2 it represents these divergent views that are  
3 important to look at very carefully.

4 MR. REGEHR: And as well, the ability  
5 of Aboriginal traditional knowledge holders to be  
6 able to say what they wanted and how they wanted,  
7 that would be a positive thing as well?

8 DR. BUCKLAND: Definitely.

9 DR. O'GORMAN: Of course.

10 MR. REGEHR: Yesterday, Dr. O'Gorman,  
11 you testified that you were aware of new Federal  
12 legislation regarding the requirement of First  
13 Nations to produce annual audits?

14 DR. O'GORMAN: Yes.

15 MR. REGEHR: Yesterday you indicated  
16 that you had read the York Factory First Nation  
17 adverse effects agreements?

18 DR. O'GORMAN: Yes.

19 MR. REGEHR: And it is referenced at  
20 page 45 of your bibliography as well?

21 DR. O'GORMAN: Yes.

22 MR. REGEHR: And if you would have  
23 read the adverse effects agreement, you would have  
24 read schedule 3 to the adverse effects agreement?

25 DR. O'GORMAN: I can't remember

1 reading that particular part of the adverse  
2 effects agreement.

3 MR. REGEHR: If you would have read  
4 schedule 3, you would have been aware that York  
5 Factory is required to provide annual reporting to  
6 its members on the offsetting programs, consult  
7 its members on future offsetting programs, as well  
8 as provide an annual audit on the adverse effects  
9 funds?

10 DR. O'GORMAN: And that's for York  
11 Factory, right? That's for one KCN, not all four  
12 of them.

13 MR. REGEHR: Yes. But you would have  
14 been aware that York Factory would have been under  
15 that requirement?

16 DR. O'GORMAN: So, as I just  
17 mentioned, I'm not sure I actually read that  
18 appendix, but our comment in the paper was more  
19 general, that for all four KCNs that requirement  
20 of reporting and annual auditing is not present.

21 MR. REGEHR: So the statement you made  
22 at page 38, the bottom of page 38 of your report,  
23 about the lack of audit requirements was a general  
24 statement, and did you -- I don't know, did you  
25 ignore, did you fail to note that York Factory in

1 particular has an audit requirement for its  
2 offsetting programs and adverse effects agreement?

3 DR. O'GORMAN: I failed to note that  
4 in the case of York Factory, yes.

5 MR. REGEHR: I just have a few more  
6 questions. You expressed concerns about the  
7 capacity of the Keeyask Cree Nations in dealing  
8 with Manitoba Hydro. Is that correct?

9 DR. BUCKLAND: The concerns that we  
10 identified, one of the main concerns was the  
11 asymmetry of power and wealth, frankly, between  
12 the Partnership -- I am sorry, the Keeyask Cree  
13 Nations on the one side and Manitoba Hydro on the  
14 other, and the question of -- a common situation  
15 in a development setting is where a relatively  
16 powerful partner can have disproportionate control  
17 over an endeavor, a project.

18 MR. REGEHR: So, you do have concern  
19 about the capacity of the Keeyask Cree Nations to  
20 negotiate with Manitoba Hydro, to be able to deal  
21 with Manitoba Hydro?

22 DR. BUCKLAND: I have concern where  
23 there is an asymmetry of power and there is not a  
24 clear deliberate way by which to balance that  
25 power.

1 MR. REGEHR: So do you have specific  
2 concerns with regard to the Keeyask Cree Nations?

3 DR. BUCKLAND: The specific concerns  
4 would be that Manitoba Hydro is a very large  
5 public utility, and the Keeyask Cree Nations are  
6 smaller communities, and so there is an asymmetry  
7 there. And what can happen is either explicitly  
8 or implicitly, in this kind of situation, can  
9 happen and has happened in developing context, is  
10 that the larger actor is able to control outcomes.

11 MR. REGEHR: And so you are aware of  
12 the 1977 Northern Flood Agreement and that York  
13 Factory is a party to that agreement through the  
14 Northern Flood Committee?

15 DR. BUCKLAND: Yes.

16 MR. REGEHR: And you would have also  
17 been aware of the 1995 Northern Flood  
18 Implementation Agreement in which York Factory is  
19 a partner with Manitoba Hydro, the Province and  
20 the Federal Government?

21 DR. O'GORMAN: Yes.

22 MR. REGEHR: And you also are aware  
23 that negotiations on Keeyask commenced in 2001?

24 DR. O'GORMAN: Yes.

25 MR. REGEHR: And that York Factory was

1 a participant in the development of the  
2 environmental assessment process for ten plus  
3 years?

4 DR. O'GORMAN: Yes.

5 MR. REGEHR: And so if you are aware  
6 of this, then you are aware of the expertise built  
7 up within the leadership and the staff at York  
8 Factory in dealing with Manitoba Hydro and Crown  
9 parties?

10 DR. BUCKLAND: There is no doubt that  
11 through these experiences capacities have been  
12 built up. The fact remains, though, that there is  
13 a major asymmetry between Manitoba Hydro on the  
14 one hand and the Keeyask Cree Nations on the other  
15 hand, in terms of power, the number of resources  
16 that are available to them, the number of experts  
17 available to them.

18 MR. REGEHR: On page 36 of your  
19 report, the second paragraph, again dealing with  
20 the issue of capacity building, you seem to  
21 suggest that the leadership of the KCN will act in  
22 a way leading to, and I quote:

23 "...a skewed manner in which few  
24 people will benefit."

25 Are you suggesting that the leadership

1 would act in their own interests and not the  
2 interests of the overall nation?

3 DR. BUCKLAND: Well, from a community  
4 economic development perspective, a healthy  
5 community where both residents and leaders have  
6 strong and growing capacity, that's the strongest  
7 community, because then leaders are held to  
8 account and residents can hold them to account.  
9 So it is really the sense of more of a  
10 synergistic. So it is going back to that  
11 community economic development model and saying  
12 that that would suggest the capacity of everyone  
13 being raised as the healthiest kind of -- sorry,  
14 would lead to the healthiest outcome.

15 MR. REGEHR: Yesterday you confirmed  
16 you hadn't done any field work in developing this  
17 report. That's correct, is it?

18 DR. BUCKLAND: That's correct.

19 MR. REGEHR: So you didn't have any  
20 discussions in this manner with the leadership of  
21 York Factory or any of the other KCN?

22 DR. O'GORMAN: No. So along this line  
23 of questioning, as well as the questioning on this  
24 issue yesterday, we keep making the same point.  
25 And that's that we are looking at this from a

1 perspective of a community development lens. And  
2 when we looked at the JKDA and all of the  
3 documents produced by the Partnership, we didn't  
4 see any sort of training, if, for example, all of  
5 the individuals from York Factory that were  
6 involved in past negotiations with Hydro received  
7 training, right? So we are saying in general for  
8 a project of this size, that type of training  
9 should be inbuilt, not only for individuals in  
10 terms of post secondary education, but also for  
11 leadership. We are not making any statements that  
12 we are aware of idiosyncratic aspects of  
13 leadership for any of these KCNs.

14 MR. REGEHR: I just have a couple more  
15 questions for you.

16 On page 36 of your report, at the top,  
17 again dealing with capacity building, you make a  
18 statement which starts:

19 "First, much of the education needed  
20 to engage in this level of  
21 organization would be at a post  
22 secondary level, yet post secondary  
23 education is not locally available and  
24 so would involve heavy costs in the  
25 community, and if community members

1 leave the region for post secondary  
2 education, there is a risk that they  
3 may not return to the community.  
4 Moreover, most post secondary  
5 education does not effectively include  
6 the indigenous worldview within its  
7 programs of study. If an essential  
8 goal of the Keeyask project is to  
9 uphold indigenous worldviews, then  
10 post secondary education could work  
11 against this goal."

12 Wouldn't you agree this statement is  
13 somewhat contradictory?

14 DR. BUCKLAND: There are very few  
15 programs currently, I think, in the post secondary  
16 level that do encompass the indigenous worldview.  
17 And so the program I was working in last year, the  
18 Masters in Development Practice Program at the  
19 University of Winnipeg is endeavoring to do that.  
20 That would be an example. There aren't very many  
21 that are explicitly working at that. So, yeah, I  
22 agree it is a nuanced point, if I could put it  
23 that way, that this type of program is rare, there  
24 are some out there, but they are not readily  
25 available.

1 MR. REGEHR: So is it your view that  
2 the York Factory leadership or members should not  
3 seek out education and training programs for fear  
4 that they will forget hundreds of years of  
5 Aboriginal traditional knowledge?

6 DR. BUCKLAND: No, no, that's not our  
7 point. We are simply, I guess we are identifying  
8 post secondary education as an important resource.  
9 And there are those programs that do encompass an  
10 indigenous worldview that I think would be more  
11 helpful than a program that does not encompass an  
12 indigenous worldview.

13 MR. REGEHR: So do you believe that  
14 Aboriginal people are incapable of gleaning from  
15 post secondary education and training what is  
16 useful to them and what is not?

17 DR. BUCKLAND: No, I don't believe  
18 that. I believe that indigenous people, like all  
19 people, have the right to choose the form of  
20 education that they want. And that's their  
21 choice, individually, collectively. And I guess  
22 what I'm -- in a sense there is maybe a bit of a  
23 critique of post secondary education that there  
24 aren't enough post secondary programs that do  
25 encompass an indigenous worldview. I mean, the

1 University of Winnipeg is actually, I think, ahead  
2 of the -- ahead of this as compared to some other  
3 universities, and they have done a lot of work in  
4 this area, including the MDP program. But there  
5 aren't that many of that nature.

6 MR. REGEHR: On page 37 of your  
7 report, you have suggested that one of the  
8 principles is that a more trusting relationship  
9 should be established before the Keeyask project  
10 should be attempted; is that correct? Am I  
11 summarizing that correctly?

12 DR. O'GORMAN: I would rephrase that  
13 as saying that there is a lack of trust right now  
14 and, therefore, engaging in the Keeyask project to  
15 some extent represents a leap of faith.

16 MR. REGEHR: I want to again refer you  
17 to the preface that I handed to you, which is from  
18 the Our Voices report. And if I could get you to  
19 flip to the second page, and the last paragraph?  
20 Could one of you read that paragraph for me,  
21 please?

22 DR. O'GORMAN: Sorry, second page,  
23 which paragraph?

24 MR. REGEHR: Last.

25 DR. O'GORMAN: "As we look to the

1 future we want to work with our  
2 partners for the entire life of the  
3 Keeyask project to obtain and achieve  
4 respect for our Cree culture and  
5 self-determination, produce  
6 sustainable tangible benefits for our  
7 First Nation, and continue to build  
8 trust and a meaningful partnership  
9 with Manitoba Hydro and the other  
10 Keeyask Cree Nations. If we can  
11 achieve these objectives, then the  
12 Keeyask project and partnership will  
13 make a significant contribution to  
14 fulfilling our hopes and expectations  
15 to our current and future  
16 generations."

17 DR. BUCKLAND: Mr. Chairperson, if I  
18 could just add another comment from that document,  
19 on page 26, and not to negate the preface, that's  
20 very important, but just, I'm sorry, on page 24.

21 THE CHAIRMAN: Of your report?

22 DR. BUCKLAND: No, of this document  
23 that's being referred to.

24 THE CHAIRMAN: Our Voices?

25 DR. BUCKLAND: Yes, at the bottom of

1 page 24, the statement is:

2 "Many of our community members are  
3 equally torn with our decision to  
4 become a partner because of our past  
5 history of Manitoba Hydro. We have  
6 come to know and respect many  
7 individuals working for Manitoba Hydro  
8 in this process, but some of our  
9 community members do not trust  
10 Manitoba Hydro as a corporate entity."

11 So just to reinforce that we understand the  
12 preface is very important, it is summarizing  
13 things, and the document itself contains a variety  
14 of views on that issue.

15 MR. REGEHR: And so you can see from  
16 the preface at the bottom it is signed by five  
17 individuals?

18 DR. O'GORMAN: Yes.

19 MR. REGEHR: Thank you.

20 And if I told you that was the current  
21 sitting Chief and Council of the York Factory  
22 First Nation, all five, you wouldn't have any  
23 reason to dispute that with me?

24 DR. O'GORMAN: No.

25 MR. REGEHR: So you would agree that

1 if the leadership of a First Nation feels that it  
2 can build trust and a meaningful partnership, and  
3 those are the words that are used, that this would  
4 be a positive thing?

5 DR. O'GORMAN: Yes.

6 MR. REGEHR: Thank you. That's all of  
7 the questions I have.

8 THE CHAIRMAN: Thank you, Mr. Regehr,  
9 Mr. London?

10 MR. LONDON: Thank you, Mr. Chairman.

11 So since we are all academics, let's  
12 treat this as a faculty council meeting, we are  
13 going to have a difference of opinion, we are  
14 going to get really antagonistic, and at the end  
15 of it, we are going to state the best interests of  
16 our students and be friends.

17 So, let me start with a couple of just  
18 factual matters. One is, yesterday when you were  
19 doing the income projection -- the revenue  
20 projections and you used the 1.9 and 2.5 numbers  
21 under the preferred option, what did you -- did  
22 the actual ranges that you predicted come from the  
23 NFAT report or did you calculate those?

24 DR. O'GORMAN: I calculated those.

25 MR. LONDON: What did you use as

1 revenue definition?

2 DR. O'GORMAN: So it would depend on  
3 in the case of -- well, first of all, if we are  
4 talking about low financial performance, I assumed  
5 adjusted gross revenue of zero dollars.

6 MR. LONDON: You used adjusted gross  
7 revenue?

8 DR. O'GORMAN: Yes.

9 MR. LONDON: Can you just tell the  
10 panel what adjusted gross revenue represents?

11 DR. O'GORMAN: So adjusted gross  
12 revenue is the total revenue of the project from  
13 the sale of energy, minus financing costs as well  
14 as operating and maintenance costs.

15 MR. LONDON: So it is a sweetheart  
16 definition of revenue against which that  
17 percentage is applied?

18 DR. O'GORMAN: Exactly.

19 MR. LONDON: Much to the benefit of  
20 the Cree Nations?

21 DR. O'GORMAN: Sorry, I'm not sure  
22 what you mean by that?

23 MR. LONDON: Well, if you used actual  
24 revenue that you would use in an audited  
25 statement, their returns would be quite a bit

1 lower than if you back out depreciation and  
2 interest and all of the other costs that are  
3 backed out of the adjusted gross revenue number.

4 DR. O'GORMAN: The only reason why I  
5 used adjusted gross revenue is because that is the  
6 measure of revenue that's used in the definition  
7 of the returns. In the case of preferred units,  
8 then it would be the preferred participating  
9 distribution which requires that you use adjusted  
10 gross revenue.

11 MR. LONDON: I understand. But in a  
12 normal commercial transaction, you wouldn't use an  
13 adjusted gross revenue, you would use the profit  
14 or loss that's determined under the audit, and the  
15 partners would get a certain percentage of that  
16 income. And you wouldn't back out all of those  
17 expenses and all of those major, major deductions  
18 in computing the amount against which you are  
19 applying the percentage?

20 DR. O'GORMAN: Yes.

21 MR. LONDON: So it is a sweetheart  
22 deal for the First Nations?

23 DR. O'GORMAN: I'm not sure what you  
24 mean by sweetheart deal?

25 MR. LONDON: What I mean is that I sat

1 at the table for ten years and helped negotiate  
2 that, and I thought that we did a pretty good job  
3 at the end of it all in getting to that number.

4 DR. O'GORMAN: So the distribution  
5 that will accrue to the KCNs will depend on the  
6 proportion of equity that they choose to hold, and  
7 it will largely depend, in the case of preferred  
8 units, on the level of adjusted gross revenue.  
9 The higher would be adjusted gross revenue, the  
10 higher would be the distribution, which in turn  
11 will benefit the KCNs. So it all depends on the  
12 adjusted gross revenue.

13 MR. LONDON: That's right. And the  
14 adjusted gross revenue is a non-commercial like  
15 term that's used in this deal, because these are  
16 First Nations that are being dealt with in this  
17 asymmetrical relationship with Hydro, unlike what  
18 would happen in the general commercial world.  
19 Have you ever negotiated a deal like this in the  
20 commercial world?

21 DR. O'GORMAN: No.

22 MR. LONDON: No. So if I tell you  
23 that what normally would happen is there is an  
24 audited statement, there is a number, and the  
25 partner gets a percentage of that number, you

1 would accept that?

2 DR. O'GORMAN: Yes.

3 MR. LONDON: That's not the case here.

4 You take the audited statement number, you deduct

5 a whole number of things that normally would

6 reduce the amount of revenue against which you

7 take the percentage, and that's what the First

8 Nations get?

9 DR. O'GORMAN: Right.

10 MR. LONDON: Okay.

11 Secondly, we just had a conversation

12 about adverse effects agreements and your issue of

13 transparency and whether or not there is

14 disclosure. And you said under the York Factory

15 agreement it was pointed out to you that there are

16 disclosure requirements. I would suggest to you

17 that those disclosure requirements are present in

18 all of the agreements, all of the adverse effects

19 agreements, notwithstanding your reticence to

20 accept that, it is in article 6 of all of them

21 there are -- I could pick any one of the

22 agreements, but they come under annual program

23 budgets and annual program reports, and they come

24 under requirements to disclose annual program

25 budgets for offsetting programs, they come with

1 annual program reports and annual program budgets,  
2 and all of those need to be disclosed to the Cree  
3 Nation, to the membership I should say, every  
4 year. And in most cases they can only be done in  
5 consultation with the memberships?

6 DR. O'GORMAN: Is the second portion  
7 of what you just said regarding consultation, is  
8 that also in every adverse effects agreement?

9 MR. LONDON: I believe it is.

10 DR. O'GORMAN: Because that point that  
11 we made was two-fold. It was, first of all, it is  
12 a normal process to have an audited financial  
13 statement given to members, and second of all that  
14 members are consulted. So both of those points  
15 are very important to us.

16 MR. LONDON: So, it must be obvious to  
17 you by now, through the cross-examination by Mr.  
18 Roddick and Mr. Regehr, that the way in which the  
19 First Nations are receiving your report and your  
20 evidence is that you have focused -- you have made  
21 some very good positive statements about the  
22 program, it is an exceptional program, it is  
23 different than any of the other programs before,  
24 Hydro is to be commended for negotiating that.  
25 That's all correct, isn't it?

1 DR. O'GORMAN: Yes.

2 MR. LONDON: But then what you have  
3 done is you have picked all of these quotes out,  
4 and in particular your meeting with the Concerned  
5 Citizens of Fox Lake, and you emphasized those  
6 quotes, both in the written paper and in your  
7 presentation yesterday, or the day before, I have  
8 lost track of the days. And it gives the  
9 impression to us, or to our clients, that there is  
10 a negativity that's built into that, that's  
11 overemphasized. Can you understand how they would  
12 come to that conclusion?

13 DR. BUCKLAND: Well, our intention is  
14 not to create negativity. Our intention is, and I  
15 think we said this at the beginning of our  
16 presentation yesterday, was to constructively  
17 contribute. And with the underlying understanding  
18 that this is a huge question, a huge issue, a  
19 complex question, and so it is important to, I  
20 think, unpack these issues and look at them very  
21 carefully.

22 MR. LONDON: Sure. But you would  
23 agree with me, both from your experience and  
24 academic training and what you do in the  
25 classroom, that the intention that you have when

1 you deliver a statement is not really the  
2 important thing. The important thing is, is that  
3 statement made in a way which will be received by  
4 your audience in a way that is understandable,  
5 comprehensible and acceptable?

6 DR. BUCKLAND: Well, we certainly  
7 intended, in writing the report, to be clear and  
8 understandable, as with our presentation, that's  
9 certainly our intention. And so if there is  
10 something that's unclear, please, we would like  
11 to, you know, to clarify that.

12 MR. LONDON: Well, on slide 25 of your  
13 presentation yesterday, you can go to it if you  
14 want, but it says important segments of the  
15 Keeyask partner communities that do not agree  
16 with -- the important segments of the Keeyask  
17 Partner communities that do not agree with the  
18 project going forward.

19 What are those important segments of  
20 the community and how did you determine who they  
21 were, what their numbers were, what their  
22 statistical validity were?

23 DR. BUCKLAND: I mean, the primary  
24 segment are those people who participated in the  
25 referendums and voted against the support for the

1 project.

2 MR. LONDON: In the case of Fox Lake,  
3 you are talking about six or seven per cent of the  
4 population, the voting population, or less? I  
5 don't have the numbers.

6 DR. O'GORMAN: We can bring up the  
7 numbers for the referenda. It might take a minute  
8 or so.

9 DR. BUCKLAND: Here, I actually have  
10 it printed out here.

11 DR. O'GORMAN: Okay. So of the four  
12 KCNs, the no vote in Tataskweyak was 39 per cent  
13 for the JKDA, and 38 per cent for the AEA. In War  
14 Lake, 6 per cent no vote for the JKDA, and 12 per  
15 cent for the AEA. For York Factory, the no vote  
16 was 17 per cent -- sorry, we calculated -- so 17  
17 per cent against the JKDA and 15 per cent against  
18 the AEA. And finally for Fox Lake, roughly 8 per  
19 cent voted against the JKDA, and 7 per cent  
20 against the AEA.

21 So, yeah, in some communities the no  
22 vote was larger than others.

23 DR. BUCKLAND: And just to mention, in  
24 terms of the population numbers that I have, which  
25 come from the community websites and some other

1 sources, the Tataskweyak Cree Nation is the  
2 largest of the four. And my number, which I  
3 certainly would be open to correction, of its  
4 population is 3,588, whereas York Factory is  
5 1,100, Fox Lake is 1,100, and War Lake is 244.

6 I submit those as estimates,  
7 Mr. Chairperson. I have not collected those  
8 carefully. But just to say that the TCN no vote  
9 of 39 per cent for the JKDA is coming from a  
10 larger, relatively larger community.

11 MR. LONDON: Have you attended many  
12 band meetings where votes are taken?

13 DR. O'GORMAN: No.

14 DR. BUCKLAND: No.

15 MR. LONDON: So, Karen Anderson, early  
16 on in her testimony here, said that more often  
17 than not at those meetings, if someone doesn't  
18 bother to vote, it is taken that that person isn't  
19 necessarily opposed to it. She wouldn't say that  
20 the person was in favour of it, but it doesn't  
21 indicate opposition. So all of those people that  
22 you just mentioned who didn't vote --

23 DR. O'GORMAN: No, these are people  
24 that voted against the JKDA and against the AEA.

25 MR. LONDON: I understand, but Dr.

1 Buckland went on to give me the population  
2 numbers, and drew a conclusion from the population  
3 numbers of the number of people who voted. So if  
4 you took that as a potential explanation, that is  
5 that people who don't vote in those communities  
6 are not opposed to whatever the proposition is.

7 DR. BUCKLAND: Well, I think there is  
8 the two issues. There is the issue of the number  
9 or percentage of people who voted against the two  
10 decisions. And then as you were just pointing  
11 out, there is also the question of the percentage  
12 of people who didn't vote. And I think we talked  
13 about this yesterday, and it is really hard to  
14 know what was their motivation, did they support,  
15 did they not, we really don't know.

16 MR. LONDON: We really don't know, but  
17 what you are saying in -- the conclusion that you  
18 draw in the slide is that important segments of  
19 the Keeyask partner communities do not agree with  
20 the project going forward.

21 DR. BUCKLAND: Based on --

22 MR. LONDON: Without parsing those  
23 data, that's the overall conclusion that you come  
24 to?

25 DR. BUCKLAND: The conclusion that we

1 come to is that there is a minority of the  
2 communities who voted against support.

3 MR. LONDON: So in making that  
4 statement, and in the answers that you are giving  
5 now, I gather that you met with some  
6 representatives of the Concerned Citizens of Fox  
7 Lake?

8 DR. BUCKLAND: Yeah, we met with some  
9 members, yes.

10 MR. LONDON: Here in Winnipeg, I think  
11 you said?

12 DR. BUCKLAND: Yes, correct.

13 MR. LONDON: Because you referenced  
14 them three or four times in the report, they  
15 obviously made an impact on you?

16 DR. BUCKLAND: Well, again, because of  
17 resource and time limitations, we weren't able to  
18 do field research.

19 MR. LONDON: So you took them as a  
20 proxy?

21 DR. BUCKLAND: No, we did not take  
22 them as a proxy. I mean, to do quantitative  
23 research would require a full survey and we would  
24 have to use, you know, careful statistical design.  
25 There are other options there, like a mixed

1 methodology which can lead to some also very  
2 important insights. We relied, in terms of our  
3 research, primarily on the Keeyask documents,  
4 which there are many. I mean, there are many  
5 documents, and we did have the opportunity to  
6 speak with the Fox Lake Concerned Citizens because  
7 they were in Winnipeg.

8 MR. LONDON: So tell me a little bit  
9 about that meeting? Who arranged it? How was it  
10 arranged?

11 DR. O'GORMAN: We requested it.

12 MR. LONDON: You requested it of whom?

13 DR. BUCKLAND: The Public Interest Law  
14 Centre.

15 MR. LONDON: So you called the Public  
16 Interest Law Centre and said, we would like to  
17 talk to the Concerned Citizens of Fox Lake?

18 DR. BUCKLAND: We heard that they were  
19 in town, so we requested --

20 MR. LONDON: How did you hear that?

21 DR. O'GORMAN: From the very beginning  
22 when Jerry and I agreed to do this research, we  
23 said, one thing we want is to speak to individuals  
24 that are involved, that are from these  
25 communities. And we found out that those people

1 were coming to Winnipeg, and so that fulfilled our  
2 desire to meet with them.

3 MR. LONDON: Who was present at the  
4 meeting?

5 DR. O'GORMAN: I don't know if we are  
6 allowed to mention that.

7 MR. LONDON: Tell me the number of  
8 people who were present at the meeting?

9 DR. O'GORMAN: Three people were  
10 there.

11 MR. LONDON: How many of those were  
12 there from the community, from Fox Lake community,  
13 or were there advisors there as well, or was there  
14 an advisor there as well?

15 DR. O'GORMAN: There was an advisor  
16 there, yes.

17 MR. LONDON: So, an advisor and maybe  
18 a couple of people from the community?

19 DR. O'GORMAN: Yes.

20 MR. LONDON: Do you know how many  
21 people, when they made the application for  
22 standing at this hearing, do you know how many  
23 people were expressed to be members of the  
24 Concerned Citizens Group?

25 DR. O'GORMAN: No.

1 MR. LONDON: Would it surprise you if  
2 I told you there were five?

3 DR. O'GORMAN: I don't have any priors  
4 on that so...

5 MR. LONDON: Would that be impactful  
6 in any way?

7 DR. O'GORMAN: I think we can get  
8 caught up in numbers, and obviously numbers are  
9 important, right. A majority has passed the  
10 approval of the Keeyask project in each KCN, but  
11 we were affected by their opinions because they  
12 were so strong, and the reason why they have  
13 joined this group of concerned citizens is because  
14 they are extremely concerned. So, yes, we are not  
15 talking about hundreds of people, but their views  
16 were very important to them and to us as objective  
17 researchers.

18 DR. BUCKLAND: If I could just add,  
19 Mr. Chairperson, one of the very common  
20 methodologies in research today is called a mixed  
21 methodology, and that involves both qualitative  
22 and quantitative research methods. The purpose of  
23 mixing the qualitative, more the survey, with the  
24 quantitative, which could be more of an in-depth  
25 conversation, is because it really enriches the

1 researcher's understanding of the situation on the  
2 ground. So this is a valid -- mixed methodologies  
3 are a valid form of research. I'm not suggesting  
4 that the meeting with the Fox Lake concerned folks  
5 were a part of a complete mixed methodology. We  
6 would have liked to have had the time and  
7 resources to do more. But it was an opportunity  
8 that we combined with the documents that we have  
9 from the Keeyask Partnership to gain insights into  
10 the situation.

11 MR. LONDON: They reinforced the views  
12 you were forming from the documentation?

13 DR. O'GORMAN: Not every view, no.

14 MR. LONDON: Some views?

15 DR. O'GORMAN: As is evident in our  
16 report as well as our presentation, we have  
17 compliments for the project and we have concerns.  
18 And there were some concerns that were  
19 strengthened by that meeting, and there were  
20 others that were completely irrelevant.

21 MR. LONDON: So if I were to, if you  
22 were to have met with some other members of the  
23 community -- let me preface this. In your  
24 presentation yesterday you went beyond the  
25 literature and you went beyond that meeting, and

1 anything that you had done before, and you pulled  
2 some quotes out of the testimony that's been given  
3 here, and included those in your paper, for  
4 example, Robert Spence's piece. By the way, do  
5 you know if that was Robert Spence's piece or on  
6 whose behalf he delivered it? Did you know that  
7 that wasn't his piece?

8 DR. BUCKLAND: Can you clarify?

9 THE CHAIRMAN: Mr. London, when that  
10 statement was made in this room, it was made by  
11 Robert Spence, and he said he was Robert Spence,  
12 and he didn't say he was speaking on behalf of  
13 anybody else, so...

14 MR. LONDON: He did initially, sir.  
15 It doesn't matter, I will withdraw that.

16 So, I just want to redo a couple of  
17 quick comments, and tell me what this would have  
18 done in the event that you had pulled these out  
19 from the testimony that's been given here, just as  
20 did you with Spence's commentary.

21 So at the outset of this, Walter  
22 Spence said:

23 "I simply want to say this, we trust  
24 that this Commission will support our  
25 rights as the first peoples in the

1 territories in which Keeyask will  
2 operate so that we, finally, may  
3 benefit from use by others of our  
4 resources which for so long have been  
5 the monopoly of non-indigenous people.  
6 Our people have lived in the area of  
7 the Keeyask project since time  
8 immemorial. We know the environment  
9 and its contours, features, strengths  
10 and weaknesses. It has nurtured us in  
11 many ways and it is a part of who we  
12 are. Aski and the people of Fox Lake  
13 have undergone change over the past 60  
14 years and we have experienced this  
15 together. We have always relied...",  
16 I would like you to pay attention to this, please.  
17 "We have always relied on Aski to  
18 nurture us, and through this Keeyask  
19 project we have asked once again she  
20 do so. We also ask that we as Fox  
21 Lake and our partners respect the fact  
22 that Aski will again undergo  
23 significant change to provide us with  
24 a means to survive and thrive as a  
25 people."

1 I could read a couple more like that as part of  
2 the testimony.

3 So if you had listened to that when  
4 you were meeting at the front end of this, do you  
5 think that would have altered the way in which you  
6 did your report?

7 DR. BUCKLAND: What we do in a report  
8 is we seek to apply a community development  
9 framework lens to understand the Keeyask project.  
10 So what we are trying to understand is from the  
11 community's perspective. And we conclude that  
12 there are strengths and there are weaknesses, and  
13 I think the quote you shared certainly presents  
14 the challenging dimension of the decision, and in  
15 the end supports it.

16 MR. LONDON: But my question was, you  
17 said that you were influenced at the outset by  
18 what you heard from the concerned citizens. And  
19 by the way, Fox Lake is very clear that it  
20 supports the concerned citizens, it is absolutely  
21 supportive of their right to dissent and to be  
22 critical. It relies on the vote that took place  
23 at the band as the appropriate measure to pay  
24 attention to. So this doesn't have anything to do  
25 with content, it has to do with methodology. You

1 didn't do a random -- what was the term you used,  
2 Dr. Buckland?

3 DR. BUCKLAND: Randomized survey.

4 MR. LONDON: So you used that piece.  
5 If that had been the information that had come out  
6 at the front end and you weren't doing a  
7 randomized sample survey, it would have altered  
8 the way in which you perceived the other comments  
9 that had been made, would it not?

10 DR. BUCKLAND: Well, I think what we  
11 have tried to do is present the strengths, which I  
12 think are clear, and they are reflected in the  
13 Keeyask documents. But from a community  
14 development perspective, what we are trying to do  
15 is amplify the voice of the relatively voiceless.  
16 So that's why we would use the quotes for the  
17 challenges.

18 MR. LONDON: But when you say that you  
19 are representing the voice of the voiceless, you  
20 are making an assumption of the prominence of  
21 those voices, those voiceless people in the  
22 community, notwithstanding the votes that were  
23 taken. Is that right? It wasn't -- let me put it  
24 another way -- they weren't voiceless, there was a  
25 vote taken. There were thousands of meetings that

1 took place, and consultations. Everyone had the  
2 opportunity to present his or her perspective.  
3 Many, many people did, whatever those numbers are.  
4 To say that there is a voiceless group there seems  
5 to me to be drawing a conclusion that you can't  
6 possibly have come to without having done the  
7 investigation or the interviews with the people  
8 yourself in the communities.

9 DR. BUCKLAND: Well, I think what I'm  
10 saying is that my reading of the Keeyask material  
11 is representing the successes. And I think I  
12 mentioned yesterday, you know, looking into  
13 Manitoba Hydro's public involvement program, the  
14 three rounds that they did with the communities  
15 early on, and this question of how it was framed  
16 to the communities, and the sense that what Hydro  
17 naturally does, as a large organization, is to  
18 put, you know, in quotation marks, put its best  
19 foot forward. And that's the natural action of a  
20 large organization. But what it tends to do is it  
21 understates the down side.

22 And so whereas we feel that the  
23 Keeyask documents state very clearly the  
24 successes -- and once again I want to affirm that  
25 we believe that the Keeyask model is an

1 improvement over the past projects -- the point is  
2 to say that there are weak -- we have identified  
3 some weaknesses.

4 MR. LONDON: I appreciate that, and by  
5 the way I appreciate your report and view. This  
6 is -- I know you are trying to do your best in the  
7 circumstance. What I'm having a bit of difficulty  
8 with is what is -- let me ask it this way. On  
9 page 40 of your document you say that this study  
10 has unearthed -- let me pull out the quote. The  
11 first line of the first full paragraph:

12 "Regardless of this progress, this  
13 study...",  
14 this study, I say again this study,  
15 "...has unearthed substantial evidence  
16 regarding the harm caused by past  
17 hydroelectric projects on indigenous  
18 and local communities."

19 So taking that statement, and what you  
20 have just said to me about maybe the positive  
21 side, only the positive side was being presented,  
22 what is it do you think that you have unearthed  
23 that the people who have lived there and lived  
24 through all of these projects, and suffered under  
25 all of these projects, and know the ramifications

1 of under all of these projects, and have expressed  
2 themselves over and over again about the damage  
3 that was done by this process, what is it that you  
4 learned, what is it that you unearthed that the  
5 people didn't already know?

6 DR. BUCKLAND: Well, I personally  
7 learned that as a Winnipegger and a southern  
8 Manitoban, I benefit regularly from electricity  
9 that's generated in another part of the province,  
10 in a way that, at least in the past has been  
11 harmful on some of those communities. So I guess  
12 what I think, I mean, again, as a Winnipegger --

13 MR. LONDON: You didn't mean unearthed  
14 for the population that lived there, they already  
15 knew that?

16 DR. BUCKLAND: Absolutely.

17 MR. LONDON: You meant unearthed for  
18 yourself?

19 DR. O'GORMAN: No. We had a  
20 responsibility on behalf of the Consumers  
21 Association of Manitoba to research this issue as  
22 objective researchers, and we came up with a lot  
23 of evidence of the harmful effects of past Hydro  
24 projects, and brought that knowledge to bear on  
25 our analysis of the potential harm or benefits for

1 the KCNs in the case of Keeyask. We are not  
2 saying that this is the first time anyone has ever  
3 unearthed such evidence, by no means are we saying  
4 that.

5 I just wanted to point out, because  
6 you and Jerry were discussing some of the use of  
7 our quotations. When we use quotations, as we  
8 mentioned yesterday, we are using them to bring in  
9 other individual's voices that say things that we  
10 couldn't possibly say in such an eloquent way. We  
11 are not saying, by keeping those quotations in our  
12 paper, we are not saying those are the only  
13 quotations that we have read, nor are we saying  
14 that they represent the majority view. We have  
15 talked about the numbers that objected to the  
16 project, and we are saying that those people, when  
17 we use quotations, those people have put that  
18 piece of information in a much more eloquent way  
19 than we could ourselves as non-indigenous, non-KCN  
20 members.

21 MR. LONDON: But without doing any of  
22 that research, all you would have to do is read  
23 the evaluation reports of the Cree Nations to get  
24 all of the matters that you just raised, all of  
25 the problems that you have just raised, all of the

1 fears, all of the concerns, it was already there.  
2 They all knew that. They all participated in  
3 those reports en masse. And they came to the  
4 conclusion at the end of it that this project  
5 should go ahead, this project was a good project,  
6 it was a way in which they could ensure the future  
7 of their young.

8 DR. O'GORMAN: A majority of  
9 individuals in each KCN voted to approve the  
10 Keeyask project, but a minority of individuals did  
11 not participate. And as we have emphasized  
12 before, we don't know what that means. We don't  
13 know if that means they approve of the project or  
14 they disagree with it, or they don't have an  
15 opinion.

16 MR. LONDON: But you said -- sorry.

17 DR. O'GORMAN: Another minority of  
18 individuals voted against it, and that is a  
19 substantial portion of the population in  
20 Tataskweyak. We think, as researchers, as  
21 academics, you must always not only read the  
22 material at hand, but you should also read  
23 secondary sources. That's our job. And that's  
24 exactly what we did. We looked at the policy  
25 literature. We looked at the literature of

1 Manitoba Hydro. We looked at the literature in  
2 non-peer reviewed sources. And we came to  
3 conclusions that are represented in this paper.  
4 That was our job.

5 So we, by no means, are trying to  
6 replace the voices of Keeyask Cree Nation members.  
7 We are trying to provide our own objective  
8 analysis.

9 MR. LONDON: You are trying to impose  
10 the objective analysis of two people from the  
11 dominant society on all of the comments and all of  
12 the commentary and all of the decisions that were  
13 taken, as recorded by their own documents, in the  
14 evaluation reports, which was the major part about  
15 this project is that it had two streams in  
16 evaluation.

17 DR. BUCKLAND: Well, I think that part  
18 of our understanding of this hearing process is  
19 that the Commission has the responsibility to look  
20 at this big project and, you know, say yea or nay.  
21 And this is a project that has Manitoba wide  
22 implications. And so what we found out -- I agree  
23 with what you are saying. The evaluation reports  
24 from the Keeyask Cree Nations are very important.  
25 How many people in Winnipeg and other parts of

1 Manitoba know about these historical devastating  
2 consequences of dams, and how this new model -- I  
3 mean, it is a very important step that Manitoba  
4 Hydro with the Partnership is taking with this new  
5 model, and we feel it is very important to  
6 understand the intricacies of it.

7 MR. LONDON: So maybe I misunderstood.  
8 I thought you were trying to bring forth a notion  
9 that the First Nations people didn't understand or  
10 maybe were voiceless. What you are telling me now  
11 is that the people that you were concerned about  
12 were not the First Nations people, but the rest of  
13 the people in the Province of Manitoba?

14 DR. BUCKLAND: No, we've never said  
15 that we didn't think the First Nations people  
16 didn't understand. We believe fundamentally that  
17 they understand. But we understand that our work  
18 was to be submitted to the Commission, and they  
19 are making this decision from a Manitoba wide  
20 perspective. So our hope was that the report  
21 would contribute to their understanding of this  
22 situation.

23 MR. LONDON: An understanding that  
24 they wouldn't have got just by reading the  
25 evaluation reports of the First Nations?

1 DR. O'GORMAN: No --

2 MR. LONDON: What is it that you added  
3 to it?

4 DR. O'GORMAN: We have added the  
5 broadest literature review that we could have done  
6 with the time and resources that we were given,  
7 which in turn has added a historical component in  
8 section 3.3.1, which talks about harm done to  
9 indigenous communities, not only in Manitoba, but  
10 also in other regions such as Northern Quebec, as  
11 well as B.C. and abroad.

12 In section 3.3.2 we discussed  
13 traditional livelihoods as a more general  
14 phenomenon in hydroelectric development relative  
15 to just in the Keeyask Cree Nations. So we  
16 broadened the analysis.

17 MR. LONDON: You broadened the  
18 analysis to a generic analysis rather than one  
19 that was specifically restricted to these  
20 communities?

21 DR. O'GORMAN: With respect, we did  
22 refer to the specific communities and some of the  
23 voices, as we have been discussing, within our  
24 report as well.

25 MR. LONDON: But the literature review

1 you said had to do with other provinces, other  
2 places. Are you suggesting that there is a  
3 homogeneity between all the indigenous people  
4 everywhere in terms of what will and will not  
5 affect them?

6 DR. O'GORMAN: Definitely.

7 MS. CRAFT: Mr. Chair?

8 THE CHAIRMAN: Ms. Craft?

9 MS. CRAFT: I wonder if we are not  
10 straying into closing argument on the weight this  
11 report might be given, so I have some concerns  
12 about that, and I would object to this line of  
13 questioning.

14 MR. LONDON: That's fine. I would  
15 never ever, ever doubt, Ms. Craft. I'm prepared  
16 to stop, I think the point is made.

17 THE CHAIRMAN: I was about to note  
18 that you were probably asking the same question in  
19 different ways for about the third time at least.

20 MR. LONDON: It was a parallel to the  
21 report.

22 THE CHAIRMAN: So do you have any more  
23 cross-examination, Mr. London?

24 MR. LONDON: Thank you, doctors. I'm  
25 done.

1 THE CHAIRMAN: I have no idea what  
2 order we are at for the participant  
3 cross-examination, so we will start at the top of  
4 the list. Manitoba Wildlands?

5 MS. WHELAN ENNS: Thank you,  
6 Mr. Chair.

7 I have some questions for you that are  
8 from your oral and your slide presentations  
9 yesterday, and also a couple that have arisen  
10 during cross-examination.

11 Have you, in your analysis and in your  
12 research, had reason to review the Wuskwatim PDA  
13 or make any comparison between it and the JKDA for  
14 Keeyask?

15 DR. O'GORMAN: Yes. Not in a lot of  
16 detail, but on the financial arrangements, yes.

17 MS. WHELAN ENNS: Is there anything of  
18 significant difference in the financial, if that's  
19 the area that you looked at?

20 DR. O'GORMAN: Yes. The main  
21 advantage over Keeyask relative to the Wuskwatim  
22 financial arrangement is the existence of a  
23 preferred equity option, which ensures that the  
24 KCNs are able to have more stable, more -- a safer  
25 financial option relative to the Wuskwatim

1 arrangement.

2 MS. WHELAN ENNS: Thank you.

3 Did you in your research have any  
4 reason to also then review and/or look at other  
5 instruments, for instance, like IBAs, or other  
6 agreements where First Nations are partners in  
7 significant projects? Again, did you make any  
8 comparison?

9 DR. O'GORMAN: Not in a lot of depth,  
10 no.

11 MS. WHELAN ENNS: Thank you.

12 The next question has a little bit to  
13 do with something that we are all learning as we  
14 go through the days in the hearings, and that has  
15 to do with the life of the Keeyask project. And I  
16 think this is a CED question, but you are best  
17 able to decide between the two of you who answers.  
18 And that is, we are thinking in terms and learning  
19 in terms of hundred year age, or life time for the  
20 Keeyask Generation Station. That's five  
21 generations. And I want to ask you then in terms  
22 of CED principles, what we know now because we are  
23 in current time, whether you have any cautions,  
24 visions, or recommendations in terms of five  
25 generations of the community members in the KCNs,

1 and how -- things they might in fact anticipate  
2 along the way, both CED, and if you will,  
3 financial things that may in fact matter. And  
4 this question goes to both benefits and risks.

5 DR. O'GORMAN: Sure. We don't have a  
6 clicker for our presentation. Okay. Could you go  
7 to slide ten, please?

8 So thinking about a 100 year life for  
9 the project, if we look at these estimates, so the  
10 first segment of the table concerns construction  
11 income, which is roughly an eight year period.  
12 And then the second section is for the operating  
13 period of the project, but it should be noted that  
14 the operational labour income that's been  
15 estimated at \$19.7 million per year, that only  
16 lasts for 20 years. So if you remove that  
17 \$20 million from the annual illustrative benefits  
18 for the project accruing to the KCNs, you get  
19 roughly 6 million to \$8 million per year over the  
20 long term.

21 So one concern that I have with regard  
22 to 20 years and onwards into the 100 year life of  
23 the project would be the loss of those operational  
24 jobs.

25 MS. WHELAN ENNS: Or, if I may, the

1 uncertainty?

2 DR. O'GORMAN: Right.

3 MS. WHELAN ENNS: So the dam will be  
4 operating, in theory, so the operational jobs, or  
5 are you pointing to commitments that might not go  
6 past the 20 years?

7 DR. O'GORMAN: That is definitely a 20  
8 year commitment. So my concern stems from the  
9 fact that there is no target for operational jobs  
10 in the 21st year and following that year.

11 MS. WHELAN ENNS: Thank you.

12 This is I think a CED question. We  
13 are also then learning and working on something  
14 that's primary in the mandate for the CEC  
15 proceedings and hearings, and that is, of course,  
16 that the sustainable development principles  
17 guidelines of Manitoba, and Manitoba Hydro's own  
18 principles are part of those discussions.

19 So I wanted to ask you whether there  
20 are similar principles or parallels, if you will,  
21 between what you have been identifying as CED  
22 principles and practices, and what is emerging  
23 academically, and also in practice in terms of  
24 sustainability and sustainable development  
25 principles. Are they completely different? Are

1    there bridges?  Are their similarities?  Should  
2    they both be happening?

3                   DR. BUCKLAND:  Yeah, I think at its  
4    most basic level sustainable development and  
5    community development are areas of study and  
6    practice that are rooted in principles.  They are  
7    normative studies.  They are not positive in the  
8    scientific sense.  So they are rooted in  
9    particular principles.  Then there is overlaps  
10   between the two.

11                   And I think that a lot of the  
12   community economic development literature is  
13   concerned, and growing increasingly concerned with  
14   environmental issues.  And the sustainable  
15   development approaches are certainly sensitive to  
16   community based interests and goals.  So I do  
17   think there is considerable overlap between the  
18   two.

19                   I don't want to exaggerate.  I mean,  
20   they are two separate areas of study, but  
21   certainly there are common principles.  And so  
22   that's why in our framework we placed valuing of  
23   community and environmental interests as one of  
24   the principles of CED.

25                   MS. WHELAN ENNS:  Thank you.

1 Dr. O'Gorman is also nodding her head,  
2 for the record.

3 DR. O'GORMAN: I agree.

4 MS. WHELAN ENNS: Thank you.

5 In your presentation material on page  
6 6, this may be both economic practices and a CED  
7 question. And that is, again, thinking about  
8 pattern, comparison to other projects and other  
9 business arrangements, is there a pattern emerging  
10 in Canada on this kind of larger project and/or is  
11 it usual for the primary local stakeholder or  
12 stakeholders, as in communities plural, to also be  
13 business partners in the same project?

14 DR. BUCKLAND: Could I just ask if you  
15 could just reframe it or restate it? I'm just a  
16 little bit unclear of the question.

17 MS. WHELAN ENNS: Fair enough.

18 Trying to avoid making a statement,  
19 but we are in a situation where the Keeyask Cree  
20 Nations are four communities, they are local.  
21 They are, in your presentation and in others,  
22 referred to as the primary local stakeholders in  
23 terms of the undertaking. They are also the  
24 business partners in the long term for the  
25 project.

1                   So my question to you is, then is this  
2 a trend, and specific to this of course is First  
3 Nations community, is there a trend or a pattern?  
4 Is this usual? Are you seeing this? And again,  
5 probably it is both a financial and CED question,  
6 are you seeing this happening in Canada?

7                   DR. O'GORMAN: So this is the second  
8 instance of this type of arrangement in the case  
9 of Manitoba. Wuskwatim is the first.

10                   I don't feel knowledgeable enough to  
11 comment on a nation wide basis, but my impression  
12 is that this is, in terms of the financial  
13 arrangements and equitable sharing of economic  
14 benefits, this is a model. It is viewed as four  
15 First Nations, relative to a large hydroelectric  
16 utility, as an ideal scenario, depending on the  
17 more specific arrangements that are within a  
18 financial agreement.

19                   DR. BUCKLAND: If I could just add in  
20 terms of community economic development, I think  
21 there is, you know, the whole area of social  
22 enterprise and cooperatives, that's certainly, you  
23 know, a phenomenon in Canada. I'm not an expert  
24 to say whether it is growing or not, but it  
25 certainly is a phenomenon in Canada. And I think

1 that's where communities are getting organized to  
2 address economic challenges through innovative  
3 more collaborative style arrangements.

4 MS. WHELAN ENNS: Thank you.

5 Then in this model, assuming there are  
6 other stakeholders, is the role, the voice, the  
7 participation of other stakeholders blocked,  
8 diminished, changed, if we are talking about a  
9 project where the primary stakeholders become the  
10 business partner?

11 DR. O'GORMAN: Sorry to ask you, can  
12 you repeat that again?

13 MS. WHELAN ENNS: I will try again,  
14 absolutely.

15 So assuming the previous question and  
16 answer, and assuming there are other stakeholders  
17 involved and/or affected by the Keeyask Generation  
18 Station project, if the primary stakeholders are  
19 the business partners in the project going  
20 forward, then is the participation, the voice, the  
21 role of the other stakeholders affected, and  
22 diminished, increased, changed?

23 DR. O'GORMAN: I see what you are  
24 saying. So there are other stakeholders in the  
25 province, right, so there are stakeholders that

1 either are concerned about whether this is a clean  
2 project in terms of CO2 emissions, damage to  
3 aquatic life, damage to other wildlife. There are  
4 environmental stakeholders, for example, that do  
5 not share in the economic benefits of the project.  
6 So, to that extent, those individuals may have  
7 less of a stake in the project going forward  
8 relative to those that are benefiting  
9 economically, right?

10 I can't speak for those other  
11 stakeholders that are not benefiting economically,  
12 but just thinking intuitively or theoretically,  
13 those individuals' interest would not be as  
14 represented relative to the individuals who are  
15 benefiting economically, whether that be Hydro or  
16 the KCNs.

17 MS. WHELAN ENNS: Thank you.

18 The next question you have already  
19 answered.

20 Now, I think I'm on page 13 in your  
21 presentation. This is the first bullet in terms  
22 of business opportunities. I'm just going to take  
23 the numbers as a given. And you are identifying  
24 that there is a direct negotiated contract value  
25 of \$203.1 million, that is a reserve for the KCNs.

1                   Having been in the room most of the  
2     time, I don't believe that we have, in fact,  
3     covered this yet, but I'm going to give it a try  
4     in terms of questioning. How does this affect the  
5     process of public bids and tenders, that is if the  
6     \$203.1 million is the DNC, and obviously it is  
7     more specific as to when and for what. What  
8     happens potentially then if there is dramatic  
9     increases in the costs of being able to deliver  
10    certain business contracts? Again, this is a  
11    theoretical question, but I'm curious both in  
12    terms of the effects on CED and the potential for  
13    economic growth in the communities in the region,  
14    and also how this would, if suddenly everything  
15    starts costing more, how this would affect the  
16    overall partnership and economy?

17                   THE CHAIRMAN: Can I interrupt here?

18                   Mr. Bedford, did you want to comment  
19    on this or -- I saw the mic get moved in front of  
20    you, I thought you might save me the trouble.

21                   MR. BEDFORD: No.

22                   THE CHAIRMAN: Ms. Whelan Enns, I  
23    don't see how this panel could be expected to  
24    answer that question. It might be a legitimate  
25    question to pose to the Partnership, but I'm not

1 sure that these witnesses --

2 MS. WHELAN ENNS: We will pass and go  
3 on to the next one, sir.

4 I have got a reference to page 19  
5 here, but it is basically a question that came up  
6 at approximately at that point in the exchange in  
7 the room, it is not specifically on page 19. I  
8 wanted to ask you both then whether you have seen  
9 the exhibit that Fox Lake First Nation has  
10 provided in the hearing and provide to the CEC  
11 regarding their description of the vote among  
12 their members for the JKDA and the challenges that  
13 they experienced?

14 Have either of you seen the exhibit  
15 and/or are you aware that it was less than 50 per  
16 cent?

17 DR. O'GORMAN: Are you talking about  
18 the Fox Lake presentation to this hearing?

19 MS. WHELAN ENNS: This was an exhibit  
20 that they provided specifically with their  
21 presentation.

22 DR. BUCKLAND: We have the statistics  
23 here from --

24 THE CHAIRMAN: Ms. Craft.

25 MS. CRAFT: I would just like some

1 clarification as to what document Ms. Whelan Enns  
2 is referring to so that we can make sure we have  
3 it for our witnesses.

4 MS. WHELAN ENNS: Fair point. I don't  
5 have it at hand, but Mr. Neepin circulated it at  
6 the time of the first Partnership panel, and it  
7 was an explanation of their challenges, so it is  
8 an early on exhibit, and it is an explanation of  
9 their challenges in terms of how geographically  
10 dispersed their membership is, and what their  
11 challenges were in terms of holding the vote, and  
12 that it is less than 50 per cent?

13 THE CHAIRMAN: Okay. I think that's  
14 all on the public record, or on the record of this  
15 hearing. I'm not quite sure where you are going  
16 with it now.

17 MS. WHELAN ENNS: Well, Mr. Chair, I  
18 wanted to basically make sure that the two experts  
19 are aware of that, given what they put in the  
20 record. I will go on quickly.

21 Next note is page 25. You've  
22 mentioned behavioral economics, and I had to  
23 basically take a look myself, and I wanted to ask  
24 you, in connection to your presentation, your time  
25 yesterday and today, to just quickly tell us which

1 elements of the definition of behavioral economics  
2 you see as being most applicable and most relevant  
3 in terms of your research and your expert advice?

4 DR. BUCKLAND: Well, the behavioral  
5 economics sort of drops the assumption that people  
6 always behave rationally, which is the standard  
7 assumption in orthodox economics. Instead of  
8 that, they actually do studies to try and  
9 understand, how do people actually behave, and  
10 they called it bounded rationality, that our  
11 decision making is often quick, and we use limited  
12 information, and sometimes we make decisions that  
13 are against our own interests.

14 One of the ways in which the  
15 behavioural economists have identified this  
16 rationality is how decision making is framed. The  
17 point they are making is that the framing of, like  
18 a project, like the Keeyask project, how it is  
19 framed and presented to someone could influence  
20 their decision-making about whether they would  
21 support it or not. So I think it is the framing  
22 question that we were flagging as a question to  
23 raise.

24 MS. WHELAN ENNS: Thank you.

25 Part of the public record then for

1 these hearings includes a sustainability  
2 assessment of the planning phase for the Keeyask  
3 Generation Station. And it states that  
4 \$100 million has been spent to date on it, again,  
5 this is a ten-year period, on the planning stage,  
6 negotiations with the KCNs.

7 My question is whether or not you  
8 have, again, in your research and your reviews and  
9 your preparation, given any thought to the kind  
10 of, again, CED assistance, orientation, or  
11 services to do with the economics of all of this,  
12 that you would have, in an ideal situation, wanted  
13 to, in fact, see provided to these communities  
14 early on?

15 DR. BUCKLAND: If I understand, if I  
16 could just clarify the question -- could you  
17 clarify the question please?

18 MS. WHELAN ENNS: Certainly.

19 You got the preamble I'm sure.

20 So the question is, given what has  
21 been spent, and given your areas of expertise,  
22 whether there are specific services, sets of  
23 information, or supports that you would identify  
24 as potentially having been of benefit to the KCNs  
25 early on in the planning and negotiations

1 sequence, and it is a long time line?

2 DR. O'GORMAN: So you are saying over  
3 the past ten years, the way consultation played  
4 out, both with KCN leadership and members and  
5 Manitoba Hydro and KCN members?

6 MS. WHELAN ENNS: Certainly the  
7 communities, yes.

8 DR. BUCKLAND: Well, I think the most  
9 important tools that a community would have when  
10 funds are flowing to them, and when projects are  
11 going, would be the project planning and  
12 evaluating tools, so participatory planning and  
13 evaluating tools, in fact, I think would be very  
14 helpful.

15 DR. O'GORMAN: No comment.

16 MS. WHELAN ENNS: Fair enough.  
17 Questions finished, Mr. Chair.

18 THE CHAIRMAN: Thank you, Ms. Whelan  
19 Enns. Peguis? Not here. Concerned Fox Lake?

20 MS. PAWLOWSKA-MAINVILLE: Good  
21 afternoon, Dr. O'Gorman and Dr. Buckland. Thank  
22 you for your presentation.

23 So my name is Agnes, and we have met  
24 before, and I'm speaking for the Concerned Fox  
25 Lake Citizens. The first question I have is in

1 regards to community development.

2 So some of the principles and  
3 practices for a community prosperity are listed in  
4 your presentation and in your report. Do you  
5 think that in terms of community economic  
6 development that economic power should reside  
7 locally to the greatest extent possible?

8 DR. O'GORMAN: Yes.

9 DR. BUCKLAND: Yes, I think that's a  
10 very -- the principle of subsidiarity is sometimes  
11 what it is called, yes.

12 MS. PAWLOWSKA-MAINVILLE: Thank you.

13 Would you say that from the  
14 perspectives of communities who have been already  
15 impacted by some form of development, and perhaps  
16 have even said that they are traumatized by some  
17 of those projects, that every project from that  
18 point on is considered only to be a community  
19 economic development project that is built for  
20 capacity?

21 DR. O'GORMAN: So you are referring  
22 to, I guess, the trust issue that we mentioned  
23 earlier, given past harm, any new projects will be  
24 viewed as simply economic development projects?

25 MS. PAWLOWSKA-MAINVILLE: Correct,

1     yes?

2                     DR. BUCKLAND:    Could you restate the  
3     question?  I'm not clear about it yet.

4                     MS. PAWLOWSKA-MAINVILLE:  Of course.

5                     So from the perspective of actually  
6     local communities who have been already impacted  
7     by some form of development, so in their  
8     acceptance of a project or another developmental  
9     project, would you say that they view such a  
10    project through the lens of a community economic  
11    development perspective that builds long-term  
12    capacity and capacity building and --

13                    DR. BUCKLAND:  Well, I think that's  
14    the ideal that a community would look for, that  
15    ideal as a way to move away from a more harmful  
16    kind of relationship.

17                    MS. PAWLOWSKA-MAINVILLE:  Okay.  Thank  
18    you.

19                    And next question I have is about  
20    economic growth and sometimes it is correlated  
21    with human development.  What aspect of human  
22    development in such a project would you consider  
23    to be important?

24                    DR. O'GORMAN:  So human development  
25    can be defined in many ways, right, it can be

1 defined as health, physical health, it can be  
2 defined as one's spiritual wellness, it can be  
3 defined as one fulfilling their objectives in  
4 life, right, it is a very broad term. So, again,  
5 I guess we come to the fact that Keeyask  
6 represents an approved project for a portion of  
7 these communities, and for other individuals it  
8 does not represent that.

9           So to some extent the way that people  
10 have voted in a referenda reflect how they feel  
11 about the project, and that can be positive in  
12 terms of overall human development and it can be  
13 negative. It depends on the community in  
14 question.

15           MS. PAWLOWSKA-MAINVILLE: Thank you.

16           My next set of questions deals with  
17 methodology, and some of it will touch our group  
18 that you have met with prior to your presentation.  
19 So one of the individuals that you met from CFLGC,  
20 our group, that was an elder from the community,  
21 correct?

22           DR. BUCKLAND: Yes.

23           DR. O'GORMAN: Yes.

24           MS. PAWLOWSKA-MAINVILLE: From your  
25 experience, are elders seen by many indigenous

1 peoples and even in scholarship as respected  
2 individuals in the community?

3 DR. BUCKLAND: Yes.

4 DR. O'GORMAN: Yes.

5 MS. PAWLOWSKA-MAINVILLE: Thank you.

6 And seeing how you were involved with  
7 indigenous studies, indigenous economic  
8 development, from your expertise, how are  
9 relationships with elders developed?

10 DR. O'GORMAN: Over one's life time,  
11 through listening, through showing respect for  
12 that person, through listening to their wisdom  
13 whenever possible.

14 MS. PAWLOWSKA-MAINVILLE: Thank you.  
15 Have you been invited by this elder to come and  
16 speak to other individuals in the community or to  
17 visit his community?

18 DR. O'GORMAN: Yes.

19 MS. PAWLOWSKA-MAINVILLE: And had you  
20 had the means to do so, because you said you were  
21 limited to the time constraints and the means,  
22 would you have taken him up on his invitation?

23 DR. O'GORMAN: Yes.

24 DR. BUCKLAND: Yes.

25 MS. PAWLOWSKA-MAINVILLE: Thank you.

1 So from a community development perspective, do  
2 you think that the initiative of such an elder  
3 from this community, or other elders from other  
4 communities, to present their views at the  
5 hearings, at the CEC hearings, is a form of  
6 community participation?

7 DR. BUCKLAND: Absolutely, very  
8 important.

9 DR. O'GORMAN: Definitely.

10 MS. PAWLOWSKA-MAINVILLE: Thank you.

11 And objectively speaking, and  
12 considering your expertise, are the diminishment  
13 of those voices to numbers, so for example  
14 quantity rather than quality, seeing, listening to  
15 what they have to say, is a good example of  
16 support of community voices?

17 DR. O'GORMAN: Yes. This came up  
18 earlier, right, we only spoke to two individuals  
19 from Fox Lake, which can be viewed as not a  
20 representative sample. But the power of those  
21 voices that we heard was strong, and we wish we  
22 could have spoken to more elders and more  
23 individuals from all four KCNs.

24 DR. BUCKLAND: Again, there is a very  
25 much accepted methodology now, qualitative

1 methods, and it is understood that qualitative  
2 methods are a very important authentic form of  
3 research. And that involves in-depth interviews  
4 with small numbers of people. The purpose of that  
5 kind of methodology is different than a  
6 quantitative method, so it is important to be  
7 clear on the methodology and the purpose. But it  
8 is very important.

9 MS. PAWLOWSKA-MAINVILLE: Thank you.

10 Another question in terms of  
11 methodology, have you seen Manitoba Hydro include  
12 direct quotes from -- views from Fox Lake or other  
13 communities who openly opposed the project being  
14 included in the EIS?

15 DR. O'GORMAN: I don't think so. I am  
16 not confident in that response.

17 DR. BUCKLAND: I'm not certain.

18 I know that in the public involvement  
19 program of Manitoba Hydro, I did go through the  
20 first round literature, and there was some  
21 reference to some comments of people who disagreed  
22 with the project.

23 DR. O'GORMAN: Just to clarify my  
24 first response, within the public involvement  
25 program documents there is a lot of itemization of

1 the potential harms that can result from the  
2 Keeyask project, which signify concerns on the  
3 part of KCN members, that they have about the  
4 project. But that's different from your specific  
5 question which referred to quotations.

6 MS. PAWLOWSKA-MAINVILLE: Yes, I meant  
7 direct quotations of individuals saying, no, we  
8 don't want this project, or we oppose this  
9 project, or something like that, as a way of  
10 supporting the data that is given?

11 DR. BUCKLAND: If I could clarify  
12 then? In my reading of the public involvement  
13 material, there weren't quotes, there were simply  
14 bullet summaries of some points.

15 MS. PAWLOWSKA-MAINVILLE: Okay, thank  
16 you.

17 Continuing with minority voices, would  
18 you say that there are also other forms, other  
19 than the CEC hearings, of community participation  
20 without voting necessarily, such as blockades at  
21 the project site, public presentations, being  
22 critical even, for example, in the offices, or  
23 having researched, composing research on your own  
24 terms. Are those some forms of community  
25 participation, in your view?

1 DR. BUCKLAND: Certainly.

2 DR. O'GORMAN: Definitely.

3 MS. PAWLOWSKA-MAINVILLE: In your  
4 experience with working with communities, have you  
5 ever heard of cases where individuals say they do  
6 not vote in a certain election because it is how  
7 they viewed this to be the best way to express  
8 their opposition to the entire process of voting  
9 and the project?

10 DR. BUCKLAND: Yes.

11 DR. O'GORMAN: Yes.

12 MS. PAWLOWSKA-MAINVILLE: Thank you.

13 And also in terms of voices, if  
14 community members had voted for the project, and  
15 then at some point they realized that things were  
16 not done well, some of the promises were not kept,  
17 would you say that they are allowed to change  
18 their mind about the position of the project with  
19 the assumption that they have a form of community,  
20 or self-determination as a community?

21 DR. BUCKLAND: Absolutely. And that's  
22 particularly important given the 100-year life  
23 span of the project. It means there could be some  
24 decisions changed.

25 MS. PAWLOWSKA-MAINVILLE: Thank you.

1                   And just one second -- you answered  
2 this question.

3                   Sorry, going back to your methodology  
4 and the idea of peer review, would you say that  
5 most often First Nations and grassroots voices,  
6 individual voices are not -- are seen by academia  
7 and scholarship as recognizable knowledge?

8                   DR. O'GORMAN: Definitely.

9                   DR. BUCKLAND: Yes.

10                  MS. PAWLOWSKA-MAINVILLE: Thank you.

11                  You may have mentioned this before,  
12 but you both have your PhDs, correct?

13                  DR. O'GORMAN: Yes.

14                  DR. BUCKLAND: Yes.

15                  MS. PAWLOWSKA-MAINVILLE: And you work  
16 with indigenous communities?

17                  DR. BUCKLAND: Correct.

18                  DR. O'GORMAN: Yes.

19                  MS. PAWLOWSKA-MAINVILLE: Have you  
20 looked at the credentials of the Manitoba Hydro  
21 consultants for this project?

22                  DR. O'GORMAN: Like overall every  
23 witness?

24                  MS. PAWLOWSKA-MAINVILLE: Yes, for the  
25 witnesses that are presenting on behalf of the

1 Partnership or Hydro?

2 DR. BUCKLAND: I have not.

3 DR. O'GORMAN: Neither have I, no.

4 MS. PAWLOWSKA-MAINVILLE: Are you  
5 aware that many of them have masters degrees?

6 DR. BUCKLAND: I didn't know that but  
7 it doesn't surprise me.

8 MS. PAWLOWSKA-MAINVILLE: In your  
9 experience as instructors at the university, would  
10 you say that someone with a masters degree has the  
11 knowledge and depth to grapple with some of the  
12 issues that are raised here?

13 DR. O'GORMAN: I don't think that  
14 capacity is naturally or straight forwardly  
15 related to higher education, right? Some people  
16 might be quite insightful without a bachelor's  
17 degree, and some people might be quite insightful  
18 about another issue with a PhD. It depends on the  
19 person.

20 THE CHAIRMAN: Mr. Bedford?

21 MR. BEDFORD: I think for this line of  
22 questioning you need to lay a proper foundation.  
23 So the foundation would be, do Dr. O'Gorman and  
24 Dr. Buckland know the consultants and people who  
25 have worked on this area of this project? Have

1 they worked with them in the past? Are they able,  
2 through that direct knowledge, able to assess  
3 their qualifications and abilities?

4 We all know in life that you don't  
5 judge people by the number of letters that might  
6 follow their name. If you did that, you would  
7 sadly misjudge me, for example.

8 THE CHAIRMAN: I often feel the same  
9 way, Mr. Bedford. So I think that Dr. O'Gorman  
10 answered that reasonably well and I'm not sure  
11 that --

12 MS. PAWLOWSKA-MAINVILLE: I don't have  
13 any other -- sorry.

14 THE CHAIRMAN: That was your last  
15 question?

16 MS. PAWLOWSKA-MAINVILLE: No, I just  
17 wanted to verify that precisely, just like in  
18 people who don't have PhDs, who can qualify and  
19 perhaps be witnesses, indigenous people who don't  
20 have any letters under their name can also become  
21 sources of information that do not need peer  
22 reviews.

23 THE CHAIRMAN: And I think we accept  
24 that as a given.

25 MS. PAWLOWSKA-MAINVILLE: And that's

1 fine.

2 And then final question that I have  
3 for you is, do you know if any of the CEC reports  
4 for Manitoba Hydro are peer reviewed?

5 DR. O'GORMAN: So the reports such as  
6 ours?

7 MS. PAWLOWSKA-MAINVILLE: No, the  
8 reports done by Manitoba Hydro to the CEC, do you  
9 know if they are peer reviewed?

10 DR. BUCKLAND: I don't know, but I  
11 would suspect not, but that's a guess.

12 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
13 you.

14 And the last is somewhat of a large  
15 and a broad question, just to sum up some of the  
16 questions that I had. It is in regards to the  
17 statement that was raised as an issue about  
18 communities that do not have experience in  
19 developing and running a mega project like the  
20 Keeyask dam that you mention in your report. And  
21 for the record, the elders from our group were not  
22 offended by the comment, but they did have a  
23 question about experience as well.

24 So, in your experience as educators,  
25 are average individuals, Aboriginal or not,

1 specifically individuals who are harvesters and  
2 trappers, who are not immersed or educated in  
3 subjects like economics, business issues, business  
4 strategies, engineering, have the capacity to  
5 understand some of the issues that are raised at  
6 these hearings?

7 DR. BUCKLAND: Absolutely.

8 DR. O'GORMAN: Definitely.

9 MS. PAWLOWSKA-MAINVILLE: Okay, thank  
10 you. Those are all of the questions that I had.

11 THE CHAIRMAN: Thank you, Ms.  
12 Pawlowska-Mainville. Pimicikamak, Ms. Kearns?

13 MS. KEARNS: Hello. Stephanie Kearns  
14 for Pimicikamak.

15 I just have a couple of quick  
16 questions because most of my topics were covered.

17 So could you, Dr. O'Gorman, please  
18 clarify whose projections for adjusted gross  
19 revenue you used for your interest calculations?

20 DR. O'GORMAN: They were hypothetical  
21 values, so what I wanted to do in that analysis is  
22 think about a low level of adjusted gross revenue,  
23 which would be zero, and then a high level of  
24 adjusted gross revenue, which I chose as  
25 200 million.

1                   I could have chosen a higher number.  
2    What I did was I tried to match, to the best of my  
3    ability, the annual distributions that were  
4    presented in the Partnership's documents, which  
5    range between 5 to 8 million, and that stemmed  
6    from the information response request from the  
7    NFAT proceedings.

8                   And as I mentioned in my presentation,  
9    I ended up with annual figures that are lower than  
10   those values, but they are somewhat similar.

11                  MS. KEARNS:   And how confident are you  
12   in the higher end projections, in terms of the  
13   confidence that the Partnership will achieve those  
14   adjusted gross revenues?

15                  DR. O'GORMAN:  It is really hard for  
16   anyone to say.  So you would need a crystal ball,  
17   which I don't have and the Partnership doesn't  
18   have.  Those figures are very uncertain, both on  
19   the high end and the low end.  We just simply  
20   don't know the level of interest rates, the  
21   potential demand for energy going into the future.  
22   That will be covered more in the NFAT than I could  
23   possibly state.

24                  MS. KEARNS:  Thank you.

25                  THE CHAIRMAN:  Thank you, Ms. Kearns.

1                   Mr. Craft, that concludes  
2 cross-examination. Any re-direct?

3                   MS. CRAFT: I have two short questions  
4 on re-direct, Mr. Chair.

5                   Drs. Buckland and O'Gorman, I promise  
6 these will be short, and thank you for your  
7 patience in coming back today.

8                   Yesterday you confirmed for  
9 Mr. Roddick that you read the Cree Nation Partners  
10 environmental evaluation reports. And I wanted to  
11 ask you if in that particular report you found any  
12 comments in the EER in the nature of those that  
13 were made and referred to in your presentation,  
14 the comments made by Mr. Spence or Ms. McIvor, as  
15 you cited in the presentation?

16                  DR. BUCKLAND: The document is  
17 descriptive and doesn't contain very many quotes,  
18 and so we didn't find quotes of a similar nature.

19                  MS. CRAFT: Okay. So would it be fair  
20 to say then the form is not the same as what  
21 you've put forward in terms of the comments that  
22 you have illustrated?

23                  DR. BUCKLAND: Yes.

24                  MS. CRAFT: Okay. What about the  
25 substance of some of the comments in the report,

1 would you find something similar in the substance  
2 of the comments?

3 DR. BUCKLAND: Yes, there is strong  
4 similarity in substance.

5 MS. CRAFT: Would you direct us to  
6 where we might find some of those similar comments  
7 in that EER?

8 DR. O'GORMAN: We don't have it here  
9 with us.

10 DR. BUCKLAND: I have a portion of it.  
11 And on pages 40 through 42 there is a listing of  
12 concerns, starting with 7.71, interference with  
13 the right to hunt, trap, fish for food; 7.72, loss  
14 of historical connection to the land that will be  
15 flooded, et cetera.

16 So there is several points. And for  
17 each point there is essentially a two to four  
18 sentence description, which is helpful, it just  
19 didn't contain the emotive quality of the quotes.

20 MS. CRAFT: Thank you.

21 THE CHAIRMAN: What is that document  
22 that he was just reading from?

23 MS. CRAFT: The environmental  
24 evaluation report of the Cree Nation Partners.

25 THE CHAIRMAN: Thank you.

1 MS. CRAFT: Okay. If I can refer you  
2 back to slide 25 that Mr. London was asking you a  
3 question on, and particularly the second bullet,  
4 which lists that important segments of the Keeyask  
5 Partner communities do not agree with the project  
6 going forward.

7 My question to you on this important  
8 segment is whether or not this is, in your view,  
9 and your intention is this is a purely  
10 quantitative statement, or is there a qualitative  
11 aspect to what it is that you have put forward  
12 here?

13 DR. BUCKLAND: It is both. There are  
14 a minority of people who voted against the  
15 project. And someone who is vehemently opposed to  
16 the project is different than someone who, well,  
17 you know, I don't support it, but if it goes  
18 ahead, I can live with it. I mean, those are very  
19 different positions relative to a referendum. So  
20 I think both quality and quantity are very  
21 important.

22 MS. CRAFT: Thank you. Those are my  
23 questions.

24 THE CHAIRMAN: Thank you very much.

25 That concludes our examination of

1 these witnesses. I want to thank you very much  
2 for your participation, for preparing these  
3 reports and the presentation, and especially for  
4 coming back a second day. So thank you.

5 DR. BUCKLAND: Thank you very much.

6 THE CHAIRMAN: We will break for 15  
7 minutes and come back at 3:25 with the going  
8 forward -- oh, I'm getting ahead of myself. I  
9 didn't allow any panel questions, so don't run off  
10 just yet.

11 Mr. Shaw?

12 MR. SHAW: No questions.

13 THE CHAIRMAN: Ms. Bradley?

14 MS. BRADLEY: I actually have one.

15 I have one question, and I think,  
16 Ms. O'Gorman, I think I will direct it to you, but  
17 if you are not the one, then that's fine.

18 Page 19 of your report, near the  
19 bottom under the section 3.1.1, labour income from  
20 Keeyask, I'm not going to ask you about income.  
21 But going down toward the end of the first  
22 paragraph, it is referenced there that the KCN  
23 members would hold about 15 per cent of the total  
24 projected jobs. And then in the paragraph that  
25 immediately follows that, it states that there is

1 risk that the KHLP will not be able to meet this  
2 target. And then in there it goes on to indicate  
3 the number of people who were trained through the  
4 Keeyask Hydro Limited Partnership. And then there  
5 is an indication that a number of these  
6 individuals have only taken one course.

7           So I have a few questions of the  
8 number of people who were trained. Do you have in  
9 your research information, or can you respond as  
10 to how many were successful with their training,  
11 how many have been able to obtain employment  
12 because of their training? And I'm most curious  
13 about, have taken only one course, and what would  
14 the rationale be for that? And how would one  
15 course lead into training for their job?

16           DR. O'GORMAN: Right. Very good  
17 question.

18           So the 1,876 refers to the successful  
19 completion of one course. That is obviously not  
20 an indicator of whether or not a person is  
21 qualified. That could be the one course that  
22 brings them up to the level of being qualified, or  
23 it could be just one step towards being qualified.  
24 I'm not familiar, and I did look through the  
25 Wuskwatim reports on skill development, and there

1 was no indication of a person surpassing that  
2 level. It is a very, very hard thing to  
3 determine, so it is very vague.

4 These data refer to one course. They  
5 talk about how many people had completed certain  
6 types of courses. But how that relates to the  
7 eventual demand for labour on the construction  
8 project is currently unknown.

9 MS. BRADLEY: Okay. Thank you.

10 So that's probably the math or the  
11 physics course that seems to be a stumbling block.  
12 Thank you.

13 THE CHAIRMAN: Mr. Yee?

14 MR. YEE: Thank you, Mr. Chairman. I  
15 have a follow-up question from Judy's. It is page  
16 13, section 2.1.2, training. It is along the same  
17 lines, the same statistics are given there. But  
18 essentially what you are saying is that, as part  
19 of the training initiative, there were  
20 approximately 800 jobs with both Wuskwatim and  
21 Keeyask projects.

22 I'm just wondering why you didn't  
23 follow that up in terms of how many jobs, given  
24 that Wuskwatim has been more or less done, how  
25 many jobs were successfully created, and give us a

1 better idea. I guess in the context of community  
2 economic development, how does this training  
3 component fit in, in terms of was it a successful  
4 component, or what is your view on that, please?

5 DR. O'GORMAN: So I do mention in the  
6 section that we were just discussing, which the  
7 chairperson mentioned on page 19, I believe we  
8 were on. In that section I talk about the fact  
9 that Wuskwatim did provide employment for  
10 something near 900 person years, which is higher  
11 than the Keeyask level, indicating confidence that  
12 indeed the Keeyask project will match those  
13 employment numbers, given that the project draws  
14 from a similar labour market. So I do note the  
15 importance of that, and the fact that in achieving  
16 that goal, naturally the word qualified is very  
17 subjective, depending on the contractor in  
18 question. But with regard to the comparison of  
19 Keeyask versus Wuskwatim, I do indicate that we  
20 have confidence in the ability of the project to  
21 find labour, given Wuskwatim's success in that  
22 regard.

23 MR. YEE: Thank you. No further  
24 questions.

25 THE CHAIRMAN: And I have no

1 questions, so now I can wrap it up. So, again,  
2 thank you very much for your participation here.

3 DR. BUCKLAND: Thank you.

4 THE CHAIRMAN: We will break for 15  
5 minutes, so come back just after 3:30 with the  
6 going forward panel and cross-examination.

7 (Proceedings recessed at 3:17 p.m. and  
8 reconvened at 3:30 p.m.)

9 THE CHAIRMAN: We are into  
10 cross-examination of the Moving Forward Panel.  
11 There has been some horse trading, or there was  
12 some horse trading a day or two ago. I think I  
13 have it straight; Peguis swapped with Consumers  
14 Association, so Consumers Association will be at  
15 the end of the run. We have Concerned Fox Lake  
16 Citizens up now, followed by Pimicikamak, then  
17 Wildlands, and finally Consumers. So for today we  
18 will start off with Concerned Fox Lake Grassroots  
19 Citizens, Ms. Pawlowska-Mainville.

20 MS. PAWLOWSKA-MAINVILLE: Thank you.  
21 This is the third time in one day. I think I have  
22 beat my own record.

23 THE CHAIRMAN: I think you did earn  
24 your fees.

25 MS. PAWLOWSKA-MAINVILLE: Good

1 afternoon I have a few questions, hopefully about  
2 15 minutes. So, the first question I have is  
3 regarding page 31. And that's regarding the MAC  
4 or the monitoring advisory committee. And one of  
5 the questions that I have is how will the  
6 representative from each of the communities be  
7 selected, on what basis?

8 MR. BLAND: Hello, Ted Bland. From  
9 our community we will be looking at elders,  
10 resource users, youth, but mostly people who have  
11 been around and shared a lot of traditional  
12 knowledge.

13 MS. PAWLOWSKA-MAINVILLE: And what is  
14 the specific role that this individual will have?  
15 What will they be doing?

16 MR. BLAND: On the MAC?

17 MS. PAWLOWSKA-MAINVILLE: Yes.

18 MR. BLAND: I guess as the role of the  
19 MAC, it is an advisory committee, they would be  
20 sharing knowledge, gathering knowledge, and  
21 working with the limited partnership, or making  
22 recommendations or advising the limited  
23 partnership.

24 MS. PAWLOWSKA-MAINVILLE: Is this more  
25 of an office job or is this more of a land based

1 kind of job?

2 MR. BLAND: I would think it would  
3 require a little bit of office work. But like I  
4 said, it depends on who is appointed. The person  
5 that would be appointed would be appointed by our  
6 council, chief and council, and of course they are  
7 going to be there to represent York Factory. But  
8 a lot of the times when we have our knowledge  
9 holders or resource users or elders that come in,  
10 they come into future development to bring forward  
11 a lot of issues or concerns or just information.  
12 And they use us to relay information, you know,  
13 through internet or whatever, if it needs to be  
14 done quickly, otherwise it is sharing information  
15 just by recording it and then passing it on.

16 MS. PAWLOWSKA-MAINVILLE: Do you have  
17 a job description already made out for this  
18 individual?

19 MR. BLAND: Hang on for one second.  
20 We don't have one quite yet.

21 MS. PAWLOWSKA-MAINVILLE: And will  
22 this individual --

23 MR. BLAND: We do, sorry.

24 MS. ANDERSON: Can I just ask you to  
25 clarify? Like you were asking about the committee

1 member, right, not the -- I don't know if -- you  
2 were talking about a job --

3 MS. PAWLOWSKA-MAINVILLE: I'm talking  
4 about the monitoring advising committee.

5 MS. ANDERSON: The representative,  
6 right, you are talking about?

7 MS. PAWLOWSKA-MAINVILLE: Yes, on page  
8 31, it says it will have a representative from  
9 each of the partner communities and Manitoba  
10 Hydro. And so I'm just inquiring a little bit  
11 about the job that entails the position of this  
12 representative from each of the partner  
13 communities.

14 MS. ANDERSON: I don't think there is  
15 a job description per se, but there is  
16 responsibilities for that member -- for us, like  
17 our member, we expect them to take the concerns of  
18 the community to this advisory committee to make  
19 recommendations on what our members are seeing in  
20 the environment.

21 MR. BLAND: Some of the  
22 responsibilities would be sharing information  
23 related to monitoring, reviewing monitoring  
24 activities, receiving updates and reports about  
25 environmental, social, economic monitoring

1 activities, providing input, consider whether  
2 there are any changes happening, and just monitor  
3 any activities as required.

4 MS. PAWLOWSKA-MAINVILLE: Okay. And  
5 you mentioned earlier that it would be a harvester  
6 or elder, that elder will be required to do this  
7 sharing of information, reviewing of monitoring  
8 activities, looking at the social economic impacts  
9 and looking for input?

10 MR. BLAND: That's a possibility, yes.  
11 A knowledge holder, user -- like, I would consider  
12 myself to be a knowledge holder because I go out  
13 on to the land quite regularly. I hunt. I pass  
14 on knowledge to my younger generation. I pass on  
15 knowledge to my children. But I also work in an  
16 office, so it could be considered somebody like  
17 me.

18 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
19 you. And then will one of the roles and  
20 responsibilities of this individual have, because  
21 you said it does require land based activities, a  
22 form of conservation officer like duties, meaning  
23 they can have some form of power associated with  
24 being responsible for the environment?

25 MR. BLAND: I think at some point as

1 we move forward we are looking at a stewardship  
2 program. At this point a lot of the information  
3 that's going to be shared in the beginning is  
4 traditional knowledge. As I pointed out, it is  
5 going to come from knowledge holders, resource  
6 users, elders.

7 MS. PAWLOWSKA-MAINVILLE: Okay, thank  
8 you.

9 MS. ANDERSON: Can I just add? I want  
10 to add Fox Lake's process usually is we make a  
11 call out to our members who are interested in  
12 being on a committee, and if we get interested  
13 applicants or interested persons they submit names  
14 to chief and council. And then we probably will  
15 confer with our core group users in who would be  
16 the representatives. We kind of try to make a  
17 widespread decision in the community of who would  
18 be the representative. And then we would expect  
19 that person to -- like we would go over with them  
20 what the responsibilities would be of that  
21 position, especially bringing committee  
22 information to the committee, and then also  
23 relaying back what the results of those decisions  
24 are, those recommendations that they took forward.  
25 I just wanted to say that it is kind of different

1 in each community, and that's why I wanted to make  
2 sure you got our process.

3 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
4 you. So in terms of having a call out for the  
5 position and the job requiring a little bit of  
6 office work and a little bit of land based work,  
7 so I'm assuming that an elder would not have a  
8 resume that they would submit in order to have  
9 this position, or are you hoping to have the  
10 elders participate in a program where they have  
11 resumes created?

12 MS. ANDERSON: Not a resume, like  
13 their experience, their interest, so we would  
14 assist them. Like if somebody is there who can't  
15 write, we would assist them. We won't deny nobody  
16 if they couldn't write or, you know what I mean?  
17 We would consider everybody who was interested.

18 MS. PAWLOWSKA-MAINVILLE: But for the  
19 position you would require a resume?

20 MS. ANDERSON: No, I said a letter  
21 saying they are interested, stating that they are  
22 interested.

23 MS. PAWLOWSKA-MAINVILLE: Okay. How  
24 will you determine their experience and knowledge  
25 in order to fulfill that position?

1 MS. ANDERSON: We would discuss it  
2 with them and also we would probably entail the  
3 core group users in our community, because that's  
4 kind of where the focus is, is on the environment  
5 and the activities of that sort. So we would go  
6 to that core group of elders, resource users. We  
7 know who our people are, we know their experience,  
8 so like we don't grill them on a resume.

9 MS. PAWLOWSKA-MAINVILLE: So if these  
10 individuals are core group elders, for example, do  
11 you have, do you envision that they will have the  
12 skills to work in an office and deal with some of  
13 the issues such as having internet access, writing  
14 reports, sharing information and distributing  
15 information?

16 MS. ANDERSON: That would be a  
17 requirement, and if they couldn't do it we would  
18 assist them is what I'm telling you. Most of our  
19 communities have internet access, we all have  
20 computers, we all have basic offices and we will  
21 assist whoever is the person to get, you know,  
22 what their responsibilities are to make sure that  
23 they can complete them.

24 MS. PAWLOWSKA-MAINVILLE: And these  
25 individuals, will they look after a specific area

1 or the entire area? Like, how will their  
2 placement on the land look like?

3 MR. BLAND: I just wanted to add too  
4 before we move forward on that question, elders, I  
5 can be considered an elder. I'm a former chief of  
6 my community, if you are knowledgeable about First  
7 Nations then you would know. I have had that role  
8 for just a couple years, but I would be considered  
9 somebody that is considered to be an elder in our  
10 community. I don't look old, hopefully, I don't  
11 want to cross any lines here, but I would just say  
12 that, you know, a lot of what we do in a  
13 community, it depends on what you do for a  
14 community to be considered a knowledge holder or a  
15 resource user or an elder. So I kind of -- I see  
16 where you are heading with that, and I just want  
17 to say that we do have a lot of people in our  
18 community that are considered elders that are  
19 capable of using the internet, of writing letters,  
20 and stuff, you know, just whatever needs to be  
21 done in an office. As well as people that are  
22 more than, you know, I don't want to say  
23 qualified, have the experience of living out on  
24 the land and knowing the history of it. I would  
25 consider myself to be one of those people. I go

1 up to our traditional territory in York Factory on  
2 a regular basis. I know the territory in York  
3 Factory. I know how to survive in the bush. I  
4 know how to hunt. Like I said earlier, I teach my  
5 kids how to hunt and fish and all of those  
6 different things. So I'm just -- I just want to  
7 let you know that we have a lot of people just  
8 like me in our communities.

9 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
10 you, I appreciate that. So going back to my  
11 former question. So will this representative be  
12 responsible for a specific area of land or will  
13 they be responsible for the entire region? How  
14 will that land be selected?

15 MR. BLAND: I think what we have  
16 identified is mostly our resource management  
17 areas. Tataskweyak has a resource management area  
18 which we are all familiar with, Fox Lake,  
19 similarly and York Factory we have a resource  
20 management area, and those are areas that are  
21 identified to be monitored by the First Nations.

22 MS. PAWLOWSKA-MAINVILLE: Thank you.

23 MS. ANDERSON: For Fox Lake we would  
24 use all of the area that we utilize, so it may not  
25 be just restricted to our resource management

1 area, our whole traditional territory.

2 MS. PAWLOWSKA-MAINVILLE: So I can  
3 assume that you mean both resource management  
4 areas and traditional territories then, correct?

5 MS. ANDERSON: Yes.

6 MS. PAWLOWSKA-MAINVILLE: Thank you.  
7 So my next set of questions is in regards to  
8 monitoring plans on page 8.

9 MS. KIDD-HANTSCHER: If I could  
10 perhaps just add a couple of additional comments  
11 to the KCN representatives. If we are looking at  
12 the terms of reference for the monitoring advisory  
13 committee, those are scheduled in the JKDA and  
14 that's schedule 4.7 to be precise. And the  
15 terms -- I want to come back to a couple of the  
16 points that have been raised or questions asked  
17 about a job description, and I think the answers  
18 given have been excellent, but if you were to read  
19 the terms of reference it clearly outlines what  
20 the function of the committee is. And you can  
21 extrapolate from that what the job descriptions  
22 really would look like if you want to define them  
23 that technically for the representatives from the  
24 communities.

25 And the other thing that I think is

1 really important, as how I was interpreting a  
2 number of the questions, is about the support that  
3 will be there for the individual that is chosen,  
4 or individuals for each of the communities. And  
5 they will receive support from a number of  
6 sources. And I think they are all really  
7 important when you put them all in the basket,  
8 because we talked yesterday very quickly at the  
9 end about how integral MAC is to the partnership's  
10 governance structure, so they will receive support  
11 from their own staff, from their implementation  
12 offices, from staff that are working on the  
13 community based monitoring programs. Each of the  
14 communities is entitled or is eligible to bring  
15 advisors to the MAC meetings, and that's outlined  
16 in the terms of reference. And those advisors  
17 don't just come to meetings, they provide support  
18 in between meetings for all processes related to  
19 MAC. And also finally and really importantly  
20 Hydro is very committed to providing support to  
21 those MAC representatives from each of the  
22 communities. This isn't a sink or swim approach.  
23 This is we will work very collaboratively, and we  
24 have done that and proven that very effectively on  
25 Wuskwatim with the functioning of the MAC.

1                   So I just wanted to add those points  
2 because I think they were key to the questions  
3 that were being asked.

4                   MS. PAWLOWSKA-MAINVILLE: Thank you.  
5 So my next set of questions in regards to  
6 monitoring plans, as per slide on page 8; so are  
7 the ATK monitoring plans that are done by the  
8 First Nations done in a co-management approach?  
9 If I can ask in order, we will start with  
10 Ms. Anderson.

11                   MS. ANDERSON: What do you mean  
12 co-management? With all communities or --

13                   MS. PAWLOWSKA-MAINVILLE: Co-managing  
14 I mean the ATK co-managing with western science,  
15 for example?

16                   MS. ANDERSON: Okay. So we are taking  
17 that co-management to mean is there another  
18 independent body that's involved in our TK, or not  
19 our TK, our monitoring program. For Fox Lake it  
20 will be an independent initiative.

21                   MS. PAWLOWSKA-MAINVILLE: I'm  
22 referring to page 8, so on the slides you have  
23 technical science under environmental monitoring  
24 plans, and then Aboriginal traditional knowledge.  
25 So two kind of separate but aligned. So I'm just

1 wondering for the Aboriginal -- so ATK, will that  
2 be a form of co-management, like will you use any  
3 science data at all in there, or will you rely  
4 simply on ATK?

5 MR. BLAND: For York Factory it is  
6 going to be strictly traditional knowledge, ATK,  
7 it is just going to be York Factory only. It is  
8 not co-management, because they are two  
9 separate -- what would you use, they are separate  
10 things I guess, separate information.

11 MS. PAWLOWSKA-MAINVILLE: Thank you.

12 MR. BLAND: But we will be working  
13 together in the western science area with our  
14 youth and that, in order for us to develop as we  
15 move forward as partners.

16 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
17 you. Mr. Spence for your community?

18 MR. SPENCE: Good day, Mr. Chairman,  
19 panel. I have notes in front of me, but I guess I  
20 will just respond to the question here. Our  
21 community TCN will create, after identifying  
22 concerns and evaluating the resources available  
23 for that year to create a monitoring plan where  
24 our elders and members and youth and the  
25 harvesters will participate. And that will be

1 done annually, and that's also a sit and meet with  
2 the other proponents, and also with the partner  
3 Manitoba Hydro. And Hydro will have its own, I  
4 won't call them advisors, but consultants that  
5 will do the work under the white man's rules. And  
6 after that studies are implemented. There would  
7 be meetings internally within TCN to monitor,  
8 evaluate, review the program, the monitoring  
9 program. Of course we would also meet with  
10 certain departments with Manitoba government,  
11 Federal government, in implementing the plan. But  
12 most importantly it will be TCN.

13                   And sometimes I take an exception  
14 where the intellect, the intelligence of my elders  
15 are questioned based on the academics. My  
16 grandfather was 95 years old, and at that time he  
17 passed away. My grandfather told us children, "I  
18 remember, I look at the priest when he put the  
19 cross on my forehead, I didn't know what was  
20 happening." My father never set foot in school,  
21 not one hour, not one minute. But each morning  
22 when he got up as a child he heard the wind  
23 through the rustling of the trees and the leaves.  
24 And he lived that environment, he understood that  
25 environment, he felt that environment, he was very

1 part of that environment.

2 So when we speak of our elders  
3 participating meaningfully in these committees,  
4 they bring forth convictions in their statements.

5 I cannot do that. You cannot do that. So do not  
6 judge my people based on your academics in  
7 understanding our way of life. You went to school  
8 like everybody. I went to school. My grandfather  
9 didn't. My mom did not, but my mom can tell me  
10 about the environmental changes she witnessed.

11 She was about 40 years old when this impact  
12 happened; Kelsey was built, Kettle. I was born in  
13 1956, I saw the changes. I was 20 years old when  
14 the CRD happened. Our elders cried. Our elders  
15 can speak and defend the statements they make in  
16 regards to environmental changes. They will be  
17 very important in the process of this, the  
18 monitoring committees that we have. Yes, there  
19 will be other committees that we may not use them,  
20 but they will be part of the community. They are  
21 part of -- we honour and respect our elders as  
22 such. They are the voice and they are the  
23 carriers of knowledge. And that's what we bring  
24 here.

25 They participated in over 2,000

1 meetings we had in Split Lake, TCN, to look at  
2 this partnership. It is not that we didn't go  
3 into this blindly. Our people choose through a  
4 referendum to be part of this process. Yes, there  
5 are voices out there that question why. We honour  
6 and respect that voice, but that doesn't mean we  
7 exclude them in this process. They have every  
8 right to be there. My partners here, we will be  
9 elders, and I will be there. I'm sorry, my world  
10 has changed this morning. But I don't want to  
11 dwell on that.

12                   But I was 21 years old when I started  
13 this process in terms of Manitoba Hydro  
14 relationship. I have been there. We fought many  
15 battles with Manitoba Hydro. But on Keeyask we  
16 are partners. TCN will ensure that through the  
17 agreement that we have that our voice be heard,  
18 and participate meaningfully, willingly, in these  
19 different committees that are identified to police  
20 the agreement that we have among ourselves and  
21 respectfully the other proponents.

22                   It is not this one page. This is what  
23 we have for this year. But we have a 30 years  
24 relationship. We are going to have another long  
25 term relationship. I respect the voice of

1 outside. We talk about primary stakeholders, I  
2 have a different understanding, interpretation of  
3 such. Maybe I'm -- I'm sorry, I will stop there.

4 MS. SAUNDERS: I would like to add to  
5 that. As York Factory said in its presentation,  
6 our stewardship plan will apply both traditional  
7 knowledge and western science. We see the value  
8 in both perspectives and methods. Also we want  
9 our members, particularly youth, to gain knowledge  
10 and experience in both. ATK will have a  
11 distinguishable voice in the EIS and will not be  
12 melded with western science so as to become  
13 invisible. The EA process honours and respects  
14 ATK and the Cree worldview. It is recognized that  
15 ATK has value in it and of itself. Thank you.

16 MS. PAWLOWSKA-MAINVILLE: From Fox  
17 Lake?

18 MS. ANDERSON: I think that we know  
19 ourselves that our elders are very knowledgeable  
20 and that their knowledge is paramount to our  
21 processes, and we do not take that lightly. We  
22 will make sure that all proponents are aware of  
23 that. And we do value the -- or we do take into  
24 account the scientific knowledge also. We don't  
25 discount it, but we also meld it with our

1 knowledge. Thank you.

2 MS. PAWLOWSKA-MAINVILLE: Thank you.

3 So my understanding is that TCN has this immense  
4 wealth of knowledge by the elders, but they will  
5 also work under white man's rules. York Factory  
6 will look at science made by students, and they  
7 will take into consideration TK and western  
8 science and Fox Lake will do the same. So my  
9 question then is, if you have the environmental  
10 monitoring plans and you have technical science on  
11 one side, are you willingly including Aboriginal  
12 traditional knowledge and adding science on top of  
13 that? Can it not stand alone without the support  
14 of science?

15 MR. BLAND: Western science, all the  
16 studies that have been done through the  
17 environmental impact statement and everything  
18 else, none of that could have been done without  
19 having the First Nations there. We are the ones  
20 that showed Manitoba Hydro where the fish are,  
21 where they are in the spring time, where the  
22 sturgeon go, where the geese fly and where they  
23 land, where the moose are, where the caribou come  
24 in the winter time. All of this information was  
25 shared and all of these studies and impacts that

1 were done were shared by us. And without all of  
2 this information, western science wouldn't have  
3 been able to produce documents.

4 Our traditional knowledge is also  
5 something that we recognize and respect. It is  
6 kept on two different levels because we want it  
7 that way. We chose to work with our elders and  
8 our youth, our knowledge holders. Those are the  
9 people that are going to continue the monitoring  
10 programs, they are going to continue to pass on  
11 traditional knowledge. Thank you.

12 MS. ANDERSON: Okay. For Fox Lake I  
13 said we don't discount the science. We said that  
14 most of the studies that were done, like we  
15 enhanced the scientific studies, that's because of  
16 our people were involved in those studies. So we  
17 feel that they were done better. And I guess  
18 going forward for our monitoring programs, we  
19 are -- we have a higher standard than what the  
20 regulators say, so that's why I say we don't  
21 discount the science because we were part of some  
22 of those studies, but I think we will have a  
23 higher standard in our monitoring programs.

24 MS. PAWLOWSKA-MAINVILLE: Thank you.  
25 So it is my understanding that ATK will be

1 included in the technical science of the  
2 environmental component or -- so they are not  
3 going to be kept separate as it is currently  
4 written on the slide?

5 MS. NOTHOVER: What is written on the  
6 slide is the list of plans. So there are those  
7 five technical science plans and then the  
8 Aboriginal traditional knowledge plans. They are  
9 not co-managed. The communities are responsible  
10 for their community based plans which, as they  
11 say, may include technical science with their ATK.  
12 And then Manitoba Hydro is responsible for the  
13 western science plans. Aboriginal traditional  
14 knowledge, as they mentioned, has been built into  
15 those plans to get the information of where  
16 sturgeon and caribou and geese are found. And  
17 then our partners are going to be working side by  
18 side with our western scientists on those plans to  
19 implement them. So those -- so what actually is  
20 happening is the western science plans have ATK  
21 included in them, and the other plans are going to  
22 be the discretion of the communities, how they  
23 undertake them.

24 MS. PAWLOWSKA-MAINVILLE: So may I ask  
25 how come there was not a co-management approach

1 used for the environmental monitoring plans?

2 MS. NOTHOVER: I think I explained in  
3 my presentation, and Vicky did it during her  
4 presentation about the two track approach to the  
5 assessment, and that's what we are going to do  
6 going forward.

7 MS. COLE: I'm not sure I'm totally  
8 following what you are getting at in terms of  
9 co-management. We have a monitoring advisory  
10 committee that includes five representatives from  
11 our partners, five Manitoba Hydro representatives,  
12 as well as advisors from both parties. We will  
13 work together collectively to implement the  
14 technical monitoring programs and to review and  
15 discuss the outcomes of the ATK monitoring  
16 programs. And together we will determine whether  
17 those monitoring programs need to be updated or  
18 changed, in addition to whether mitigation --  
19 whether there are changes required to mitigation  
20 on an ongoing basis. So from my perspective, I'm  
21 a little bit lost. We are working together as  
22 partners to implement and manage that program  
23 together.

24 MS. PACHAL: I think Martina said it  
25 most eloquently. Is that as a partnership there

1 is value in both of the perspectives of both  
2 western science and Aboriginal traditional  
3 knowledge.

4 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
5 you. So I'm going to ask this question again to  
6 the community and the First Nations members. So  
7 who will do the science data collection? Will it  
8 be community members or will it be Manitoba Hydro?

9 MS. SAUNDERS: Can you ask that  
10 question again?

11 MS. PAWLOWSKA-MAINVILLE: Since you  
12 all have mentioned that you will include science  
13 data in your components of ATK, who will do the  
14 science data collection? Will it be community  
15 members or will it be Manitoba Hydro or the  
16 consultants?

17 MS. SAUNDERS: What do you mean by  
18 science data?

19 MS. PAWLOWSKA-MAINVILLE: I mean the  
20 western science that's gathered, that defers from  
21 the ATK.

22 MS. SAUNDERS: Well, it would be like  
23 a joint effort. It wouldn't be solely just for  
24 one partner to collect that data, because like my  
25 colleague mentioned that it is a joint effort.

1 When these studies are being conducted in our  
2 territories, it is the First Nations who take --  
3 well, okay, I will give you an example -- who take  
4 Manitoba Hydro out to go and do specific studies  
5 because they don't know their way around the land.  
6 You know, it is a joint effort, it is not all done  
7 just by one party, and it is something that we  
8 want to do. We can't, like -- like I said  
9 earlier, ATK is not melded with western science.  
10 I don't know if you read our report, but it is  
11 stated throughout the document what Aboriginal --  
12 well I guess the non-aboriginal world would know  
13 it as Aboriginal traditional knowledge, that's the  
14 term that's used, but it is our way of life.

15 MS. PAWLOWSKA-MAINVILLE: So am I to  
16 understand that the youth will not be doing  
17 sampling, they won't be doing collections, water  
18 monitoring, water quality, and writing all this  
19 down and doing the process of scientific  
20 measurements?

21 MS. SAUNDERS: Now you are being a  
22 little more specific. I can speak to that, yes,  
23 they can be included because it is a joint effort.

24 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
25 you. In Fox Lake will it be the same?

1 MS. ANDERSON: Sorry about that. Just  
2 can you repeat that? Sorry? I don't know if you  
3 asked a different question.

4 MS. PAWLOWSKA-MAINVILLE: So in Fox  
5 Lake you mentioned that you will have kind of like  
6 this process where you will collect ATK data, you  
7 will do ground truthing, but you will also look at  
8 western science or data, western knowledge I  
9 guess, in order to have your environmental  
10 monitoring plans. So I'm just wondering will the  
11 scientific data that you plan to include in your  
12 ATK environmental monitoring plan will be  
13 collected by members of the community, so the  
14 scientific data collection will be done by  
15 community members, or will it be done with the  
16 help of the consultants by Hydro?

17 MS. ANDERSON: So for us we expect  
18 that our studies, our ATK studies would inform the  
19 science. And some of our elders core group  
20 resource users have stated that they would like to  
21 be part of the studies, like collecting maybe  
22 water samples, those types of things. But at the  
23 same time, they would decide when they wanted to  
24 use the science itself. And I guess if you want  
25 like a clear cut answer of what they are going to

1 do, like I guess scientists will do the scientific  
2 studies and we will do the ATK studies. There is  
3 different parts that they want to be involved in,  
4 not every part of it.

5 MS. PAWLOWSKA-MAINVILLE: So there  
6 currently is nothing in place, no capacity  
7 building in place to have the community members  
8 learn the methods of the scientific process?

9 MS. ANDERSON: It is being developed,  
10 like we have a plan, but it is not -- like I wish  
11 I could hear all of your questions at once so I  
12 could answer. It is being developed right now, it  
13 is not fully developed, what our monitoring plan  
14 is going to be, but training is a part of it.

15 MS. PAWLOWSKA-MAINVILLE: So training  
16 will be done by community members and they will be  
17 trained in doing data or western science  
18 collection?

19 MS. ANDERSON: It is being developed  
20 right now, we don't have the fine details of the  
21 plan itself, but we want to make sure that ATK and  
22 our members are the ones who are fully involved in  
23 it and fully -- I guess telling us which is the  
24 best way to do it. And if it has to be training  
25 scientifically, I guess we need to address how we

1 are going to do that. And if it is going to be  
2 learning directly on the land with our elders,  
3 then we will ensure that's done also. But there  
4 is nothing been developed, like fine details yet.

5 MS. PAWLOWSKA-MAINVILLE: Okay.

6 MS. PACHAL: I would just like to  
7 point out that we have been undertaking  
8 environmental studies for many years, you have  
9 heard about. And a lot of the members from the  
10 various communities have been, as you heard,  
11 working with the scientists on the land showing  
12 them where the fish are and where the moose are.  
13 We just heard that.

14 So for years members of the  
15 communities of our partners have been working  
16 along with the scientists in the field sharing  
17 knowledge. And if you would have asked some of  
18 the panels that had been up here previously, a lot  
19 of the scientists will tell you the best thing  
20 that they are taking away from this project are  
21 the relationships and the things they have learned  
22 from the members that they have worked with in the  
23 communities. So that capacity has been built for  
24 years.

25 I also would like to take a minute,

1 Mr. Chair, Mr. Spence is dealing with a serious  
2 family issue and he had to excuse himself. Sorry.

3 MS. PAWLOWSKA-MAINVILLE: Thank you.

4 Again, I'm may be pressing on this, but if this  
5 capacity has been developed for the last ten  
6 years, isn't the community at a point where they  
7 don't need scientists to come into the community  
8 and to research, that they can conduct their own  
9 research studies based on the skills they have  
10 acquired with working with those scientists?

11 MS. NOTHOVER: Are you referring to  
12 that in regard to their Aboriginal traditional  
13 knowledge plans, or community based plans or the  
14 western technical science plans?

15 MS. PAWLOWSKA-MAINVILLE: I'm  
16 referring to the Aboriginal traditional knowledge  
17 environmental monitoring plans.

18 MR. BLAND: So can you rephrase the  
19 question then?

20 MS. PAWLOWSKA-MAINVILLE: Well, it was  
21 stated that you, the three members with Mr. Spence  
22 speaking for TCN, will conduct your own ATK  
23 monitoring plans. And you all stated that you  
24 will include western science and the data, as well  
25 as ATK studies in those plans. And my question

1 now is, the data that will be gathered in the  
2 community for these plans, will it be collected by  
3 First Nation members who are experienced in the  
4 field of doing studies, chemistry, environmental  
5 studies, scientific studies? Do they have the  
6 capacity to do those things?

7 MR. BLAND: We also said that we are  
8 going to be working with Hydro while they collect  
9 their information, their monitoring information.  
10 But earlier too we talked about how we wanted to  
11 keep our own ATK separate, and that our knowledge  
12 holders and our resource users are the ones that  
13 have the information, are going to be monitoring  
14 the effects or the impacts as time goes on.

15 But in terms of western science, we  
16 have people that are going out to school to train  
17 in different areas, that are interested in  
18 stewardship. So, you know, at some point they are  
19 going to come back and work with us. Not  
20 everybody wanted to hold that same interest. But  
21 it does not mean that we can't deliver a good  
22 monitoring program if we use traditional  
23 knowledge. Because it sounds like you are saying  
24 that we can't deliver a good program without  
25 western science. If that's the direction you are

1 going, you keep pressing for that.

2 MS. PAWLOWSKA-MAINVILLE: Not at all,  
3 perhaps you misunderstood me.

4 What I am trying to ask is, if you all  
5 stated that you are using science in your ATK, I'm  
6 trying to see if the science that will be used in  
7 your ATK studies will be gathered by community  
8 members. Will there be capacity created with this  
9 project in order to enable the youth or the  
10 community members to perhaps obtain the skills and  
11 the tools to collect scientific data in the  
12 communities for their own environmental plans, and  
13 work with the ATK?

14 MS. ANDERSON: Okay. I think this  
15 question is different than the one you asked  
16 earlier, I think you had more questions on the  
17 other one. But anyway let me answer this one.

18 I stated that our plan is to have a  
19 training component in our monitoring plan, so that  
20 will be including our youth. One of the, I guess,  
21 components of our plan is to have teens going out  
22 on to the land, and that will include the resource  
23 users, plus two youths, or at least two youths, to  
24 have knowledge, transfer the knowledge of the  
25 resource users.

1                   And also when we said that we were --  
2   we would use the science, we would use the aspects  
3   of the science that would be appropriate for  
4   studies, but we would do the ATK studies  
5   themselves, and there are some of our members who  
6   are interested in doing like formal education in  
7   environmental studies. So I think that's what you  
8   are asking?

9                   MS. PAWLOWSKA-MAINVILLE: Yes.

10                  MS. ANDERSON: Yes, okay.

11                  Yes, there are people, and I know that  
12   some people in our own office have taken some  
13   courses towards that. So, yes.

14                  MS. PAWLOWSKA-MAINVILLE: Okay.

15                  So I'm understanding, and this is the  
16   final one, that there will be capacity building to  
17   the point that there will be no need to have Hydro  
18   consultants working in the science fields, because  
19   you will have enabled your community members to do  
20   the work for them?

21                  MR. BLAND: Yes. As I pointed out, we  
22   do have that program also in our stewardship plan  
23   to have a training component and to, you know,  
24   build our education and training for our members,  
25   you know, specifically in the area that you

1 identified earlier.

2 MS. PAWLOWSKA-MAINVILLE: Thank you.

3 And because this is a two-track  
4 approach and each side --

5 MS. ANDERSON: Sorry, can I just add  
6 to that also? Excuse me, I have got a sore  
7 throat.

8 Like I said, we have this plan to have  
9 all of our members, you know, excel in whatever  
10 area they do, not just environmental studies. So  
11 I'm not really sure, like you keep asking about  
12 the training, and I just want to make sure that  
13 for us, like most of our members are working in  
14 our offices right now, so I think we've gone  
15 pretty far in our capacity building, not only just  
16 in environmental studies but in other areas. So,  
17 I just want to confirm again that, yes, that is a  
18 goal for all of our members to have the highest  
19 level they can go. Thank you.

20 MS. PAWLOWSKA-MAINVILLE: Thank you.

21 So in terms of being a separate  
22 two-track approach, my question is again to the  
23 First Nations, what will you do, or how will you  
24 reconcile disagreements if ATK and science comes  
25 to a disagreement at assessing and evaluating

1 impacts?

2 THE CHAIRMAN: I think that's a  
3 speculative question. I mean, if and when that  
4 arises, they will work it out at that time, one  
5 would hope. But how they could answer at this  
6 point how they might deal with something that may  
7 or may not happen in the future? I'm not sure  
8 that it can be responded to.

9 MS. PAWLOWSKA-MAINVILLE: Well,  
10 throughout the EIS it has been stated that there  
11 is caribou, woodland caribou, there isn't woodland  
12 caribou. So there is certain numbers of this,  
13 there are certain numbers of this. So it is  
14 stated throughout the EIS that ATK doesn't always  
15 agree with western science.

16 So my question is, in terms of  
17 monitoring and how to handle the plans for  
18 assessing and evaluating impacts, if those  
19 disagreements do become an issue, how will they be  
20 dealt with?

21 THE CHAIRMAN: Okay. I will allow  
22 that question. But I must say that your questions  
23 are -- you are asking almost the same thing just  
24 in different words. And you may have heard me  
25 admonish another counsel earlier today for asking

1 the same question in different wording. So I will  
2 allow this one, but please move on and get on to a  
3 new line of questioning.

4 MS. PAWLOWSKA-MAINVILLE: Okay.

5 MR. BLAND: One of the things that we  
6 do recognize is that our relationship with  
7 Manitoba Hydro is very important in that in our  
8 presentations we talked about maintaining the  
9 relationship and making sure that different steps  
10 are taken to resolve any disputes. We pointed out  
11 MAC earlier, that's one of the ways that we can  
12 try to resolve any issues. We do have other  
13 regulators such as Conservation, DFO, that need to  
14 maintain and monitor different impacts that are  
15 going to be happening as well.

16 If there is anything specific such as  
17 unforeseen or foreseeable issues that can not be  
18 dealt with, we do have other avenues such as the  
19 adverse effects agreement, which is there to  
20 address any issues or mitigate any issues that  
21 need to be dealt with.

22 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
23 you.

24 MS. PACHAL: The Partnership has a  
25 long history and record of working through

1 disagreements. Many, many years of where we have  
2 different views. And so the caribou is a great  
3 example of where our results and what the Cree's  
4 worldview was about the caribou, and which caribou  
5 were in the area didn't line up. So we said,  
6 okay, so we are going to assume in this instance  
7 the Cree are correct, those are the caribou that  
8 are there. And we designed the EIS and our  
9 mitigation and our monitoring assuming that the  
10 Cree perspective is correct. And so we have a  
11 long track history, a long track history as a  
12 partnership of working together to figure out, as  
13 the Chairman said, figure out a way to work it out  
14 when everything doesn't line up.

15 MS. PAWLOWSKA-MAINVILLE: Thank you.

16 I have a question to the First Nation  
17 Partners in terms of the offsetting program. Will  
18 there be a monitoring plan developed for that area  
19 as well?

20 MR. BLAND: You are referring to  
21 offsetting lakes and programs like that?

22 MS. PAWLOWSKA-MAINVILLE: Yes.

23 MR. BLAND: Yeah. Again, it is going  
24 to be resource users, it is going to be elders,  
25 people that have traditional knowledge, they are

1 the ones that are going to be out there, and they  
2 are the ones that are going to be sharing  
3 information and bringing it back to the  
4 communities.

5           Our communities will be having  
6 meetings to discuss what potential impacts or  
7 monitoring concerns that might come up. But I  
8 also wanted you to know that our elders are very,  
9 very serious when it comes to these types of  
10 things, especially impacts or effects. They  
11 notice everything, and they don't leave it. They  
12 come to us, you know, people like myself, or  
13 Martina, or any of my other colleagues, they come  
14 to us to make sure that we are dealing with the  
15 situations, that we are bringing them forward, and  
16 that whatever avenues that we have in place are  
17 being utilized. They don't let anything sit, and  
18 they come with a strong voice. And you know,  
19 there is a lot of emotion when they bring their  
20 issues and concerns forward, and we respect that.

21           And they follow up with everything  
22 too. So if we don't deal with something, then we  
23 get our -- we get dealt with, we will put it that  
24 way. And they don't take it lightly. They take a  
25 really hard line with us, and we have a job to do,

1 and we take it very seriously.

2 MS. PAWLOWSKA-MAINVILLE: Thank you.

3 So my understanding for the offsetting  
4 is that you will fly individuals from different  
5 communities, so four different communities, to  
6 areas, and there will be no monitoring plans made  
7 for those areas because ATK does its own  
8 monitoring; correct?

9 MR. BLAND: Just give me one second  
10 here?

11 MS. ANDERSON: Okay. You are asking  
12 about two different monitoring plans? Because we  
13 will have our own monitoring plan and we will  
14 monitor all of the areas that we use, including  
15 the offsetting areas.

16 MS. PAWLOWSKA-MAINVILLE: Okay, thank  
17 you.

18 MS. ANDERSON: You keep saying First  
19 Nation but you just let one person answer. I  
20 wanted to go back to the other question, I just  
21 wanted to say that -- can you, do you have it  
22 written down, can you reread it, the question just  
23 before this one that you asked and Ted answered?

24 MS. PAWLOWSKA-MAINVILLE: I'm not  
25 sure, I asked about the monitoring plan for the

1 offsetting area. Is that the question?

2 MS. ANDERSON: Just the one prior to  
3 that question? But it is okay.

4 MR. BLAND: Yes, as I pointed out, you  
5 know, we will have our resource users and our  
6 elders and knowledge holders monitoring and all of  
7 that information will be brought back.

8 Was there anything specific that you  
9 were referring to?

10 MS. PAWLOWSKA-MAINVILLE: Have the  
11 elders or any of the resource users visited those  
12 offsetting areas?

13 MR. BLAND: Absolutely. That's why  
14 they were identified. They are within our  
15 resource management areas, and we would not have  
16 identified them if we didn't think that they were,  
17 you know, sufficient enough for us to help sustain  
18 what we do.

19 MS. PAWLOWSKA-MAINVILLE: Thank you.

20 So then just to finish off, so there  
21 will be monitoring plans made for the area around  
22 Keeyask, right, and not around the offsetting  
23 areas?

24 MS. COLE: If I could -- sorry, Victor  
25 had to leave, and I know he would answer this

1 question 100 times better than I will, but I did  
2 want to point out that several of the adverse  
3 effects agreements actually include stewardship  
4 programs which are specifically designed to  
5 undertake monitoring as the first point. And in  
6 the case of the Cree Nation Partners, given the  
7 size of their community, obviously the offset  
8 programs in those communities are quite a bit  
9 larger than they are in either York or Fox Lake.  
10 There are a lot more people who are taking  
11 advantage of the access program as well as the  
12 healthy food fish program. And in that case the  
13 Cree Nation Partners have taken the extra step of  
14 developing on their own a moose harvest  
15 sustainability program, which we talked about as  
16 part of the panel that was up here to talk about  
17 biophysical effects. And in addition to that,  
18 they have also developed a fish harvest  
19 sustainability plan to coincide with their health  
20 food fish program, to ensure that moose resources  
21 throughout the entire Split Lake resource  
22 management area are managed for the long term and  
23 there for the long term for their members, and  
24 similarly so that fish resources in the offsetting  
25 links that are used for the healthy food fish

1 program are appropriately managed.

2           Each of these communities also has  
3 resource management boards, who are co-management  
4 boards with the province, that also undertake long  
5 term monitoring and decision making. And as part  
6 of the adverse effects agreements, each of the  
7 communities, there is a clause in each of those  
8 agreements that resource based programs, that  
9 ongoing monitoring and discussion about --  
10 monitoring reports are produced on an annual basis  
11 on the outcomes of those programs and provided  
12 directly to the resource management boards to  
13 assist them in managing resources in each of those  
14 resource management areas. So I think they have  
15 got it covered.

16           MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
17 you.

18           So another question that I had is,  
19 Ms. Northover, you mentioned that there will be  
20 funding for technical advisors, and Mr. Neepin was  
21 discussing the enrichment of the human capacity  
22 and the richness of the ATK, as well as the other  
23 partners were mentioning the same idea, the  
24 richness of the ATK. Will there be funding  
25 available to harvesters who are the actual

1 knowledge holders of the area?

2 MS. NOTHOVER: I'm actually not in a  
3 position to answer that question. I don't know if  
4 anyone here is.

5 MS. COLE: What specifically are you  
6 asking, what type of funding?

7 MS. PAWLOWSKA-MAINVILLE: I'm asking  
8 if -- local harvesters are actual knowledge  
9 holders. So like it was mentioned by Mr. Bland  
10 that they look at the land, they understand the  
11 land, they know how many animals are in the area,  
12 so they are stewards of the land. Will there be  
13 any funding at all available from this project to  
14 ensure that these individuals can go out there and  
15 maintain the stewardship over that land?

16 THE CHAIRMAN: I think that's been  
17 asked and answered a number of times in the last  
18 hour. Mr. Bland and Ms. Anderson in particular,  
19 and Ms. Saunders spoke about the fact that people  
20 from their community will be going out on the  
21 land. Mr. Bland talked just a moment ago about  
22 the people that would be using the offsetting  
23 lakes, and that they are elders and knowledge  
24 holders, and that they would be bringing the  
25 information back.

1 MS. KIDD-HANTSCHER: Mr. Chairman, if  
2 I could add that the funding is a fundamental  
3 component of the community based monitoring  
4 programs that will be developed, so absolutely  
5 that is there.

6 THE CHAIRMAN: Thank you. That was  
7 the question I was going to ask the Partnership at  
8 some point or other.

9 MS. PAWLOWSKA-MAINVILLE: Thank you.  
10 And then the other question I had is  
11 in regards to monitoring as well. Mr. Neepin  
12 actually stated that it is a primary effective  
13 watchdog of the effects of the project and must be  
14 fundamental. And I received this letter, the  
15 letter that was given and read out loud by  
16 Mr. London yesterday, stating that there is a  
17 reciprocal commitment among the partners to work  
18 together. So I'm just wondering, for Fox Lake in  
19 this case, is there an actual monitoring plan  
20 already in place, or drafted that can be made  
21 available, or is it just a commitment that you  
22 have, in order to have a monitoring plan?

23 MS. ANDERSON: We have the commitment  
24 to fund our monitoring plan, but, yes, we have our  
25 own commitment -- we have our own monitoring plan

1 that I said has not been fully developed yet.

2 MS. PAWLOWSKA-MAINVILLE: Is there a  
3 draft version available of that plan?

4 MS. ANDERSON: Well, there has been  
5 discussions with the core group on how they want  
6 this plan to work. Like one of the components I  
7 said earlier was that they wanted to ensure that  
8 elders go on the land, that teens will go on the  
9 land with at least two knowledgeable resource  
10 users, and taking youth along with them for  
11 transfer of knowledge. So that was one component.  
12 And there is several other ones that -- and that  
13 they would decide where the monitoring would  
14 occur, like they would prioritize where, depending  
15 on the construction schedule. So those are some  
16 of the components of the plan, but it has not been  
17 fully developed yet.

18 MS. PAWLOWSKA-MAINVILLE: But there is  
19 a draft version that is available?

20 MS. ANDERSON: A draft version, no.  
21 No, there is not a draft version available.

22 MS. PAWLOWSKA-MAINVILLE: Okay. But  
23 the core group elders have seen a version of this  
24 plan, correct?

25 MS. ANDERSON: No, they haven't seen

1 it because it hasn't been developed, but it has  
2 been discussed with them. They are the ones who  
3 bring the ideas forward that is going to develop  
4 this plan.

5 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
6 you.

7 Can I ask then if the project has been  
8 in development for the past ten years, and  
9 Mr. Neepin said that it is a fundamental basis for  
10 adaptive management and the environment, and it is  
11 a watchdog of the effects and must be fundamental,  
12 why is it that this plan is only in draft, being  
13 drafted now, and there is only a commitment to  
14 have this plan and not a real plan is in place?

15 THE CHAIRMAN: Ms. Pachal should  
16 answer that.

17 MS. PACHAL: I'm going to take a stab  
18 at this from a really high level. One of the  
19 challenges in the licensing phase of a project is  
20 figuring out to what extent do you implement. We  
21 are in the licensing phase, we don't know if the  
22 CEC is going to recommend the licence for our  
23 project. We do not know, after the Needs For and  
24 Alternatives To hearings whether or not a licence  
25 will be granted. So myself and team are in a

1 constant state of negotiation and balancing the  
2 puts and takes of how much we advance and how much  
3 we pay for, and how much we develop things in a  
4 licensing phase. And this is an excellent  
5 example. That monitoring, if the project doesn't  
6 proceed, monitoring doesn't proceed. So how far  
7 do we advance on monitoring without a project in  
8 place? So there is a number of items that are  
9 only partially developed or conceptual because we  
10 are in a licensing phase.

11 MS. PAWLOWSKA-MAINVILLE: So there is  
12 no technical science monitoring plan made up  
13 either?

14 MS. PACHAL: I think there are aspects  
15 of it, but I will let Carolyne speak to that.

16 MS. NOTHOVER: All five of those  
17 monitoring plans have been submitted, but as I  
18 said in my presentation, they are in draft form,  
19 they are very preliminary, and there is a lot of  
20 work to do on all of them. If licensed, the  
21 licenced conditions need to be worked into those  
22 plans as well. So they have been submitted but  
23 they are not finished.

24 MS. PAWLOWSKA-MAINVILLE: Okay. So  
25 there is a draft version of the science plans, but

1 only a commitment to have ATK monitoring plans?

2 THE CHAIRMAN: I don't see the  
3 relevance of that question. It has been responded  
4 to, so please move on.

5 MS. PAWLOWSKA-MAINVILLE: I guess my  
6 next question about the fact that there is only a  
7 commitment to the plan is, how confident are you  
8 in the science based studies that the  
9 environmental protection plans will be --

10 THE CHAIRMAN: I think that's the same  
11 question in different words.

12 MS. PAWLOWSKA-MAINVILLE: Well, what  
13 I'm trying to get at is, why is it after ten years  
14 of development -- and yes, licensing is a  
15 factor -- is it that there is drafts made  
16 available of the science based data, and if this  
17 is supposed to be an equal value two-track  
18 approach, there is not even a draft of the ATK  
19 plan? Is it because it is no longer deemed  
20 necessary to have an ATK plan?

21 THE CHAIRMAN: Let me answer this in a  
22 couple of different ways. One is that Ms. Pachal  
23 just described sort of a normal regulatory  
24 licensing process, and it is not -- in fact, it is  
25 a common practice that the whole environmental

1 protection program is described in draft form  
2 through the environmental assessment review  
3 process, but they are not finalized until after  
4 the licence has been issued. And as Ms. Pachal  
5 noted, there is at least two big steps, this being  
6 one of them, and the NFAT proceeding being  
7 another, before the licence is issued. In fact,  
8 there are other steps as well, including the  
9 Aboriginal consultation process.

10 So none of those steps has been  
11 completed yet, so we would not expect or  
12 anticipate that the proponent has completed these  
13 monitoring plans.

14 They have told us today that they have  
15 been, there are draft versions, that in the First  
16 Nations communities they have had discussions  
17 about them to start setting them up.

18 So, I mean, I think that the question  
19 that you have been asking many times over the last  
20 hour is essentially the same question. They are  
21 under review, they are being considered, but they  
22 are not finalized yet.

23 And I should also note that we would  
24 not expect, as part of our review, to see final  
25 versions of these plans before we make our

1 recommendations. That's a normal part of an  
2 environmental review process.

3 MS. PAWLOWSKA-MAINVILLE: Thank you.  
4 However, our concern is that a requirement for a  
5 potential, even a draft version of a monitoring  
6 plan is required to have a licence. However, if  
7 there is no ATK plan, then the licence will go  
8 through, but the licence will not go through if  
9 there is no science based plan. So we are trying  
10 to determine whether or not a licence will be  
11 granted without an ATK plan, only on the basis of  
12 the science based plan.

13 THE CHAIRMAN: Well, I believe I just  
14 said that a licence may well be issued before a  
15 science based plan or an ATK plan is concluded.

16 MS. PAWLOWSKA-MAINVILLE: Okay.

17 THE CHAIRMAN: In fact, as Ms. Pachal  
18 noted, and I think I reiterated, they are done in  
19 draft form at this point until the licence is  
20 issued. After the licence is issued, they are  
21 finalized usually before construction commences.

22 MS. PAWLOWSKA-MAINVILLE: Okay, thank  
23 you.

24 So the last question I have then on  
25 the Moving Forward for the three First Nations

1 partners, so I will ask each of you in order, I  
2 suppose. Do you think that hydro development is  
3 the only viable form of development in the north?

4 MS. MAYOR: Mr. Sargeant, this is the  
5 Moving Forward panel. That question is not at all  
6 appropriate for this panel.

7 THE CHAIRMAN: I would agree.

8 MS. PAWLOWSKA-MAINVILLE: Okay. Thank  
9 you.

10 THE CHAIRMAN: Thank you,  
11 Ms. Pawlowska-Mainville.

12 We are past the normal adjournment  
13 time for the day. We have a few documents to  
14 register.

15 MS. JOHNSON: Yes, PFN001 are the  
16 documents submitted October 7th with the CVs and  
17 the submission outline. PFN002 is Mr. Flanders'  
18 report, and 003 is Mr. Flanders' presentation.

19 (EXHIBIT PFN 001: Documents submitted  
20 October 7th, CVs and submission  
21 outline)

22 (EXHIBIT PFN002: Mr. Flanders'  
23 report)

24 (EXHIBIT PFN003: Mr. Flanders'  
25 presentation)

1 THE CHAIRMAN: Thank you. I don't  
2 think that we have any other business to attend  
3 to, so we will stand adjourned.

4 Ms. Pachal?

5 MS. PACHAL: Just for people's  
6 planning purposes, would you like the panel back  
7 tomorrow morning?

8 THE CHAIRMAN: No, nothing against  
9 you.

10 MS. PACHAL: It is December 5th, the  
11 afternoon.

12 MS. JOHNSON: December 5th, afternoon.

13 THE CHAIRMAN: Tomorrow we have two  
14 presentations by Manitoba Wildlands. Monday, I  
15 don't know, there is all kinds of things. But  
16 December 5th in the afternoon.

17 Thank you very much for your time  
18 today. We will see you all at 9:30 tomorrow  
19 morning.

20 Mr. Regehr?

21 MR. REGEHR: Mr. Bland has a question.

22 THE CHAIRMAN: Sorry, Mr. Bland?

23 MR. BLAND: I just wanted to say that  
24 up north we have been having snow storm after snow  
25 storm, and I have been flying back and forth to

1 try and make these panels. It is really unnerving  
2 flying back and forth. As you are aware, there  
3 was an incident in Northern Ontario which involves  
4 the same type the plane that I have been flying  
5 on, and we have had some really rough flights.  
6 And, you know, people I know are traveling here to  
7 be on these panels as well. I just want you to  
8 know that I'm traveling here and I would like to  
9 move this panel to get done. And I don't mean to  
10 be rude, but I don't know why we are not getting  
11 equal consideration to move the panel forward and  
12 complete this panel?

13 THE CHAIRMAN: I hear what you are  
14 saying, Mr. Bland, and believe me, we would really  
15 like to move this entire process forward. But  
16 there are certain things that we have no control  
17 over, and among those are the length of the  
18 cross-examinations that we allow. Under normal  
19 administrative law proceedings, we don't limit  
20 those. And by the same token, it is also the  
21 length of the responses. We can not control the  
22 responses or the -- the questions or the answers.  
23 And that is largely why our scheduling has gone  
24 very awry over the last number of weeks. So we  
25 are sensitive to that. If, you know, if there are

1 other things that you would be involved in around  
2 the time of the 5th, we may be able to work some  
3 arrangements in then so that you don't have to --  
4 we can get them in together. But if you or  
5 Ms. Pachal could speak, or Ms. Cole could speak  
6 with the Commission secretary, we could try and  
7 minimize the number of times that you have to fly  
8 in and out of the north.

9 MR. BLAND: Okay.

10 (Adjourned at 4:38 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

OFFICIAL EXAMINER'S CERTIFICATE

Cecelia Reid and Debra Kot, duly appointed  
Official Examiners in the Province of Manitoba, do  
hereby certify the foregoing pages are a true and  
correct transcript of my Stenotype notes as taken  
by us at the time and place hereinbefore stated to  
the best of our skill and ability.

-----

Cecelia Reid  
Official Examiner, Q.B.

-----

Debra Kot  
Official Examiner Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.  
The unregistered version of Win2PDF is for evaluation or non-commercial use only.  
This page will not be added after purchasing Win2PDF.