

MANITOBA CLEAN ENVIRONMENT COMMISSION

KEEYASK GENERATION PROJECT

PUBLIC HEARING

Volume 7

* * * * *

Transcript of Proceedings

Held at Fort Garry Hotel

Winnipeg, Manitoba

WEDNESDAY, OCTOBER 30, 2013

* * * * *

APPEARANCES

CLEAN ENVIRONMENT COMMISSION

Terry Sargeant - Chairman
Edwin Yee - Member
Judy Bradley - Member
Jim Shaw - Member
Reg Nepinak - Member
Michael Green - Counsel to the Board
Cathy Johnson - Commission Secretary

MANITOBA CONSERVATION AND WATER STEWARDSHIP

Elise Dagdick
Bruce Webb

KEEYASK HYRDOPOWER LIMITED PARTNERSHIP

Doug Bedford - Counsel
Janet Mayor - Counsel
Sheryl Rosenberg - Counsel
Bob Roderick - Counsel
Jack London - Counsel
Vicky Cole
Shawna Pachal
Ken Adams
Chief Walter Spence
Chief Louisa Constant
Chief Betsy Kennedy
Chief Michael Garson

CONSUMERS ASSOCIATION OF CANADA

Byron Williams - Counsel
Aimee Craft - Counsel
Gloria Desorcy
Joelle Pastora Sala

MANITOBA METIS FEDERATION

Jason Madden - Counsel
Ms. Saunders

MANITOBA WILDLANDS

Gaile Whelan Enns
Annie Eastwood

PEGUIS FIRST NATION

Lorraine Land - Counsel
Cathy Guirguis - Counsel
Lloyd Stevenson
Jared Whelan

CONCERNED FOX LAKE GRASSROOTS CITIZENS

Agnieszka Pawlowska-Mainville

Dr. Stephane McLachlan

Dr. Kulchyski

Noah Massan

PIMICIKAMAK OKIMAWIN

Kate Kempton - Counsel

Stepanie Kearns - Counsel

Darwin Paupanakis

KAWEECHIWASIIHK KAY-TAY-A-TI-SUK

Roy Beardy

INDEX OF PROCEEDINGS

Keeyask Aquatic & Terrestrial Environment Panel
Ms. S. Davies, Dr. F. Schneider-Vieira, Ms. S.
Matkowski, Ms. L. Wyenberg, Mr. R. Berger, Dr. B.
Knudsen, Mr. J. Ehnes,

Cross-examination by Ms. Kearns	1411
Cross-examination by Mr. McLachlan and Mr. Massan	1440
Questions by Board members	1521

Keeyask Terrestrial Panel	
Presentation by Mr. Ehnes	1540
Presentation by Ms. Wyenberg	1574
Presentation by Mr. Berger	1615

INDEX OF EXHIBITS

KHLP42 Terrestrial presentation	1652
---------------------------------	------

INDEX OF UNDERTAKINGS

No undertakings given

1 Wednesday, October 30, 2013

2 Upon commencing at 9:30 a.m.

3 THE CHAIRMAN: Good morning. Welcome
4 back to day seven. Also happens to be We Day in
5 Winnipeg. So while the youth of our community get
6 to hang out with Martin Sheen and Martin Luther
7 King 3rd, you get to hang out with me, so...

8 We'll resume cross-examination on the
9 Aquatic Panel, Pimicikamak. Ms. Kearns?

10 MS. KEARNS: Thank you, good morning.

11 So I will start slide 19 for the first
12 set of slides. So this is the slide on the CAMP
13 program. And Mr. Davies, my question to you is,
14 could you describe the limitations to this
15 existing aquatic monitoring program?

16 MR. DAVIES: I can provide a long list
17 of the benefits of the monitoring program. I'm
18 trying to think of some of the things that -- I
19 guess one of the items was it would have been nice
20 to have started this earlier. We are getting a
21 long-term database now, as of 2008. We do have a
22 long-term database starting as of 2008 and going
23 on into the future. And I had noted why, the CAMP
24 program came into existence with the memorandum of
25 understanding in 2006. And as I said, the only

1 thing I can think of right now is it would have
2 been nice to have the aquatic program started
3 earlier, but that's when it came into being.

4 MS. KEARNS: Thank you.

5 So that's my only question in that set
6 of slides, so I'll move on to the other set.

7 While it's being flipped over,
8 Dr. Schneider-Vieira, you referenced the fact in
9 your presentation that the population of sturgeon
10 in Stephens Lake is not presently viable. Is this
11 because Stephens Lake is a reservoir for the
12 Kettle Generation Station and not an actual lake?

13 MS. SCHNEIDER-VIEIRA: We have spent
14 quite a lot of energy and thought, quite a lot of
15 interest has been focused on the topic of why
16 there are no sturgeon, or so few sturgeon in
17 Stephens Lake. Since it is one of our proxy
18 environments for the Keeyask Generation Project,
19 so we really wanted to know what had happened. We
20 have the Aboriginal traditional knowledge from Fox
21 Lake which tells us that prior to the construction
22 of Kettle, that there were sturgeon there. That
23 doesn't give us a concrete number, we can't say
24 there are 1,000 or 2,000 or whatever, but we do
25 know they used to harvest sturgeon in the main

1 stem of the river close to Gillam, as I understand
2 it, and also I believe at the mouth of the Butnau
3 River before it was diverted and so on. So we do
4 know there were sturgeon present.

5 Fox Lake has also reported that after
6 Kettle was constructed, that the sturgeon were no
7 longer there. And obviously, they weren't in the
8 locations where they had been found previously
9 because that was highly flooded.

10 Now, we do know that there were
11 sturgeon at Gull Rapids through the early '70s and
12 into the 1980s. There are records of people
13 actually harvesting the sturgeon. They were
14 actually targeted both in a commercial fishery in
15 the '70s as well as noted in bycatch in the '80s.

16 So when we go out today, what we see
17 basically is very few, very young sturgeon. We
18 know that if the habitat was -- well, we know that
19 the adult sturgeon that were born prior to the
20 construction of Kettle Generating Station should
21 still be there. So because there are no adult
22 sturgeon, we feel that they have either been
23 harvested, which we know there is a record of some
24 of that, and there's also the potential that they
25 left. That is one of the reasons why we keep on

1 stressing the potential emigration of adults from
2 the reservoir as being a possible effect.

3 In terms of the young sturgeon, we do
4 know that there are some young sturgeon there now,
5 and it looks like there is habitat that's suitable
6 for them. And certainly, we did from the early
7 2000s also have some records of mature sturgeon
8 that we thought were gathering to spawn in Gull
9 Rapids. So it looks like those two life stages
10 are there.

11 So, currently, our working hypothesis
12 is essentially loss of adults through harvest and
13 loss of adults through emigration.

14 MS. KEARNS: Thank you.

15 So turning to slide 13 of the second
16 set of slides, Dr. Schneider-Vieira, you mentioned
17 that there were no technical data on water quality
18 prior to the 1970s and that this limits the
19 ability to assess the effects of the CRD, LWR and
20 Kettle on water quality. But my question is,
21 based on what is known, is it possible for you to
22 provide a likely direction of historical changes
23 interpreted A levels in the main stem of the lower
24 Nelson River?

25 MS. SCHNEIDER-VIEIRA: There is not

1 that much -- well, as I say, turbidity varies
2 considerably over time. In Stephens Lake itself,
3 or in the thing that became a reservoir over time,
4 in the initial years post impoundment, there was
5 an increase in turbidity, and then that declined
6 again over time. I mean, it was limited data, but
7 that is the information that we have for that
8 area.

9 If you go out today, you could see,
10 and I don't know if you've been in the area, but
11 certainly the southern part of Stephens Lake is
12 much more turbid than the north arm, which has
13 become quite clear.

14 Now, you also asked whether I have any
15 information that can address long-term changes in
16 water clarity on the Nelson River main stem
17 related to LWR and CRD. And apart from noting
18 that the Burntwood River is more turbid than the
19 Nelson River, so increased flows, because CRD
20 increased the flows on the Burntwood, there is
21 proportionately more turbid water entering the
22 system. I can't comment on terms of long-term
23 changes. There weren't such substantial changes
24 that they were detectable based on the information
25 that we have.

1 MS. KEARNS: Okay. Turning to slide
2 19, the second large bullet reads, this is about
3 water quality:

4 "During operation, effects to water
5 quality in flooded area, 10 to 15
6 years, and permanent reduction in TSS
7 in lower reservoir in southern portion
8 of Stephens Lake."

9 So is it correct that peat land disintegration
10 could continue for at least 30 years?

11 MS. SCHNEIDER-VIEIRA: I will leave
12 James to answer that question.

13 DR. EHNES: That is correct.

14 MS. KEARNS: And so do you predict
15 that there will be detectable increases in
16 nutrients and a decrease in dissolved oxygen
17 beyond 15 years post project?

18 MS. SCHNEIDER-VIEIRA: Not -- we
19 expect that the water quality will be very similar
20 to other, like, for example, the shoreline areas
21 or the shelter bays along Stephens Lake. The main
22 inputs are happening actually in the very first
23 few years. And after that, it will be a very low
24 amount.

25 MS. KEARNS: So despite that the peat

1 is continuing to disintegrate, there won't be any
2 detectable changes in the water quality?

3 MS. SCHNEIDER-VIEIRA: The amount of
4 peat entering the system after 15 years is very,
5 very small.

6 MS. KEARNS: So slide 23 then, is it
7 correct that common carp has moved into the lower
8 Nelson and Churchill Rivers?

9 MS. SCHNEIDER-VIEIRA: Common carp
10 were actually first observed in Split Lake in
11 1963. That was prior to any hydroelectric
12 development, prior to LWR and CRD. And I should
13 also note that they are very, very uncommon in the
14 area, and that we have only found them actually in
15 the large mesh gill nets that we use for lake
16 sturgeon. And that the abundance of carp in those
17 nets is actually lower than the amount of carp, so
18 there are a few carp but they are very uncommon.

19 MS. KEARNS: And what are the expected
20 implications of the presence of the common carp in
21 the lower Nelson River on the fish community and
22 habitat once Keeyask is built?

23 MS. SCHNEIDER-VIEIRA: Because there
24 are so very few carp and we see very, very few
25 carp at Split, and also in Stephens, we don't

1 expect there to be any effect.

2 We would note of course that we are
3 aware, and actually cite it in our document, that
4 they have had a substantial effect on some
5 freshwater environments in Southern Manitoba.

6 MS. KEARNS: Okay. Turning to slide
7 32, this slide refers to the limited present
8 movements of adult Walleye, Lake Whitefish and
9 Northern Pike upstream and downstream over Gull
10 Rapids.

11 And Dr. Schneider-Vieira, you
12 mentioned that this movement is unusual; is that
13 correct?

14 MS. SCHNEIDER-VIEIRA: I mentioned
15 that there is a very small proportion of the fish
16 that have moved.

17 MS. KEARNS: So my question is, how
18 important can these rare movements within a fish
19 population be for the long-term resilience of a
20 fish population in a river system?

21 MS. SCHNEIDER-VIEIRA: In terms of
22 the -- well, I'm going to divide it into both
23 upstream and downstream. Where these long-term
24 movements are important is, well, there's usually,
25 there are two concerns, one if you have headwater

1 lakes or some such environment that are isolated,
2 where you are concerned that there might be a
3 local extinction. So a certain species disappears
4 and then never comes back.

5 The other concern is with genetic
6 interchange.

7 In our case, we were talking about the
8 Gull Lake area, which is upstream of the
9 generating station. That's connected basically to
10 the entire Nelson River watershed. So we are not
11 at all concerned about that being genetically
12 isolated, or there being a potential for a local
13 extirpation of a species, because it's connected
14 to a huge system.

15 Downstream in Stephens Lake, that lake
16 will always receive some input from upstream,
17 because there are fish that continue to move
18 downstream through the station, either past the
19 turbines, or over the spillway, or as younger fish
20 as well.

21 MS. KEARNS: Turning to slide 34, the
22 first bullet under operation reads:

23 "Initial decline in reservoir due to
24 loss of aquatic plants in near shore
25 area will recover when plants are

1 re-established in 10 to 15 years."

2 Is it correct that the aquatic plants
3 are expected to re-establish but perhaps only
4 partially?

5 MS. SCHNEIDER-VIEIRA: Yes. Depending
6 on, the plant growth in the existing environment
7 is highly variable depending on water levels,
8 because we have had both droughts when the water
9 levels are high -- sorry, droughts when they are
10 low and floods when they are high. And basically
11 the plant beds moved up and down, depending on
12 what the water level is, and it takes usually a
13 season to regrow.

14 Within the long-term, in terms of the
15 long-term average, we are predicting that the
16 amount of plant beds will be somewhat lower, and
17 that depends on how much cycling versus baseload
18 at the station does.

19 MS. KEARNS: Thank you.

20 Is it correct that there can be long
21 periods of time between spawning for lake
22 sturgeon, for an individual lake sturgeon?

23 MS. SCHNEIDER-VIEIRA: An individual
24 female spawns every five years and the spawning
25 interval -- or is thought to spawn every five

1 years in our area. For males, it's less. It can
2 be two to three years.

3 MS. KEARNS: Does the interval of
4 spawning for an individual sturgeon have any
5 relationship to the habitat conditions of that
6 fish?

7 MS. SCHNEIDER-VIEIRA: I believe that
8 it is related in part to how quickly they are able
9 to. Basically they are growing eggs internally,
10 if you will, and so it is shorter certainly when
11 they are, for example, in more southern
12 environments where it is warmer, they do have a
13 shorter, or they tend to have a shorter spawning
14 interval.

15 MS. KEARNS: So do things like water
16 quality and water flow patterns have any impact on
17 the interval for spawning?

18 MS. SCHNEIDER-VIEIRA: I'm not aware
19 of any effects of water flow patterns or water
20 quality. I should note that there have been
21 places in other locations where there was
22 substantial water pollution associated with pulp
23 mills where that had an adverse effect on sturgeon
24 populations, but that isn't our concern in this
25 area.

1 MS. KEARNS: Okay. So then turning to
2 slide 57, the last bullet on this page reads:

3 "Sturgeon still relatively abundant in
4 Stephens Lake until at least the 1980s
5 (local resource users)."

6 How many people have said this?

7 MS. SCHNEIDER-VIEIRA: I'm just going
8 to check with my team. I'm thinking that there
9 were about three, but let me just check, please?
10 Two.

11 MS. KEARNS: And did anyone say the
12 opposite or something different than that?

13 MS. SCHNEIDER-VIEIRA: Not that I'm
14 aware of. And we also -- yeah, not that I'm aware
15 of, and I didn't see, apart from in the Fox Lake
16 traditional knowledge report where they reported
17 the decline at initial impoundment, they didn't
18 tie further changes to any specific years that I
19 can recall.

20 MS. KEARNS: Okay, thank you.

21 So turning to slide 60, this is a map
22 of the populations in the study areas. And I'm
23 interested in the location downstream of Kelsey.

24 And Dr. Schneider-Vieira, you
25 mentioned that there were a couple of fish caught

1 with eggs in that area; is that correct?

2 MS. SCHNEIDER-VIEIRA: Yes, that's
3 correct. And I should clarify that with female
4 sturgeon, it's difficult to determine the sex of a
5 sturgeon when you catch it except for when it's
6 right in spawning condition, and it's releasing
7 either milt or eggs. And females, in particular,
8 you can only basically make it extrude an egg when
9 it's almost ready to spawn.

10 MS. KEARNS: And when were those fish
11 caught?

12 MS. SCHNEIDER-VIEIRA: Just a minute,
13 let me check.

14 One in 2006 and one in 2013.

15 MS. KEARNS: Is that the total extent
16 of information we have about spawning in that
17 location?

18 MS. SCHNEIDER-VIEIRA: Yes, we have
19 done quite a few years of gill netting and we did
20 not find evidence of any other spawn. That's why
21 we listed it as a suspected spawning, because it's
22 not definitive. We do know that prior to the
23 construction of Kelsey there were, I mean, it was
24 spawning location.

25 MS. KEARNS: When was the last

1 indication of spawning observed at Gull Rapids?

2 MS. SCHNEIDER-VIEIRA: I believe the
3 early 2000s. We didn't have -- we have never
4 collected larval fish from Gull Rapids. There
5 were some fish that were in spawning condition.

6 MS. KEARNS: Thank you.

7 So turning to slide 70. So on this
8 slide, you mentioned Pointe Du Bois, and it was
9 mentioned a few times in your presentation
10 yesterday.

11 And my question is: So Pointe Du
12 Bois, I should preface, was mentioned as a place
13 where Manitoba Hydro has tried spawning habitat
14 creation; is that correct?

15 MS. SCHNEIDER-VIEIRA: Yes, that's
16 correct.

17 MS. KEARNS: So could you please
18 describe the relevant differences between the
19 Pointe Du Bois area and the Keeyask area in terms
20 of habitat conditions for sturgeon and flow
21 patterns?

22 MS. SCHNEIDER-VIEIRA: In terms of
23 what the Keeyask Generating Station would look
24 like in the future you mean?

25 MS. KEARNS: Both the present

1 condition comparison and post project?

2 MS. SCHNEIDER-VIEIRA: The most
3 substantial difference between Keeyask and Pointe
4 Du Bois at present is that there is a very large
5 number of sturgeon at Pointe Du Bois. So when you
6 go out to study spawning sturgeon, you have
7 several hundred that are aggregating there and you
8 can see how they are responding to the habitat.

9 In the Keeyask area, there are very
10 few. Downstream of Gull Rapids, as I mentioned,
11 we haven't found any for a number of years. We do
12 usually catch a few spawning sturgeon in the
13 vicinity of Birthday Rapids. But basically it's
14 the quantity, the number of sturgeon is very, very
15 different.

16 MS. KEARNS: So the habitat conditions
17 are identical then?

18 MS. SCHNEIDER-VIEIRA: No. I mean,
19 one is -- I was going to say the Winnipeg River,
20 it's somewhat smaller, it is -- I was doing to say
21 it is more of a boreal -- well, actually they are
22 both boreal shield rivers. There is more white
23 water at Gull Rapids, it is much stronger. At
24 Pointe Du Bois, it is going through a generating
25 station. It is a little bit less turbulent, a

1 little less wild, if you will. It is also easier
2 from a practical point to get in there to try and
3 catch sturgeon when they are in the act of
4 spawning.

5 MS. KEARNS: So once Keeyask is built,
6 so if we were to do a comparison between the two,
7 how would the habitat differ between the Pointe Du
8 Bois area and the Keeyask area?

9 MS. SCHNEIDER-VIEIRA: The Pointe Du
10 Bois Station is quite an old station. It has, I
11 was going to say 13 units, or perhaps even more, I
12 am not entirely sure, so the flow is distributed
13 quite widely.

14 Keeyask would have seven units -- 16
15 units I am told. Keeyask would have seven units
16 and each of those units would provide more flow
17 because the station is much more, it's a much
18 larger river up there.

19 In addition, downstream of Pointe, it
20 was built over a hundred years ago now, there is
21 considerable amounts of rubble. Like the bottom
22 is much more complex, if you will.

23 And Keeyask, the tailrace itself will
24 be smooth and designed for passing outflow in a
25 uniform way. But the structure that we're

1 building will be along the one shore, and that
2 will have sort of the rough stones and the
3 variation in flows that we know that are
4 attractive to sturgeon when they spawn.

5 MS. KEARNS: And is the water velocity
6 different at Pointe Du Bois than it will be after
7 Keeyask?

8 MS. SCHNEIDER-VIEIRA: In terms of
9 over the spawning structure, the water velocities
10 will be in the range that sturgeon use to spawn,
11 and that is also what we see at Pointe Du Bois.

12 MS. KEARNS: So you mentioned about
13 the observed movements of sturgeon in a few slides
14 yesterday, and the fact that there haven't been
15 many. But is it possible that during operations,
16 once the reservoir is flooded, that there may be
17 more sturgeon than recently observed that will try
18 to move downstream and get out of the reservoir?

19 MS. SCHNEIDER-VIEIRA: I'll divide
20 your question into two. The first one is, will
21 there be a movement of sturgeon downstream when
22 the water levels change as a result of
23 impoundment? Now, that is something that we have
24 some evidence might have happened at Limestone.
25 We have had a discussion about whether or not that

1 potentially happened when the Kettle Generating
2 Station was constructed, and that certainly has
3 been observed in a reservoir that was recently
4 impounded in Quebec. So that's basically at
5 impoundment.

6 Now, later on when the station is in
7 operation, it will depend on how the sturgeon
8 respond to the modified environment. We have seen
9 some instances, some reservoirs where there's very
10 little downstream movement, and some there is also
11 more. For example, there is some work that was
12 done on the Winnipeg River where they recorded,
13 I'm just trying to remember now the number, four
14 and a half per cent of the adults were moving
15 downstream. That is higher than we see currently
16 from Gull Lake, and it's also higher than we've
17 seen in some of the other reservoirs. And it
18 really seems to be related in the habitat within
19 the reservoir and approaching the generating
20 station.

21 MS. KEARNS: And so if it turns out
22 that the sturgeon in this case do move downstream
23 at a higher rate, would this increase the
24 mortality in the turbines?

25 MS. SCHNEIDER-VIEIRA: The sturgeon

1 that we have seen from the work that we have done
2 in terms in looking at sturgeon that have gone
3 downstream with acoustic tags, there has been
4 quite a high proportion -- I was going to
5 something like one in 10 -- we have observed about
6 10 sturgeon going downstream through the lower
7 Nelson River stations, and I believe one we
8 haven't seen again, so that could potentially be a
9 mortality. The other sturgeon we know are still
10 moving around.

11 In terms of most sturgeon that move
12 downstream, we think are going over the spillway,
13 if they are large. Smaller sturgeon could fit
14 past the trash racks, but the larger ones, most of
15 them seem to be turned away by the trash racks,
16 though there's some uncertainty with that.

17 MS. KEARNS: But if there's more
18 sturgeon moving downstream, then there could be
19 more that die?

20 MS. SCHNEIDER-VIEIRA: Yes.

21 MS. KEARNS: And at one point during
22 your presentation yesterday, Dr. Schneider-Vieira,
23 you mentioned that there is currently more habitat
24 in the Keeyask area than sturgeon. Is it possible
25 that the existing fragmentation of the lower

1 Nelson River is the cause of the fact that there
2 are fewer fish than habitat?

3 MS. SCHNEIDER-VIEIRA: I will just
4 clarify that for you. I said there's more habitat
5 than sturgeon actually in the upper Split Lake
6 area, that is to the Burntwood River and to
7 downstream of the Kelsey Generating Station, and
8 also in the Grass River. Those are all areas
9 where there are substantial amounts of habitat.

10 I think it is also worth noting that
11 in the area that we have been focusing on, that is
12 from Stephens Lake, through Gull Lake, up into
13 Split Lake and those river segments. As I
14 mentioned in my presentation, there is over 200
15 kilometres of habitat length in that area. So
16 that is not what most people would think of as a
17 highly fragmented area.

18 So then I guess the answer is no, I
19 wouldn't attribute the low number of sturgeon in
20 that area to habitat fragmentation.

21 MS. KEARNS: So the first areas that
22 you listed, though, the ones, the Burntwood --

23 MS. SCHNEIDER-VIEIRA: They are all
24 interconnected.

25 MS. KEARNS: And so your answer for

1 that area is that, no, fragmentation is not the
2 reason for the low numbers?

3 MS. SCHNEIDER-VIEIRA: That's true.

4 And I also want to point out, because I think it's
5 an interesting observation, that from the genetic
6 work we did, that the sturgeon in Gull Lake are
7 actually genetically different from the ones in
8 the upper Split Lake area. So that implies, or
9 that tells us that even with no physical barriers,
10 there are some rapids which we know they can pass,
11 but even with no physical barriers, the sturgeon
12 themselves are using subsections of the river
13 consistently enough that they are genetically
14 different. And that genetic difference actually
15 arose prior to any hydroelectric development.

16 MS. KEARNS: And so turning to those
17 genetic differences, would you agree that if brood
18 stock has to be used that's genetically different
19 than the existing population in the Gull Lake
20 area, that this would have a negative impact on
21 the existing sturgeon population?

22 MS. SCHNEIDER-VIEIRA: We would
23 certainly attempt to collect brood stock from the
24 same location to which we are stocking. That is
25 one of the things that is being considered in the

1 stocking plan, as well as in how fish will be
2 raised in the hatchery, to keep those genetic
3 lines distinct.

4 If we find an area is entirely
5 extirpated, there is no other source of sturgeon
6 as, for example, happened in the upper Nelson
7 River, then you would have to use stock from,
8 brood stock from some adjacent area where you
9 think it is genetically the most similar.

10 MS. KEARNS: And if you did have to
11 use genetically different stock, would that have a
12 negative impact on the existing sturgeon?

13 MS. SCHNEIDER-VIEIRA: Well, if we
14 still had existing sturgeon, we would be
15 attempting to use those. In addition -- so then
16 the answer would be no, because we're using the
17 same ones.

18 If we find that we absolutely cannot
19 find any stock from our local areas, for example
20 in Stephens Lake, we would be using brood stock
21 from Gull Lake, which is the next adjacent one.
22 And we do know that there is downstream movement
23 from, or downstream drift in the existing
24 environment from Gull into Stephens Lake.

25 MS. KEARNS: And so then there would

1 be no negative effects by using genetically
2 different fish?

3 MS. SCHNEIDER-VIEIRA: Okay. If we
4 absolutely had -- so what you're asking me about
5 is the hypothetical case where I still have an
6 existing population, but I choose to get my brood
7 stock from some other location?

8 MS. KEARNS: Yes. Yesterday in
9 response to some questions you talked about the
10 challenges in getting enough spawning material,
11 and particularly because you don't want to use the
12 same female every year. And so my follow-up
13 question to that discussion from yesterday is, if
14 there are those challenges and you are unable to
15 get genetically identical fish, would there be
16 negative consequences for the existing population?

17 MS. SCHNEIDER-VIEIRA: I think, once
18 again, we would get to the actual -- I was going
19 to say the actual issue at hand. If there is
20 obviously a concern, and there would be a concern
21 about negative consequences to a stock if you
22 introduce genetic material from some other stock,
23 if you have evidence that they are different, and
24 that's why we would like to avoid it.

25 However, if we're down to the level of

1 where there's only one or two spawning females in
2 an entire population, that also has negative
3 consequences. Because, essentially, you have no
4 more natural genetic diversity.

5 So in all cases you basically have to
6 look at what the best overall situation is.

7 It's not as if we would, for purpose
8 of convenience, go to somewhere where there are
9 abundant sturgeon and collect the eggs there, and
10 then go and release them at another location. We
11 would only be looking at using eggs from a
12 different location, or milt from a different
13 location, if we feel that we can't get stock from
14 the location that we're targeting? And that would
15 basically reflect a very, very severely depleted
16 adult population, in which case that in itself is
17 causing a genetic problem for that location.

18 MS. KEARNS: So then it would be a
19 negative consequence, but one of many negative
20 issues for the population?

21 MS. SCHNEIDER-VIEIRA: Yes.

22 MS. KEARNS: So how far upstream does
23 the zone of influence for the Kelsey Dam operation
24 extend?

25 MS. SCHNEIDER-VIEIRA: I'm sorry,

1 Kelsey or Keeyask?

2 MS. KEARNS: Kelsey.

3 MS. SCHNEIDER-VIEIRA: The effects of
4 Kelsey, I believe extend up into Sipiwesk Lake.
5 Let me just check, please.

6 It extends up into Sipiwesk Lake, and
7 so the lower portion of the Landing River, which
8 we discussed yesterday, was affected by the Kelsey
9 Generation Station.

10 MS. KEARNS: Thank you.

11 Mr. Davies, I have a couple questions
12 for you about studies you mentioned yesterday.
13 The first is you mentioned a 20 year study on
14 Cross Lake fish populations following construction
15 of the Cross Lake weir.

16 Is there a report available on the
17 results of that work?

18 MR. DAVIES: Yes. We're doing it,
19 actually, we had been doing it with the Cross Lake
20 First Nation originally, and now Pimicikamak. A
21 copy of the report for at least the first 10
22 years, and probably 15, and it may still be
23 ongoing, I'm a bit divorced from that, have been
24 given to Glen Smith in Cross Lake as they are
25 being produced.

1 MS. KEARNS: Is it publicly available
2 elsewhere?

3 MR. DAVIES: It's given to the
4 Pimicikamak in Cross Lake.

5 MS. KEARNS: So that's it, one copy
6 was sent and there's no other copies?

7 MR. DAVIES: No. In order to conduct
8 a fisheries investigation, we need a collection
9 permit, and as part of the collection permit, we
10 are bound to provide a copy of the report to the
11 Provincial Government. So a copy of the final
12 report goes to the Province of Manitoba and
13 becomes part of the public record.

14 MS. KEARNS: So that would be where,
15 at like a Manitoba library somewhere?

16 MR. DAVIES: It would be at Manitoba
17 Conservation and Water Stewardship.

18 MS. KEARNS: Thank you.

19 Mr. Davies, you mentioned in passing,
20 in a response to a question yesterday, the effect
21 of Whitefish eating Rainbow Smelt. Could you
22 provide a reference to any report on that issue?

23 MR. DAVIES: It's actually Walleye
24 that are eating the Rainbow Smelt.

25 MS. KEARNS: Thank you.

1 MR. DAVIES: And the majority of
2 information that's available on that is actually
3 from ATK. A lot of the commercial fishermen are
4 complaining that the quality of the Walleye is
5 deteriorating. And one of the things that the
6 commercial fishermen are doing now is they are
7 trying to process the Walleye faster so that we
8 don't receive this belly burn and still receive
9 the higher prices for the Walleye.

10 In one way, the Rainbow Smelt actually
11 are advantageous to the fishery because they are a
12 very high calorie fish, and Walleye are growing
13 very fast because they are feeding off of them.
14 And as long as the fishermen, fishers, are able to
15 clean the fish and get the contents of the stomach
16 out fast enough, they are fully marketable. But
17 they do have belly burn if they stay in too long.

18 MS. KEARNS: Thank you.

19 Yesterday, Dr. Schneider-Vieira, you
20 agreed that the mitigation measures that are being
21 proposed to recover sturgeon as part of the
22 Keeyask project could be done without Keeyask. Is
23 that correct?

24 MS. SCHNEIDER-VIEIRA: You mean, you
25 are referring to the stocking program?

1 MS. KEARNS: Yes.

2 MS. SCHNEIDER-VIEIRA: Yes. And I did
3 note, and I would leave it to actually Shelley to
4 comment on what the sturgeon stewardship program
5 might do in the absence of Keeyask.

6 MS. KEARNS: I just wanted to confirm
7 that that's what you said yesterday?

8 MS. SCHNEIDER-VIEIRA: Yes, but I did
9 note that what they would -- it would really
10 depend on decisions that are made in terms of
11 funding and so on. That's why I believe that
12 Shelley should comment further on that.

13 MS. MATKOWSKI: The lower Nelson River
14 sturgeon stewardship committee is concerned with
15 that particular area. And as I mentioned in my
16 presentation yesterday, they are making plans for
17 projects and actions that they will undertake, and
18 that could include stocking. But they certainly
19 will not have the resources to undertake a similar
20 stocking program to the one that's proposed under
21 Keeyask.

22 MS. KEARNS: Okay. So this could be
23 to either of you. Would you agree then with the
24 statement that if sturgeon are better off in the
25 lower Nelson River after Keeyask, it will be in

1 spite of Keeyask and not because of it?

2 MS. SCHNEIDER-VIEIRA: The Keeyask
3 project would provide basically the funding to
4 support a very comprehensive stocking program,
5 including -- well, it's over 25 years, targeting
6 not only the area affected by Keeyask, but also
7 the upper Split Lake area. And that would
8 represent a substantial increase in the number of
9 sturgeon in the reach of the Nelson River between
10 the Kelsey Generating Station and the Kettle
11 Generating Station.

12 MS. KEARNS: But is it correct that
13 the physical structure of Keeyask will destroy
14 sturgeon habitat?

15 MS. SCHNEIDER-VIEIRA: The physical
16 structure of the Keeyask Generating Station will
17 destroy sturgeon spawning habitat at Gull Rapids.
18 Because of our proposed habitat compensation
19 measures, that doesn't imply that the area will be
20 able to support fewer sturgeon, because we are
21 basically targeting, providing -- basically, we
22 are providing alternate habitat. So it's not as
23 if there would be fewer sturgeon because of the
24 Keeyask Generating Station considering the habitat
25 measures that we are using.

1 MS. KEARNS: Okay, thank you.

2 Those are my questions. Thank you.

3 THE CHAIRMAN: Thank you, Ms. Kearns.

4 Fox Lake Citizens, Mr. McLachlan?

5 MR. McLACHLAN: Would it be
6 appropriate to introduce Mr. Massan here?

7 THE CHAIRMAN: Of course.

8 MR. MASSAN: Hello, my name is Noah
9 Massan. I live in Gillam. Well, it was to be Fox
10 Lake, but it's Gillam anyways. Thank you.

11 MR. McLACHLAN: So we'll be working on
12 this together, and Noah has comments, and I have
13 questions for the panel.

14 THE CHAIRMAN: I would just note, it's
15 not a time for comments, it is a time for
16 questioning.

17 MR. McLACHLAN: Yeah, questions and
18 responses to observations that are made by the
19 panel. We'll present it in the form of questions.

20 THE CHAIRMAN: Okay.

21 MR. McLACHLAN: So, as with all the
22 other intervenors, I'm going to be going through
23 the slides as presented here.

24 Thank you very much for your
25 presentations.

1 I guess we could start by looking at
2 slide 2355. And so obviously here we're talking
3 about historic conditions. And under technical
4 studies, you mentioned that it's difficult to make
5 comparisons because of changes in methods over
6 time. That might be in terms of formal analysis,
7 but can you speak more, in more detail about some
8 of the kind of qualitative differences you have
9 seen over time?

10 MS. SCHNEIDER-VIEIRA: The studies
11 that were done were basically looking at the
12 comparison of work, of data collected in the 1980s
13 during the Manitoba environmental or ecological
14 monitoring program, to present day. And there
15 were some evidence that some fish species became
16 relatively more abundant.

17 I would have to check for a second. I
18 believe that it was that Walleye became
19 potentially less abundant, but let me just
20 double-check that, please.

21 If you're interested in knowing the
22 actual species, I'll have to take a minute and
23 look it up in the section of the aquatic
24 environment supporting volume.

25 MR. McLACHLAN: Well, maybe -- could

1 somebody in your team do that and we could
2 continue?

3 MS. SCHNEIDER-VIEIRA: Okay, that's
4 fine. I'll just let you know when we find it out.

5 MR. McLACHLAN: But would you
6 attribute, what would you attribute those changes
7 that we haven't described yet to?

8 MS. SCHNEIDER-VIEIRA: There was a
9 suggestion by one of the DFO scientists, I
10 believe, that could have been related to
11 variations in commercial fishery. What we're
12 talking about here are changes in Split Lake where
13 there is a commercial fishery. That commercial
14 fishery was closed down in the early 1970s because
15 there were mercury concerns related to mercury
16 concerns on Lake Winnipeg. And the overtime, if
17 you close down the fishery, basically, you can see
18 some shifts in the relations between Walleye and
19 other species such as Sucker and Pike.

20 MR. McLACHLAN: Along the same line,
21 what about changes in species composition
22 associated with Kettle?

23 MS. SCHNEIDER-VIEIRA: There wasn't
24 any fisheries work done early on in association
25 with Kettle. For that area, we relied on the

1 traditional knowledge from Fox Lake.

2 MR. McLACHLAN: So there were no
3 scientific studies before --

4 MS. SCHNEIDER-VIEIRA: Not early on,
5 not related to the construction of the Kettle
6 Generating Station.

7 MR. MASSAN: Back in early '60s and
8 '70s, there was studies being done, I think the
9 Province of Manitoba is doing it. Because one
10 time we were at Gull Rapids, the chopper landed
11 there. At that time there was helicopters, they
12 had a bubble. They asked us what we are doing
13 here. We said we're fishing. And then I asked
14 him, what are you doing? He said, oh, we're
15 studying fish along the Nelson, like Gull Rapids
16 and below Kettle. Because they told me there was
17 a hydro dam going to be put up in Kettle. So what
18 happened to that study there? I even seen them
19 beyond there. I seen them at Angling River too
20 one time. What happened to that? Where were you
21 guys before? You know, you guys had been studying
22 this before. People keep telling us, you guys are
23 40 years behind.

24 We had a lot of fish before in our
25 community, in the river.

1 MR. DAVIES: There were actually
2 studies conducted in the 1960s and 1970s, there
3 were some studies that were conducted prior to the
4 Lake Winnipeg/Churchill/Nelson River Study Board
5 reports, which occurred from 1972 to 1979, but
6 also some work that was done by Dr. Kachinsky in
7 some of the areas prior to that, particularly in
8 Playgreen Lake area, but also in other spots.

9 There may have been studies that were
10 occurring in that general area where you would
11 have seen a helicopter, but they may not have
12 specifically been in that particular area. Most
13 of the work on Stephens Lake was conducted under
14 the Manitoba Ecological Monitoring Program, which
15 was the one that started in 1985.

16 MS. SCHNEIDER-VIEIRA: Sorry, I have
17 in front of me now the figure, and if you're
18 interested in looking at it, it is in the aquatic
19 environment supporting volume, figure 5-1, and it
20 compares a catch per unit effort between studies
21 done from 1983 to 1989, as part of the Manitoba
22 Ecological Monitoring Program, as well as the work
23 done by North/South Consultants as part of the EIS
24 studies for Manitoba Hydro and the Partner First
25 Nations.

1 And it just shows a higher, in '83 to
2 '89 period there were relatively more Cisco,
3 Whitefish, Sucker and Mooneye, and relatively
4 fewer White Sucker, Walleye and Northern Pike.

5 MR. McLACHLAN: And you still
6 attribute that to the commercial fishing when you
7 look at the figure now?

8 MS. SCHNEIDER-VIEIRA: No. On
9 Stephens Lake, we wouldn't attribute that to the
10 commercial fishing. There we had thought that it
11 could be related to differences in the methods.

12 MR. McLACHLAN: What about changes in
13 sturgeon populations that emerge from those past
14 studies?

15 MS. SCHNEIDER-VIEIRA: Within the
16 Stephens Lake itself, as I mentioned in the
17 response to the earlier question, we relied on the
18 Aboriginal traditional knowledge from the Fox Lake
19 people, including Mr. Massan, to tell us that
20 prior to the development of the Kettle Generating
21 Station there were sturgeon in that area. And
22 they noted in the reports that they prepared where
23 they did see the sturgeon.

24 The first sturgeon studies that I'm
25 aware of for Stephens Lake were actually started

1 in the early 2000s, as part of the work being done
2 for the Keeyask Generating Station.

3 MR. McLACHLAN: And today you describe
4 some of that, but you described it in very kind of
5 general kinds of ways. In terms of those
6 interviews with Mr. Massan and others, did you try
7 to get at actual numbers in terms of harvest and,
8 you know, kind of energy that was put into
9 harvesting, or those kinds of data as well?

10 MS. SCHNEIDER-VIEIRA: The Aboriginal
11 traditional knowledge work done with each of the
12 Partner First Nations was lead by those First
13 Nations. And so the interviews that were done for
14 Aboriginal traditional knowledge were done
15 basically by Fox Lake themselves.

16 We did at some point provide some
17 interview guidelines that asked for somewhat more
18 detailed information. The extent to which they
19 chose to follow those guidelines was obviously up,
20 or those requests, was obviously up to the First
21 Nations themselves.

22 MR. McLACHLAN: We have talked today
23 about ATK and its use in describing past
24 conditions, especially when scientific data aren't
25 available.

1 Did you ask questions about future
2 impacts, in terms of, did you see each value first
3 of all in Aboriginal traditional knowledge, in
4 predicting future impacts? And secondly, can you
5 describe that?

6 MS. SCHNEIDER-VIEIRA: To clarify once
7 again, the North/South Consultants did not do any
8 of the traditional knowledge interviews. Those
9 were done by the First Nation. They chose how to
10 do the program, they chose who to interview. As I
11 said, we had provided some suggestions and some
12 requests, but the programs themselves were
13 designed and implemented by the First Nations.
14 There will be a panel, I believe, after this one
15 that will talk -- that will be the First Nations
16 and you'll be able to ask them about the methods
17 that they used.

18 MR. McLACHLAN: Fine. I'm less
19 interested in the methods and more about the
20 predicted impacts. You have incorporated past
21 impacts in your presentation, but you haven't
22 talked about predicted impacts that arose out of
23 the ATK.

24 MS. SCHNEIDER-VIEIRA: The predicted
25 impacts from the Fox Lake First Nation were

1 discussed in the response to EIS guidelines, as
2 well as obviously in their own report. And they
3 raised concerns in particular in relation to
4 effects to fish movements. And they also raised
5 concerns -- I'm just trying to remember now, it is
6 highlighted. Would you like me to pull out that
7 part of the documents?

8 MR. McLACHLAN: Sure, that would be
9 wonderful.

10 MS. SCHNEIDER-VIEIRA: Okay.

11 In terms of -- now, all of the First
12 Nations prepared their own reports, as I'm sure
13 you are aware. So here are just some of the key
14 points specific to the aquatic environment that
15 were referenced in the Fox Lake report.

16 One was, the first was, I should just
17 provide you a page reference, it's the response to
18 EIS guidelines, page 6-239 going on to page 6-240.

19 So, first of all, all the First
20 Nations noted they felt that water levels on Split
21 Lake would increase. There were concerns related
22 to water level increases and the decay of peat and
23 other organic matter. This erosion was expected
24 to result in the deposition of more sediments on
25 the bottom.

1 You'll notice a lot of these are very
2 similar to the technical conclusions.

3 There are concerns related to spillway
4 and turbine mortality, and an interest in looking
5 at fish passage. As I mentioned yesterday, there
6 were two fish passage workshops in Thompson where
7 fish passage was discussed.

8 There were concerns with dewatering of
9 the south channel of Gull Rapids, as being an area
10 that needed, required some form of mitigation.
11 And that is also actually a mitigation measure
12 that has been undertaken.

13 Fox Lake members are concerned with
14 the long-term viability of the sturgeon population
15 in the Gull Lake area if Keeyask is built. And
16 they expect that there will not be viable
17 populations without significant restocking
18 efforts. And there is concerns about the
19 long-term success of those stocking programs.

20 There were concerns from some of the
21 elders with respect to the collection of lake
22 sturgeon eggs. And they also had indicated that,
23 as we found in some of the technical work, that
24 survival will be lower if the fish are released at
25 a younger life stage.

1 And finally, there was the report
2 that, as we have indicated, that when there is
3 hydroelectric development, the suitability of fish
4 for consumption in terms of palatability, their
5 taste and texture declines. And that effect was
6 expected to continue if Keeyask is developed.

7 MR. McLACHLAN: Great. Thank you.

8 MR. DAVIES: I'll just add one point.

9 We also noted that Mr. Massan had
10 specific concerns about potential presence of
11 baffle blocks downstream of the spillway.

12 MR. MASSAN: I thought we were talking
13 about Gull Rapids, not Long Spruce, like about
14 those baffle blocks.

15 MS. SCHNEIDER-VIEIRA: Yes. To
16 clarify, Mr. Massan, you are correct that you had
17 observed the baffle blocks downstream of Long
18 Spruce.

19 MR. MASSAN: Long Spruce.

20 MS. SCHNEIDER-VIEIRA: As I recall,
21 you were concerned if you put that in Keeyask,
22 fish going over that spillway will be killed if
23 they hit the baffle blocks. The advantage of the
24 spillway at Keeyask is that it will not have
25 baffle blocks. It's being developed in the

1 existing river channel, which is really hard
2 bedrock, so there is no need for baffle blocks, or
3 any kind of a deep basin like you see at the
4 Kettle Generation Station either.

5 MR. MASSAN: The concern I had with
6 baffle blocks at Long Spruce, why did they leave
7 them? You know, I hear different stories from
8 other Hydro people. They were put there for, once
9 that forebay, Long Spruce Forebay was, the water
10 went through the -- the guy that told me, he said
11 to slow the water down when it comes through the
12 spillway. I saw those baffle blocks were put in
13 there, but why didn't they pull them out? They
14 are still there. Because I noticed -- I said I go
15 fishing down there sometimes. When they open the
16 spillway, you see all the seagulls. So I started
17 wondering why seagulls are all flying around over
18 there. So I went and looked. I see a lot of dead
19 fish around there, is that why those two baffle
20 blocks are killing those fish, you know, when they
21 let that water through the spillway?

22 MS. SCHNEIDER-VIEIRA: My
23 understanding from the engineers is that Long
24 Spruce, the situation in the spillway is
25 different. And there those large blocks are still

1 required because when there's a spill, they need
2 to put something in there to basically take some
3 of the energy -- that water hits it and it uses up
4 some of the energy. Otherwise, it would erode the
5 shoreline or something like that.

6 MR. MASSAN: Well, Kettle is same
7 thing. How come they didn't put baffle blocks in
8 there?

9 MS. SCHNEIDER-VIEIRA: I'm sorry?

10 MR. MASSAN: They had the same kind of
11 rock -- the rock was the same thing, granite.
12 Long Spruce is same thing. But they didn't put
13 baffle blocks at Kettle when they opened the
14 spillway, it's just wide open. How come they
15 couldn't do that for Long Spruce? They should
16 take those baffle blocks out I think. But I don't
17 know how they are going to do that because they
18 jammed a bunch of rebar in there.

19 I was in the right place the same
20 time. I made a road to those baffle blocks when I
21 was operator, that's all I know. Because if I
22 didn't bring that concern in Thompson, you know,
23 they asked me how do you know about it? Because I
24 work there to see. That's how I know these
25 things. I was the operator. I made a road to

1 those baffle blocks, you know.

2 MS. SCHNEIDER-VIEIRA: I'm not an
3 engineer, but what I understand is that in each,
4 depending on the design of the spillway, sometimes
5 you need a way to get some of the energy out of
6 the water. So in Kettle, they used one kind of
7 design, in Long Spruce they used baffle blocks but
8 those baffle blocks are still required.

9 At Keeyask, we are fortunate in that
10 baffle blocks aren't required because of the type
11 of stone that will be present in the spillway, and
12 that they will be able to use the existing river
13 channel, which is very hard rock, so we won't need
14 any stone, or to add baffle blocks in that area.

15 MR. MASSAN: Okay. I have a question.
16 There is an engineer, but I'm not saying his name,
17 he's Hydro, Manitoba, he works for you guys. He's
18 an engineer, he told me different story. You're
19 telling me all different too.

20 MR. McLACHLAN: Is there room within
21 this process, if a question comes up for say
22 another panel that has already presented, to
23 follow up with them?

24 THE CHAIRMAN: Well, this really isn't
25 an issue before this panel. We're looking at the

1 Keeyask Generation Station. I think it's a
2 legitimate question that Dr. Schneider-Vieira has
3 attempted to respond to, but it's not really a
4 matter before this panel. I think that at some
5 point, Manitoba Hydro has been directed to do a
6 regional cumulative effects assessments, and
7 that's the type of question that could be put at
8 that time in that process.

9 MR. McLACHLAN: Maybe we can follow up
10 at a later date around that.

11 THE CHAIRMAN: Yes.

12 MR. McLACHLAN: Okay.

13 So moving on, if we look at page 19,
14 under the coordinated aquatic monitoring program?
15 And it says here that it was first implemented, or
16 kind of incorporated in management in 2008, but
17 that it was designed earlier in 2006. Is that
18 right?

19 MR. DAVIES: There was a memorandum of
20 understanding that was in place between the
21 Province of Manitoba and Manitoba Hydro in 2006.
22 In 2007, there was a workshop and a number of
23 discussions, and at the workshops we invited a
24 number of external experts, people from the
25 Department of Fisheries and Oceans, Department of

1 the Environment, external scientists, I think I
2 mentioned that one of the individuals actually
3 worked on the original Lake
4 Winnipeg/Churchill/Nelson River Study Board
5 reports, and a number of other government agencies
6 to assist in developing the program to make sure
7 that we had the full scientific expertise for
8 this.

9 After 2007, there were very strict
10 protocols that were developed and put in place to
11 make sure that we didn't have the problem that we
12 had in the past where data that were being
13 collected weren't comparable. So the protocols
14 were put in place in 2007 and the sampling started
15 in 2008.

16 MR. McLACHLAN: And those protocols
17 are still maintained now then?

18 MR. DAVIES: Yes, they are.

19 MR. McLACHLAN: So was CAMP, the
20 description and the content included in the EIS?

21 MR. DAVIES: CAMP data was used in the
22 EIS. And where it is, I believe it's noted.

23 MR. McLACHLAN: Now, I have been told
24 that it's only mentioned in the glossary, but that
25 there isn't a full description in terms of the

1 data that had been collected through CAMP. Is
2 that right, or is it present in greater detail in
3 some of the documentation?

4 MR. DAVIES: There were over 10 years
5 of very directed field studies that were conducted
6 for the Keeyask project. So the majority of the
7 information collected for the Environmental Impact
8 Statement was actually directed by the Keeyask
9 studies itself. There was some information that
10 was provided by CAMP that was also used, but it
11 was supplemental information.

12 MR. McLACHLAN: And is that
13 information available to the participants here, in
14 any compiled manner?

15 MR. DAVIES: As I was saying, there is
16 a website that's being developed, and it's a
17 public website, and there is information on the
18 website right now, and it will be populated within
19 the near future so that people have access,
20 immediate access to the information that's being
21 collected.

22 MR. McLACHLAN: And so you're
23 anticipating -- what's the time line that you are
24 anticipating for that to take place?

25 MR. DAVIES: One moment, please.

1 I'll have to get back to you. As I
2 said, the website is up and there is information
3 on it. The types of information that will be put
4 on will be more of a summary type for people to be
5 able to understand what has been going on and the
6 types of data that have been collected. If you'd
7 like me to get back when there will be more
8 information, I can do that.

9 MR. McLACHLAN: That would be great.

10 Do you anticipate that there will be
11 raw data, or more detailed data outside of the
12 summary information available on the website?

13 MR. DAVIES: Right now the plans are
14 to put on, not the raw data itself, but the
15 analyzed data. The primary reason is that the raw
16 data usually isn't of much use to people. It is
17 being shared with other organizations, but it's
18 not really much use to people unless it's put in a
19 way that people can understand. And we are trying
20 to use the information that we're comparing, say
21 mercury levels in one community to mercury levels
22 in another lake, and then mercury levels in
23 another lake, so that people have an idea of what
24 the mercury levels might be in their lake as
25 compared to Playgreen Lake, or Cross Lake, or

1 Split Lake, and provide a better understanding to
2 the public.

3 MS. JOHNSON: Excuse me, could I just
4 interrupt for a second? Is this an undertaking,
5 are you asking for an undertaking, and what
6 exactly are you asking for, just so we can have it
7 on the record.

8 MR. McLACHLAN: Is that directed to
9 me?

10 MS. JOHNSON: To both of you.

11 MR. McLACHLAN: I think there was a
12 concern amongst some of the participants that
13 there were data that had been collected through
14 the CAMP that might have been useful in terms of
15 making sense of past changes. And obviously, I
16 mean, it's great this website is being developed,
17 but perhaps there are other ways that those data
18 could be made available in the interim, would be
19 number one.

20 And number two, I guess I'm wondering
21 if there's a way through that website, if people
22 want additional information, if there's a process
23 by which they could follow through that website to
24 collect those data?

25 MR. DAVIES: I'd like to answer the

1 previous question first. I have just been told
2 that the website is up and running, and that the
3 information should be on in approximately three
4 months, so relatively short time frame. And that
5 the majority of the information that will be
6 provided will be figures and tables. If there are
7 requests for specific information, that will be
8 made through Manitoba Hydro.

9 MR. McLACHLAN: For sure. Thank you.
10 And as part of CAMP, were you collecting ATK as
11 well in the past, or was it a science only
12 initiative?

13 MR. DAVIES: At this time, it's a
14 science initiative. There is consultation by
15 Manitoba with each of the communities where the
16 work is being conducted.

17 MR. McLACHLAN: Okay, thank you.
18 Going forward, 1143. Here, 1143, and this is only
19 for visual reference. I mean there's mention here
20 acoustic tagging, it's my experience and
21 experiences, you know, of other people,
22 researchers in the north, that there is often
23 community concerns around acoustic tagging and
24 some of the other manipulative tools that we as
25 scientists use. Can you speak to that a little

1 bit?

2 MS. SCHNEIDER-VIEIRA: You are quite
3 correct, there are a lot of concerns with all of
4 the First Nations with any kind of technique where
5 basically you are catching fish, you're doing
6 something, be it injecting hormones for spawn
7 collection, be it putting in internal tags. Even
8 there is a level of discomfort with just applying
9 the little floyd tags or the little spaghetti tags
10 because it's seen as being both potentially
11 harmful and also disrespectful to the fish.

12 The early work that we did during the
13 EIS in terms of both acoustic and radio tagging
14 was done in the early 2000s. At that time, we
15 tagged relatively few fish for that very reason.
16 We tagged enough to demonstrate that, yes, fish
17 can go upstream and downstream over Gull Rapids
18 but we did not pursue it further because of the
19 concerns of the communities with the internal
20 tagging.

21 During the fish passage workshops
22 which were held around, I was going to say
23 2008/2009, that would be subject to check, there
24 were First Nations once again raised their
25 concerns with the tagging but they also then began

1 to realize the importance of the data that could
2 be collected through these tags. Before
3 additional tagging or internal tagging was done,
4 there were then further one-on-one meetings
5 actually where Dr. Barth went actually to the
6 Community of Fox Lake in particular to discuss
7 with them how the tagging is done, why it's
8 important, and get their input into the study
9 design that is currently being conducted.

10 But yes you are right, there is a lot
11 of concern with these kinds of internal tags. And
12 we have worked very closely with the First Nations
13 to get a better mutual understanding what's going
14 on and to get their input into the studies which
15 we hope increases their level of comfort with the
16 work that's being done.

17 MR. McLACHLAN: As a follow-up to
18 that, you described how early on you reduced the
19 number perhaps of fish that you had actually
20 tagged to accommodate those concerns. Are there
21 other ways more recently that you changed your
22 design or changed your methodology to accommodate
23 concerns?

24 MS. SCHNEIDER-VIEIRA: What we did
25 more recently is we have basically gone as indeed

1 I should mention that the biologists themselves
2 also don't want to tag more fish than is required
3 because we also recognize that you're catching a
4 fish, you're implanting something. Yes, we feel
5 that it's not having a long-term negative effect
6 but you also want to be -- to not disrupt fish or
7 the environment unnecessarily when you yourself
8 are doing your studies.

9 But what we are doing now is we're
10 working with the minimum number of tags that both
11 DFO and Manitoba Conservation and Water
12 Stewardship have indicated are acceptable for the
13 different areas. And there is also, as I said,
14 been the close work with the communities in terms
15 of telling them what's going on. They actually
16 are participating in the studies where the tags
17 are being put on as well as discussing with them
18 where things like the transmitters are being put
19 into the environment. So there's that close work
20 with the communities, or I should say with Fox
21 Lake.

22 MR. McLACHLAN: You just spoke now
23 about how you, a scientist, recognize that it can
24 have adverse impacts in the short term in terms of
25 a fish health. What about studies that have done

1 follow-up studies on tagged fish? Are there any
2 data that show that there are differences in
3 behaviour and mortality associated with tagged
4 fish? And can you speak to those, please?

5 MS. SCHNEIDER-VIEIRA: With very
6 limited exception, we have had no mortalities or
7 immediate post tagging mortalities of tagged fish.
8 I believe that there was one. The size of the tag
9 that you put in is very important. If you put
10 in -- basically if you want to tag that will
11 continue to transmit over a longer period, you
12 need to have a larger battery. And so it's the
13 size of that battery and the additional
14 information from having a longer term tag versus
15 the size of the fish that's very important. Early
16 on, we did some work where there was a tag that
17 was inserted in the fish that was simply too
18 large. We discovered that that didn't work. And
19 we subsequently modified our methodology.

20 The trick is that apart from
21 mortality, we don't know how non-tagged fish move
22 in the environment. So we have seen tagged fish
23 move widely. We don't think they are being
24 negatively affected but I do recall that at one of
25 the fish passage workshops, an elder took the

1 opposite view. She said well those fish are
2 swimming all over the place because they are being
3 disturbed by the tag. And she has a point. I can
4 only say if the fish is healthy enough to swim
5 around, but I don't know because there is no
6 tagging data on how an untagged fish would be
7 swimming in the environment.

8 MR. McLACHLAN: And in terms of other
9 studies, you know, in terms of marked and
10 recaptured studies of fish that have been tagged
11 and ones that haven't, are there any data that
12 indicate that they do suffer from differences in
13 mortalities?

14 MS. SCHNEIDER-VIEIRA: We haven't seen
15 any difference in where the tagged and non-tagged
16 fish that were -- we haven't seen any clear
17 evidence. But as I say, it's difficult because we
18 don't know how the non-tagged fish are moving. We
19 also don't see a huge difference between our floyd
20 tagged and our acoustic tagged fish. And we have
21 recaptured the acoustic tagged fish many times
22 over time and we have also seen those acoustic
23 tagged fish survive for a long time. We have even
24 had some returns of acoustic tagged fish after the
25 tag was no longer functional and they were caught

1 by a resource harvester and they returned that tag
2 to us.

3 MR. DAVIES: For people that aren't
4 familiar with floyd tags, they are a very small
5 spaghetti like tag that's attached to the fish.
6 They are not inserted like acoustic or radio tags.

7 MR. McLACHLAN: And so that's your
8 experience. But is that also reflected in the
9 larger literature?

10 MR. DAVIES: There have been some
11 scientific studies that have shown, for example,
12 that if a tag weighs less than 2.5 percent of the
13 body weight of the fish, that there doesn't appear
14 to be any impact on that fish.

15 MR. McLACHLAN: Perfect, thank you.
16 Noah has a question for you related to the
17 behaviour of the fish.

18 MR. MASSAN: Once you guys cut up to
19 put that, I don't know what you guys put in that
20 sturgeon, in their stomach there, why is that fish
21 just hanging around that area? Like, for instance
22 Kettle, Kettle dam there. I caught the sturgeon
23 below the bay where the sturgeon used to be a long
24 time ago. I caught that fish in gill nets. I
25 caught one below that bay and one near that dam.

1 The one that's tagged, that sturgeon. And then it
2 wasn't even healed too, it's kind of bruised up
3 here. How long does it take for them to heal?

4 MS. SCHNEIDER-VIEIRA: Let me just
5 check with the individuals who do the tagging. I
6 was told, obviously we can't record in the wild
7 how long it takes for them to heal up completely.
8 You will continue to be able to see the incision.

9 Just like when a human has a cut. I
10 should explain. There's an incision and that
11 incision is actually stitched shut. So for any of
12 you who have ever had a cut, you know you have a
13 cut, it's stitched up, it heals, but you still can
14 see the scar for a long time.

15 In terms of it not being -- in terms
16 of what we know about how quickly it heals, there
17 were just some fish that had internal tags put on
18 them in a hatchery environment where we were
19 keeping them and those were observed to be
20 completely healed within a week.

21 MR. MASSAN: Okay. Next summer, if I
22 catch it, I want to put him out of his misery if
23 he's not healed. You know, that fish shouldn't
24 suffer that if he's not healing. One of those
25 first nations, our band was telling me they tied

1 that fish upstream and it ended up down there.
2 And they told us he's not healing. You know, next
3 summer when I set the nets in place there, if I
4 catch it, you know, I would have kept it but I
5 don't know if it's safe to eat.

6 MS. SCHNEIDER-VIEIRA: It would be
7 very interesting to us if you do catch a sturgeon
8 that has been, you know, that has one of those
9 incisions, if you could note what the number is on
10 the floyd tag because then that would really give
11 us valuable information on saying yes, that
12 sturgeon -- you know, this is when the acoustic
13 tag was put in and this is what the incision looks
14 like, however much longer after it's put in that
15 you capture it.

16 We are aware of the two sturgeon that
17 moved from Stephens Lake downstream into the --
18 downstream of Kettle, so they went past the
19 generating station. And we know that they are
20 still moving around. And so we know the last time
21 we still had the transmitters in the environment,
22 we'd know that they were still alive, but it would
23 be interesting to know how well that incision has
24 healed over time.

25 MR. MASSAN: What's in it for me? Why

1 should I do your studies? There's nothing in it
2 for me, I'm just fishing.

3 MS. SCHNEIDER-VIEIRA: Well, Noah, as
4 you know, if you do harvest the fish, you can get
5 some money, a small payment for the tag return as
6 information. We have to say from a scientific
7 perspective, it's very -- we really appreciate it
8 when people don't harvest the tagged fish because
9 then they can continue to provide information to
10 the studies. I suppose we would have to appeal to
11 your interest in a better understanding of lake
12 sturgeon in terms of if you choose whether or not
13 to tell us what the fish is looking like when you
14 catch it.

15 MR. McLACHLAN: I just wonder, and
16 this is a question for you all, if this might be
17 an example of how community members and fishers in
18 this case can work with scientists in CAMP. And
19 so bringing it back to CAMP, do you see these
20 kinds of experiences as an opportunity for better
21 monitoring information coming out when harvesters
22 are working more closely with Hydro and more
23 specifically the scientists involved in CAMP?

24 MR. DAVIES: I think that's correct.
25 And as I had said previously, there was a very

1 large number of First Nation members that
2 participated in the studies and that we develop
3 very good relationships with those individuals.
4 And a lot of information was shared both from our
5 people to them and from their people to us. And
6 the information was quite valuable. And we are
7 getting information from people like Mr. Massan
8 and others in the area.

9 MR. McLACHLAN: Perfect. Thank you.
10 If we move ahead to 13-45. Here it talks about a
11 temporary increase in phosphorous. Can you
12 explain to me why there would be an increase in
13 phosphorus?

14 MS. SCHNEIDER-VIEIRA: Can you please
15 give us a slide number?

16 MR. McLACHLAN: 13-45.

17 THE CHAIRMAN: Thirteen in Dr.
18 Vieira's presentation.

19 MR. McLACHLAN: Sorry, I'll always use
20 the higher number from now on.

21 MS. SCHNEIDER-VIEIRA: Could you
22 please repeat the question?

23 MR. McLACHLAN: So the question was,
24 there's an observation here that there's a
25 temporary increase in phosphorus and I'm just

1 wondering what the cause of that is.

2 MS. SCHNEIDER-VIEIRA: This was a
3 study that was done after the Lake Winnipeg
4 Regulation and Churchill River Diversion. And the
5 thought was that that was related to the flooding
6 as a result of the Churchill River Diversion. And
7 that will be subject to check.

8 MR. McLACHLAN: So would you
9 anticipate a similar -- first of all, is there a
10 similar increase in terms of the water data that
11 you have collected as it relates to Keeyask?

12 MS. SCHNEIDER-VIEIRA: First of all,
13 let me just indicate that the authors of that
14 study, it was a historic study, and they didn't
15 attribute a specific cause to the increase in
16 phosphorus.

17 In terms of the Keeyask project, we
18 anticipate that there will be an increase in
19 phosphorus in the flooded areas. As I stated in
20 my presentation, because of the large volume of
21 water moving down the main stem of the Nelson
22 River and the limited mixing between the flooded
23 area and the main stem, we don't expect the
24 concentration of phosphorus to increase measurably
25 in the main stem of the Nelson River.

1 MR. McLACHLAN: That said, I think we
2 have heard observations that there had been
3 increases in algae. Is that true?

4 MS. SCHNEIDER-VIEIRA: There are two
5 different pathways by which algae can be affected.
6 We indicated that in the flooded areas, you might
7 see periodic algal blooms once the turbidity
8 declines over time. And that would be related to
9 the water not moving as much, being a little bit
10 clearer and perhaps having elevated levels or
11 somewhat elevated levels of phosphorus.

12 We also stated that because you are
13 constructing the dam and some of the sediments are
14 actually settling out of the water, you may have
15 an increase in the incidents of algal blooms in
16 the lower part of the reservoir and in the
17 southern part of Stephens Lake in the area. We're
18 not certain whether or not that will occur because
19 the water is still moving relatively swiftly
20 through that area so it just doesn't allow much
21 time for algae to grow.

22 MR. McLACHLAN: I have heard that even
23 in terms of your own studies, that there are algae
24 kind of covering your nets that you are using to
25 catch fish. Is that the case?

1 MS. SCHNEIDER-VIEIRA: Yes, that's the
2 case.

3 MR. McLACHLAN: So is that consistent
4 with experiences of fishers in the area as well?

5 MS. SCHNEIDER-VIEIRA: Yes, it is. I
6 mean everyone speaks of the green slime.

7 MR. McLACHLAN: And so with that, you
8 are saying you would anticipate that with
9 impoundment of the water, a reduction in the flow,
10 that you would anticipate that would continue to
11 be a problem in the future?

12 MS. SCHNEIDER-VIEIRA: In terms of the
13 green slime, or it's also -- the fancy algal name
14 for it is periphyton, that's been reported for
15 decades out of the system, even prior to any kind
16 of development. I was going to say there's a note
17 from the Fisheries people. Of course, it depends,
18 you know, on how long you leave your net in how
19 much slime it gets. I don't know that we would
20 anticipate there to be a detectable difference for
21 the fisher. You're getting the green slime now,
22 you will continue to get the green slime. I don't
23 know that the small difference we're expecting in
24 the amount of algae would cause a detectible
25 difference in the amount of slime that you're

1 getting in your net.

2 MR. MASSAN: That stuff you are
3 talking about, back in '60s and '70s and '80s,
4 there wasn't that much algae. Is that what you
5 call it? There wasn't that much in them days.
6 But I notice, I set my net out two weeks to catch
7 fish. I got lots of that algae in my net, about a
8 300-foot net two days. Lots of that stuff.
9 There's a big change. There seems to be lots of
10 it now.

11 MS. SCHNEIDER-VIEIRA: Certainly when
12 we looked at the -- well, there are a variety of
13 sources that we used. The Split Lake PPER
14 reported green slime. Each of the First Nation's
15 reports indicated green slime. We have seen green
16 slime. So it's interesting that you're saying
17 that now this late in the fall, you are seeing a
18 lot in a net and perhaps more than you have seen
19 in other years. I can't speak to what is causing
20 changes in the amount that you see over time. I
21 have been told by people who fish, that it depends
22 a lot on how long your net is in the water and
23 where you set. And obviously what's been
24 happening, you know, is the water still warm so
25 the algae still can grow or has it cooled off?

1 And maybe right now, this is a very long warm fall
2 and so that's why there's more now than you would
3 normally see at this time of year. I can't say
4 for sure.

5 MR. MASSAN: Yeah, because you see a
6 lot of that stuff along the dykes too. Like
7 saddle dam, dyke four, dyke six, along the
8 shoreline. You see a lot of that stuff now.
9 Before we didn't used to see that. There has been
10 a big change along the shorelines.

11 MR. DAVIES: I'd just like to add one
12 thing. For people that haven't set nets, one of
13 the things that's quite annoying for the people
14 that do set nets, including scientists, is when
15 you pull that net up and it has the green slime on
16 it, it takes a long time for it to get off. So
17 that's one of reasons it's been brought up.

18 MR. MASSAN: I know there's no south
19 shed nets there. And I see some, the 200 nets
20 that were dumped there about a month ago I think.
21 I said, "How come you guys are throwing these
22 away?" "Too much algae," he said. "It costs too
23 much to pay a guy to clean them." That's what the
24 guy told me. So I don't know.

25 MR. DAVIES: I'll have to speak to

1 them about that.

2 MR. MASSAN: Because I picked some of
3 those nets, I clean them myself. I just hang them
4 on the tree and just shake the thing off, you
5 know. Maybe I should have took pictures of them.
6 I'm sorry I didn't. But they threw nets away and
7 burnt them too.

8 MR. DAVIES: I will definitely speak
9 to them about them.

10 MR. MASSAN: If you want to see nets,
11 go to the Hydro compound. There's some hanging
12 with algae right now. Two days ago I seen them.
13 They didn't take them off the fence. You can give
14 me them if you want to. I'll go clean them.

15 MR. McLACHLAN: So do you anticipate
16 that kind of with the changes, that there will be,
17 and this was spoken to by one of the other
18 intervenors, that there will be changes in the
19 type of green slime, you know, different algae
20 species that will kind of grow to occupy the
21 impounded water?

22 MS. SCHNEIDER-VIEIRA: In our
23 analysis, we didn't anticipate there to be a
24 change. In particular, it's important to remember
25 that for -- there's a very large amount of flow in

1 the Nelson River. And just as we see in Stephens
2 Lake, the areas that are off current are quite
3 different from the areas along the main flow. And
4 that main flow will go through the Keeyask
5 reservoir and it will continue on through the
6 southern part of Stephens Lake. So no, we're not
7 anticipating there to be a big change in the kinds
8 of algae. However, because sometimes people are
9 not correct in their predictions, part of the
10 monitoring program will be analysis of both
11 chlorophyll A, which is the pigment that's in
12 algae, to give a general amount, as well as we do
13 collect periodic samples to look at the kinds of
14 algae that are there because algae of course is a
15 concern to people using the environment.

16 MR. McLACHLAN: And so when you look
17 at past experience say with some of the proxy
18 sites, there's no indication that those changes do
19 occur in other comparable sites? Is that true?

20 MS. SCHNEIDER-VIEIRA: I'll have to
21 check back on that. I am remembering that there
22 was some work out of the Churchill River
23 diversion. But I almost think that they found
24 that the incidents of the blue/green algae
25 actually decreased and I think that was because of

1 the increased flow through some of the lakes. But
2 I'll need to get back to you on that.

3 MR. DAVIES: I'd just like to add one
4 thing. I was being flippant when I was saying I
5 will speak to our people about it, and I will, but
6 one of the things that we do require when we are
7 doing the tests, is we have to have good quality
8 nets. If we're testing catch per unit effort, the
9 number of fish that you catch per net, the nets
10 have to be in good shape so that we can do
11 comparisons between the different types of nets.

12 So if one of the nets is damaged and
13 there's lots of holes in it and we set that and we
14 compare it to a net that's new, we'll catch more
15 fish in the net that's in better condition. So
16 once a net reaches a certain point, it has less
17 value in terms of providing comparative data
18 between sites.

19 MR. McLACHLAN: Do you agree that this
20 might be an opportunity to, say, share nets that
21 are no longer of use for scientific studies but
22 are of use to local fishers as an opportunity to
23 spread good will?

24 MR. DAVIES: Absolutely. And I had
25 mentioned earlier that one of the very young

1 summer students from TCN that worked for us in
2 Winnipeg probably saw more gillnets than he ever
3 wanted to see in his life. And that was one of
4 the things he was doing actually.

5 THE CHAIRMAN: I think we're starting
6 to stray a little off topic hear.

7 MR. McLACHLAN: Perfect, okay. I will
8 move forward to page 27 I guess, and 59 in the
9 lower number. Sorry, I guess 27 is the slide
10 number and 59 is the lower number where it talks
11 about construction effects. And so my question
12 here is around fish salvage and what will happen
13 to the fish in the cofferdams.

14 MS. SCHNEIDER-VIEIRA: A fish salvage
15 is designed basically to maintain live fish. So
16 typically you start off with short-term sets so
17 you can catch the fish in good condition and move
18 them. And generally, we would follow the
19 conditions in our fish handling permit. But
20 typically, you release them to the nearest water
21 which in this case will be immediately downstream.

22 MR. MASSAN: I notice the last three
23 dams I worked in, most of the Hydro people got a
24 hold of those fish. Where were you guys again?
25 Like when we pump the water out of the cofferdam,

1 all the fish go to that pump there. I noticed
2 that when I was working night shift. There was
3 nobody there. They grabbed the sturgeon, they
4 didn't need the small jacks and whatever.

5 MS. SCHNEIDER-VIEIRA: The generating
6 stations on the lower Nelson River did not have
7 fish salvages done. The first time that I'm aware
8 of that a fish salvage was done for a large
9 hydroelectric project was at the Wuskwatim
10 Generating Station. And there were over, from the
11 lower cofferdam, I think we salvaged over 2,000
12 fish that were then transported downstream.
13 Earlier stations such as Kettle, Long Spruce and
14 Limestone did not have fish salvages that I'm
15 aware of.

16 MR. McLACHLAN: And do those -- do any
17 follow-up studies and monitoring indicate, say
18 with Wuskwatim or otherwise other studies or other
19 projects, that those fish suffer higher mortality
20 or any adverse effects from being shifted in that
21 way?

22 MS. SCHNEIDER-VIEIRA: There aren't
23 any studies. Essentially what we want to do is
24 capture the fish and move them as quickly as
25 possible with as little handling as possible. So

1 I couldn't tell you how they survived. I did have
2 a note though that for the Limestone Generating
3 Station, there were some sturgeon that were
4 salvaged and moved by Manitoba Conservation and
5 Water Stewardship.

6 MR. MASSAN: Yeah. During the day
7 only but what happened to the nights, night
8 shifts? Because I seen some guys taking sturgeon
9 there when I was working night shift near those
10 pumps. You know, they are not there full 24 hours
11 what I got to see.

12 MS. SCHNEIDER-VIEIRA: I am also aware
13 of reports from both the Limestone -- well
14 actually all three generating stations that
15 sturgeon were harvested at the time the generation
16 stations were conducted. And that was one of the
17 potential reasons why the sturgeon numbers in
18 those particular forebays decreased following
19 impoundment, because the sturgeon were removed.

20 MR. McLACHLAN: And does your
21 information indicate that it was primarily Hydro
22 employees that were taking those?

23 THE CHAIRMAN: That's not relevant.

24 MR. McLACHLAN: I would just add --
25 okay, let me change that. So when we look at the

1 current situation, are you taking steps to prevent
2 that from happening?

3 MS. SCHNEIDER-VIEIRA: Yes.

4 MR. McLACHLAN: What would those steps
5 be?

6 MS. SCHNEIDER-VIEIRA: People will not
7 be allowed to harvest fish at the project site and
8 that is within the actual construction area there
9 won't be any harvest permitted.

10 MR. McLACHLAN: Thank you. If we can
11 move forward now to page 23 or 55, or I guess it's
12 backwards to 23 or 55.

13 THE CHAIRMAN: Dr. McLachlan, I'm just
14 looking to taking a morning break. Will you be
15 much longer?

16 MR. McLACHLAN: I'm about halfway
17 through, so would it be a good time to take a
18 break now?

19 THE CHAIRMAN: Yes, I think it would
20 be. We'll break for 15 minutes.

21 (Proceedings recessed at 11:00 a.m.
22 and reconvened at 11:15 a.m.)

23 THE CHAIRMAN: We will reconvene now,
24 please?

25 Okay. I would hope that we can

1 conclude this segment by the time of our noon
2 break, and that would include a number of
3 questions from the panel.

4 Dr. McLachlan, I would ask you to not
5 stray too far from the materials that were
6 presented by this panel yesterday.

7 MR. McLACHLAN: Sorry, about that, I
8 will try and remain a little bit more focused.

9 So I have a series of questions around
10 non-indigenous and invasive species. So for
11 visual reference, I guess the same page, 2355,
12 down at the bottom talks about rainbow smelt. We
13 heard a little bit earlier about common carp. And
14 so I guess what I'm asking is, how has the rainbow
15 smelt affected the forage fish community?

16 MS. SCHNEIDER-VIEIRA: The rainbow
17 smelt have become one of the most abundant forage
18 fish species. And we haven't seen any enormous
19 change in sort of the other species. When rainbow
20 smelt first came in, we were concerned, basically
21 what has been seen in other places, for example,
22 Ontario, is they add another level to the food
23 chain so that species such as walleye would have
24 higher mercury levels. We have not seen that.
25 And the other thing which has been seen in some

1 lakes is that when you have rainbow smelt, that
2 the lake whitefish disappear. And also we haven't
3 seen that. So two of the effects that we were
4 most concerned with have not occurred.

5 MR. McLACHLAN: Do we know how they
6 were introduced?

7 MS. SCHNEIDER-VIEIRA: I am sorry?

8 MR. McLACHLAN: Do we know how they
9 were introduced, the rainbow smelt?

10 MS. SCHNEIDER-VIEIRA: The rainbow
11 smelt have been spreading through the system.
12 They were observed in Lake Winnipeg first, and
13 then going down the Nelson River. So I think they
14 have just been following the natural watershed.

15 MR. McLACHLAN: Thank you.

16 Do we anticipate that their presence
17 will be affected, one way or another, either by
18 the construction or the operation of the dam?

19 MS. SCHNEIDER-VIEIRA: That is one of
20 the questions that we looked at. Currently, they
21 are actually somewhat more abundant in Gull Lake
22 than in Stephens Lake. Technically you would
23 expect that in a reservoir they would be more
24 abundant, but certainly at present that doesn't
25 seem to be the case.

1 MR. McLACHLAN: But you would
2 anticipate then that with the impoundment of the
3 water, that they will increase in the newly
4 created reservoir?

5 MS. SCHNEIDER-VIEIRA: You would think
6 they would increase in the reservoir. As I
7 mentioned, in the reservoir that we have, they
8 have not. They are not more abundant than in Gull
9 Lake. So it is one thing that will be open to
10 monitoring.

11 MR. McLACHLAN: Why would you have
12 anticipated it would increase?

13 MS. SCHNEIDER-VIEIRA: Because they
14 are more common in lake environments than in river
15 environments.

16 MR. McLACHLAN: I have a question
17 around the implications of, first of all, the
18 construction and then the operation of the dam for
19 indigenous species.

20 So when you look at proxy studies and
21 when you look at, you know, previous experience,
22 do you anticipate, first of all, with the
23 construction of the dam that there will be any
24 changes in either the benthic invertebrates or
25 fish that are non-indigenous?

1 MS. SCHNEIDER-VIEIRA: In terms of
2 invasive species?

3 MR. McLACHLAN: Invasive or otherwise.

4 MS. SCHNEIDER-VIEIRA: The spiny water
5 flea has recently been recorded from Lake
6 Winnipeg, as well as the upper portions of the
7 Nelson River. And at the request of Manitoba
8 Conservation and Water Stewardship, we did start a
9 surveillance program for that species. I can't
10 say whether it would be more or less abundant in a
11 reservoir environment. To date, what has been
12 noted in the Winnipeg River, for example, so we
13 are basically just going to monitor for it. That
14 was just a very recent addition within the last
15 year.

16 In terms of rainbow smelt, we have
17 already discussed. And finally carp were brought
18 up, and we don't have any information that carp
19 would become more abundant simply as a result of
20 the construction of the Keeyask project. Though,
21 as we, I think discussed when we talked about carp
22 yesterday, because over time if the water becomes
23 warmer as a result of climate change, over time
24 you expect southern species to shift their
25 distribution in a northward direction.

1 MR. McLACHLAN: Is it true that for
2 invasive species that prefer warmer water, that
3 they will tend to be found in greater numbers in
4 those reservoirs?

5 MS. SCHNEIDER-VIEIRA: The reservoir
6 itself will not have an effect on the water
7 temperature. These reservoirs are stratified and
8 don't change the water temperature. So the
9 invasive species will do what they will as a
10 result of regional changes, if you will,
11 province-wide changes, global changes, but we
12 haven't identified any that we think would do
13 markedly better or worse with a reservoir.

14 MR. McLACHLAN: Perfect, thank you.

15 If we go to 39 and 71, so kind of --
16 so page 39 or 71, depending on what you are
17 looking at. And then the following page as well,
18 in terms of mercury effects, and then the previous
19 page. So those three pages all have to deal with
20 methylmercury concentration. I guess, first of
21 all, looking at the graph, we see that decline
22 that you had anticipated. But the high point
23 seems in, I guess 1982 or something, '83, to be
24 greater than 1.6. And yet you talk in terms of
25 model predictions that mercury concentrations will

1 only reach about one part per million. Can you
2 explain why those would be different?

3 MS. SCHNEIDER-VIEIRA: In Stephens
4 Lake there were 220 hectares that were flooded.
5 And so compared to the pre-existing area of water,
6 there was a much greater percentage of flooding
7 than in the Keeyask reservoir, where it will be
8 basically 50 per cent flooding and 50 per cent
9 existing.

10 MR. McLACHLAN: I guess this a
11 question, pardon my ignorance, for the Chair, will
12 we be talking about human health impacts of
13 methylmercury through another panel?

14 THE CHAIRMAN: I believe that will be
15 before the -- I think it is the fourth panel.

16 MR. DAVIES: It is the next panel.

17 MR. McLACHLAN: So the socio-economic,
18 okay. Perfect, thank you, I will hold off on
19 that.

20 Do you anticipate that there will be
21 any other changes in the concentrations of other
22 heavy metals associated with the dam?

23 MS. SCHNEIDER-VIEIRA: In the water
24 quality section, there is a description of changes
25 to metal levels in the water, and there are a

1 variety of metals that will increase following
2 flooding. As with the other parameters that we
3 have discussed, we don't expect there to be a
4 detectable change in the main flow of the Nelson
5 River.

6 MR. McLACHLAN: I know other studies,
7 for example, have found that wildlife and fish
8 have high cadmium levels. Would you anticipate
9 that with the increased exposure of, you know, the
10 mineral air and rock that that will increase?

11 MS. SCHNEIDER-VIEIRA: No, there is
12 actually a section in the EIS, which I can
13 reference you to if you like, but when we
14 examined, the other metals that will increase do
15 not bio accumulate in fish, so we don't expect
16 there to be increases.

17 MR. McLACHLAN: So cadmium you are
18 saying doesn't bio accumulate in fish?

19 MS. SCHNEIDER-VIEIRA: We are not
20 expecting increases in cadmium, no.

21 If you are interested, that is
22 described in the IR CAC 22B.

23 MR. McLACHLAN: Perfect, thank you.

24 Now, as part of the monitoring you
25 will obviously be taking kind of samples of fish

1 in the future, to see if there are any
2 unanticipated changes in heavy metals?

3 MS. SCHNEIDER-VIEIRA: We will be
4 monitoring for mercury. At present there is no
5 monitoring for other heavy metals planned. If in
6 its review of the program, either the Department
7 of Fisheries and Oceans or Manitoba Conservation
8 and Water Stewardship request that this be added,
9 then it would be added.

10 MR. McLACHLAN: But you were saying
11 that you haven't seen any, or you don't anticipate
12 any increases in the other heavy metals, but you
13 are not monitoring the fish to, I gather from what
14 you just said, to see if those changes are
15 occurring? Is that based on past data then?

16 MS. SCHNEIDER-VIEIRA: It is based on
17 experience from other hydroelectric developments.
18 Other heavy metals just haven't been an issue
19 elsewhere. So when you are determining what you
20 are going to monitor, you do look at experience
21 from other water bodies and other developments.

22 MR. McLACHLAN: In Manitoba, but
23 certainly it is my experience that in other parts
24 of Canada we have seen increases in, say, cadmium
25 levels in Northern Alberta that might be

1 attributed to hydroelectric development. But you
2 are saying that would be different here because
3 the raw conditions are different?

4 MS. SCHNEIDER-VIEIRA: I'm certainly
5 not aware of studies that have indicated increases
6 in cadmium as a result of hydroelectric --
7 increases of cadmium in fish as a result of
8 hydroelectric developments. I have seen it in
9 terms of concerns with mines, and also air
10 emissions from mines and smelting operations.

11 MR. McLACHLAN: Would you anticipate
12 there would be any polycyclic aromatic
13 hydrocarbons generated through the construction
14 phase of the dam?

15 MS. SCHNEIDER-VIEIRA: We don't
16 anticipate -- well, that type of substance could
17 be introduced through an accidental spill. There
18 is a spill management plan that has -- it is
19 basically to address spills.

20 MR. DAVIES: I would just like to add
21 to that that the most sensitive test that I know
22 of for hydrocarbons in fish is actually taste.
23 The very, very small percentages of hydrocarbons
24 in fish will be tasted by people, and then, of
25 course, we would be advised of that.

1 MR. McLACHLAN: So as part of your
2 monitoring, if there was an accidental spill that
3 was known or otherwise, if people experience
4 changes in the taste of the fish, would you then
5 incorporate that into your monitoring program and
6 testing to see --

7 MS. SCHNEIDER-VIEIRA: I anticipate
8 that if there is, for example, an accidental
9 spill, that the monitoring would be adjusted
10 accordingly to address the environmental effects
11 of that spill, and I should add, if it is a spill
12 where it is expected that there was a release to
13 the water. If there is a spill that is contained
14 at a fueling area, for example, and there is no
15 risk of release to the water environment, we won't
16 be modifying our aquatic monitoring program.

17 MR. McLACHLAN: Thank you.

18 But hypothetically, say if people were
19 noticing differences in the taste of the fish that
20 were consistent with that kind of contamination
21 having taken place, is there a flexibility enough
22 within your monitoring to accommodate that and to
23 do the testing, even if there was no evidence of a
24 spill in terms of your own records?

25 MS. SCHNEIDER-VIEIRA: Yes, there

1 certainly is. And in the very last panel of this
2 series from the Partnership, you will hear about
3 the environmental, I was going to say the overall
4 environmental monitoring program, as well as the
5 monitoring advisory committee, which is a joint
6 committee of all of the partners. And that is
7 where we would expect concerns such as this to be
8 raised, such that both the technical and
9 Aboriginal traditional knowledge programs could be
10 modified to address such concerns.

11 MR. McLACHLAN: Thank you.

12 Just as a point of clarification, I
13 guess, in page 2153, so either 21 or 53, in terms
14 of operation effects, down at the bottom
15 associated with the Long Rapids, you talk about
16 habitat essentially unchanged.

17 MS. SCHNEIDER-VIEIRA: Yes.

18 MR. McLACHLAN: What do you mean by
19 essentially unchanged?

20 MS. SCHNEIDER-VIEIRA: There is a very
21 small increase in the water levels as a result of
22 impound that extended just downstream of Long
23 Rapids. And so technically you would say, yes,
24 the water levels have gone up 10 centimetres, so
25 yes, your habitat changed. But in terms of the

1 characteristics that are important to aquatic
2 biota, that would not affect it.

3 In addition there is, as was discussed
4 by previous panels, there is that very small
5 effect during some -- I was going to say some
6 years of low flows there will be a larger ice dam,
7 so, yes, there would be a small increase in water
8 levels when they would normally be lower. Once,
9 again, that is, technically that is a change but
10 it is not a change that's going to affect your
11 aquatic biota.

12 MR. McLACHLAN: Thank you.

13 In the paper that was brought forth
14 yesterday and entered into evidence, DFO signs
15 advisory report around the COSEWIC. As part of
16 the tables, the first table that was presented
17 there, they identified a series of different
18 stressors. And they indicated there that domestic
19 fisheries or subsistence fisheries contribute to
20 decline of sturgeon. And I think you also
21 perhaps, kind of when you were presenting, also
22 implied that the local fishing had contributed to
23 the decline. Can you speak to that in a little
24 bit more detail?

25 MS. SCHNEIDER-VIEIRA: Well, I will

1 start, and then Ms. Matkowski can add if she has
2 additional information.

3 What I emphasized was that when we are
4 dealing with extremely low populations like, for
5 example, in the Gull Lake area where we are
6 talking several hundred fish, even a small
7 domestic fishery of maybe 50 fish, or 60 fish, or
8 30 fish, which in an un-impacted population would
9 not affect that population, because these
10 populations have been reduced by so many other
11 factors, in particular the commercial fishery,
12 that even a very small domestic fishing effort can
13 have an adverse effect.

14 We also actually saw that in the
15 1990s. At the Landing River there was a
16 population of sturgeon that were still spawning
17 there, and as a result of continuing domestic
18 fishing, once again not at excessive rates, that
19 population was virtually extirpated. And that was
20 one of the big impetuses for starting the Nelson
21 River Sturgeon Board.

22 MR. McLACHLAN: Go on.

23 MS. MATKOWSKI: Yes, I would add that
24 that paper that was entered does indicate that the
25 magnitude of things like, the impact of things

1 like domestic fishing varies from management unit
2 to management unit. And the table that you
3 mentioned indicates that for the particular
4 management unit between Kelsey and Kettle
5 Generating Station, they have assessed the
6 occurrence of domestic and subsistence fishing as
7 being high, and that the level of severity of the
8 threat also being high for that particular
9 management unit. It is not the same in all of the
10 sections of the Nelson River, but for that section
11 it is in this report high.

12 MR. McLACHLAN: But, again, you would
13 attribute that to the low numbers of the
14 population?

15 MS. SCHNEIDER-VIEIRA: Yes, it is
16 always the proportion of fish that are taken.

17 MR. McLACHLAN: Is that something that
18 is monitored with the communities in terms of the
19 actual numbers of the fish that are harvested?

20 MS. SCHNEIDER-VIEIRA: The communities
21 can provide us with harvest information if they
22 wish. The aspects of the Aboriginal traditional
23 knowledge monitoring programs are still being
24 developed. And certainly, as I have mentioned
25 previously, the communities conducted their own

1 ATK work. In that work they chose not to provide
2 quantitative estimates of the amount of sturgeon
3 that were taken. We have some information of
4 sturgeon harvest, both from what people have told
5 us, as well as when we get tag returns we can
6 calculate a percentage of harvest.

7 MR. McLACHLAN: And as we've heard
8 today, there may be also other sources of domestic
9 fishing, in the case of Hydro employees perhaps
10 fishing or collecting fish. So you will be
11 monitoring that if indeed it does take place,
12 right?

13 MS. SCHNEIDER-VIEIRA: Certainly at
14 the construction site, harvest will not be
15 allowed. Because it is just, within the
16 construction site there is also safety concerns,
17 but that is something that the Partnership can
18 regulate. In terms of domestic harvest of
19 sturgeon that occurs in other areas, that is not
20 something that the Partnership can regulate. And
21 in terms of the monitoring for that, it would only
22 occur to the extent that resource harvesters
23 choose to report their harvests.

24 MR. DAVIES: I would just like to add
25 that there won't be any personal boats allowed by

1 the site, which will make it much more difficult
2 to access areas where they would be able to
3 harvest sturgeon.

4 MR. McLACHLAN: Thank you.

5 MS. MASSAN: What about right now,
6 that camp off 280 road? You see a lot of Hydro
7 vehicles. One time I went by, there was four
8 Hydro vehicles parked at that north, you know, the
9 cement bridge when you come to 280, they were
10 fishing there. How come they get -- I don't know,
11 some people tell me this -- why are they using
12 Hydro vehicles to go fishing?

13 MR. DAVIES: I'm not aware that that
14 occurred.

15 MR. MASSAN: Nobody is monitoring
16 that. Maybe they will be doing that at the
17 Nelson, but they don't do that along that 280
18 road. Like I see that when the pickerel is
19 running, I see four Hydro vehicles are sitting
20 there on the bridge, and those guys are fishing
21 there. You know, nobody watches that.

22 MR. DAVIES: Again, that's something I
23 wasn't aware of, but I appreciate you making a
24 point of that, and I'm sure that Manitoba Hydro
25 will look into it.

1 MR. McLACHLAN: So, then that was my
2 follow-up question, you will adapt the monitoring
3 and the management to accommodate those kinds of
4 offsite fishing excursions?

5 MR. DAVIES: If those type of things
6 occur, yes, we would.

7 MR. McLACHLAN: Page 92, I will go
8 with the high numbers I guess.

9 Are the Gull Rapids considered
10 historic sturgeon spawning areas, either according
11 to Manitoba Hydro data or ATK?

12 MS. SCHNEIDER-VIEIRA: I am sorry, do
13 you mean this slide? Just from your reference I
14 understood a different slide, do you mean this
15 one?

16 MR. McLACHLAN: Or whichever makes
17 sense, it doesn't matter. It would be, I guess it
18 would be a different -- whichever the slide is
19 that reflects spawning.

20 MS. SCHNEIDER-VIEIRA: Okay.

21 And could you repeat your question,
22 please?

23 MR. McLACHLAN: So the question was,
24 are they considered, the Gull Rapids, are they
25 considered to be historic sturgeon spawning areas

1 according to data from either Manitoba Hydro or
2 according to ATK?

3 MS. SCHNEIDER-VIEIRA: Gull Rapids has
4 been identified as a spawning area, both from
5 observations during the EIS studies, as well as
6 from the community's reports.

7 MR. McLACHLAN: Okay, thank you.

8 I guess now that we are looking at
9 that slide in terms of the populations in the
10 study area, you have three kinds in the legend,
11 you have known spawning locations, spawning known
12 to occur in the general area, can you tell me what
13 the difference is between those two?

14 MS. SCHNEIDER-VIEIRA: Yes. The known
15 spawning location, which is First Rapids on the
16 Burntwood River, was based on obtaining basically
17 drifting larval sturgeon immediately downstream of
18 that area. So it is a fairly restricted place.

19 The spawning known to occur in the
20 general areas basically highlighted the entire
21 rapids, because from the capture of fish in
22 spawning condition within the vicinity of those
23 rapids, we knew that they were spawning somewhere,
24 but say, yes, they were spawning the left bank or
25 the right bank or wherever, it wasn't that

1 specific. And finding the suspected spawning
2 locations, which we discussed this morning, is
3 because we have caught very limited numbers of
4 fish. As I say, I believe there was one from the
5 Grass River, as well as two from downstream of the
6 Kelsey Generating Station, including one just this
7 past year, it looked like, yes, there is a female
8 in spawning condition. But there were really not
9 enough fish caught there that we could say, yes,
10 they are definitely spawning at these locations.

11 MR. McLACHLAN: So does that
12 information incorporate ATK as well, or is it
13 solely based on your own sampling?

14 MS. SCHNEIDER-VIEIRA: This map
15 incorporates our own sampling. However, from the
16 ATK we have not heard of other spawning locations,
17 besides the ones that are illustrated on this map,
18 in this particular reach of the river.

19 MR. MASSAN: You talk about sturgeon
20 and walleye and pike. How come the other species
21 don't come in, like burbot, what happened to the
22 goldeyes, whatever you call those little fish?
23 Before there used to be lots. What happened to
24 them? Even trout, before Kettle dam?

25 MS. SCHNEIDER-VIEIRA: In the EIS we

1 did sample and we did talk about what we call the
2 entire fish community, that is all of the species
3 that you just mentioned. And we talked in general
4 terms about how they have changed over time, and
5 what we expect would happen in the future. But we
6 had to focus our work on a few key species,
7 because otherwise, I mean, we already have a stack
8 of documents that's very high. And we didn't --
9 basically, you just can't provide information on
10 each -- detailed information on each of the 37
11 species. You need to be able to focus your work
12 so you can focus your attention on the species
13 that are of the greatest concern.

14 As I talked about in my presentation
15 yesterday, looking at these different species that
16 use different kinds of habitat as the VECs,
17 looking at sturgeon, which are dependent on the
18 river, pike that are, you know, working along the
19 shoreline areas, as well as lake whitefish and
20 walleye which are using the main part of the lake,
21 that helps us understand what is happening more in
22 the environment as a whole, and that is one of the
23 reasons we picked those species. The other reason
24 is that those are species that are the biggest
25 concern to many of the local First Nations.

1 MR. MASSAN: There was no studies done
2 before Kettle Dam, because when I was growing up
3 listening to the elders, I learned a lot off those
4 elders when they talk about the river. And I seen
5 a few places in that, from Kettle to Gull Rapids,
6 where the sturgeon were spawning. Because I
7 remember one old man, Dallius, it was Dallius
8 Ouskun, he told me look at the little fish, I
9 thought they were minnows. But they were a bunch
10 of little sturgeon, right on that island they call
11 Turtle Island. I don't know where that name come
12 from. It is all Manitoba Hydro naming these
13 islands now. That old man was saying -- that
14 environment here in Gillam, you know, why don't
15 you just call it Kettle reservoir instead of a
16 fancy name, Stephens Lake? You know, it is a
17 reservoir only, that's all it is, not a lake.
18 Kettle is holding all that water back. And same
19 thing will happen to Gull Rapids, you know, they
20 should just call it Gull Rapids reservoir, what is
21 the fancy name, Kettle Lake and all of that?

22 There is another thing about fish,
23 what is going to happen to those minnows, where
24 the cofferdam is going to be, there is a lot of
25 minnows back in the '60s, '70s and '80s. I notice

1 every year there is hardly any around that area
2 because of that green stuff, I think, I'm not
3 sure. Like I'm not a scientist, I just see --

4 MS. SCHNEIDER-VIEIRA: In terms of the
5 fish salvage, I would have to check back into how
6 small the fish that we did the salvage on, how far
7 down we went in terms of the size of the fish for
8 the Wuskwatim project, and I will get back to you.

9 You are correct that the smallest
10 minnows, it is practically not feasible to scoop
11 up every minnow and release it. Because of the
12 way the station is being built, I'm sorry, the
13 timing of when in-stream construction will occur,
14 there was an attempt, for example, to not close
15 off parts of the river in spring when fish could
16 be gathering at Gull Rapids to spawn, so there
17 will be fewer fish that will be potentially
18 enclosed with the cofferdams and have to be
19 salvaged. So there's both the fish salvage as
20 well as the timing of construction that will help
21 reduce the number of fish that are trapped by the
22 cofferdams.

23 MR. McLACHLAN: So, hypothetically if
24 there were sturgeon fingerlings, or tiny fish that
25 were caught in the cofferdams, there would be no

1 way of transporting those either?

2 MS. SCHNEIDER-VIEIRA: When the
3 in-stream construction in Gull Rapids will
4 happen -- or they will be sealing off different
5 parts of Gull Rapids through the late summer and
6 into the fall, and at that time of the year there
7 are not spawning sturgeon in the rapids. Any
8 sturgeon that do spawn will spawn in the spring
9 and then their eggs would hatch, and those larval
10 fish don't stay in the rapids, they come up out of
11 the substrate and they drift downstream. So
12 because of the timing of the construction, there
13 won't be little sturgeon in the rapids.

14 MR. McLACHLAN: Thank you.

15 Page 75 or 107, and it talks about
16 upstream fish passage.

17 So we heard from you yesterday about
18 the multi-million dollar cost of the fish ladder
19 and why, when presented to the community, it kind
20 of, in the context of uncertain results, there was
21 a kind of recognition that perhaps it would cost a
22 lot, perhaps too much by some of the people
23 participating in those workshops. But you also,
24 here you talk about other methods, trap and
25 transport and nature like bypass channels. Are

1 those viable alternatives?

2 MS. SCHNEIDER-VIEIRA: They are all
3 viable alternatives, and they all come with a
4 substantial price tag. And as I discussed
5 yesterday, which, and if fish passage will be
6 implemented will be decided not just by the
7 Partnership or Manitoba Hydro, but with input from
8 both the Department of Fisheries and Oceans, and
9 Manitoba Conservation and Water Stewardship. And
10 they will be looking at what they feel is required
11 to support the fish populations.

12 And so it won't -- the result wouldn't
13 be, I guess it looks like really you should have
14 fish passage, but it is not going to be built
15 because it is too expensive. If it looks as if
16 fish passage is required to maintain the
17 populations, which we are not predicting, but if
18 that does occur, then some method of fish passage
19 would be installed.

20 MR. McLACHLAN: In terms of your own
21 experience as an expert, or others in the panel,
22 can you critically comment on the potential of
23 those other two solutions that are lower in cost
24 perhaps than the fish ladder, as a way of
25 mitigating against mortality?

1 MS. SCHNEIDER-VIEIRA: My
2 understanding is that actually the costs of those
3 three, there are fish ladders which cost more or
4 less; trap and transport can be quite expensive
5 just because you are building a collection
6 facility and then there is higher operating costs.
7 So you shouldn't look at that as a decrease in
8 costs, they are all costly. And it is not like a
9 fish ladder costs more than the other methods.

10 In terms of what would work, it really
11 depends on what your objective is. If your
12 objective is that you absolutely want to take a
13 sturgeon from Stephens Lake and transport it up to
14 the Keeyask reservoir, then your best method would
15 be basically to catch that sturgeon and move it.
16 If your objective might be, well, let's leave the
17 fish do whatever they might want to do and not
18 worry about whether any fish ever goes, but let's
19 create some fish habitat, something like a nature
20 like channel might be a best method. If you want
21 to sort of have a hybrid between the two, or if
22 you want to look at other methods, or other areas
23 where at least sturgeon species have been observed
24 to move, then you might want to look at a fish
25 ladder. So it really depends on what your actual

1 objective is in installing fish passage.

2 MR. McLACHLAN: Thank you.

3 In terms of those workshops when you
4 presented those different alternatives, was there
5 any difference in response on the part of those
6 participating in terms of which they felt would
7 sit best with them?

8 MS. SCHNEIDER-VIEIRA: I don't recall
9 one method being universally more or less favoured
10 than the others. It was really at the fish
11 passage workshops there was not a clear consensus,
12 it wasn't like yes, we definitely want fish
13 passage, and we want it to be done in this way, it
14 was more like this is a concern and we are seeing
15 that there isn't a very good clear solution for
16 that concern.

17 MR. McLACHLAN: Do you agree, for
18 example, with the trap and transport that there
19 may be other benefits, for example, employment to
20 local youth or perhaps other locals that might be
21 involved in such an initiative?

22 MS. SCHNEIDER-VIEIRA: We focused our
23 work on fish so I can't speak to other benefits.

24 MR. McLACHLAN: Thank you. You
25 mentioned that should this be recommended by DFO

1 and other agencies, that the cost would be shared
2 by the Partnership. And so do you anticipate that
3 that would create kind of financial burdens for
4 the First Nations that are involved?

5 MS. SCHNEIDER-VIEIRA: That's also a
6 question which I can't speak to. I'm not aware of
7 the economic considerations in the Partnership.

8 MR. McLACHLAN: Thank you. On page
9 108, so the next page.

10 MS. SCHNEIDER-VIEIRA: I didn't catch
11 your slide number?

12 MR. McLACHLAN: 108, so the next page.

13 THE CHAIRMAN: 76.

14 MR. McLACHLAN: 76, 108, yes. So
15 downstream fish passage talks about that there is
16 mortality associated with and injury associated
17 with the turbines. Do you have a sense of the
18 relative numbers of fish that might either be
19 injured or especially killed by the turbines
20 compared to -- and here we are talking about
21 sturgeon -- compared to those associated with the
22 domestic fishing?

23 MS. SCHNEIDER-VIEIRA: If we look at
24 the current number of sturgeon moving downstream
25 from Gull Lake, it is less than 2 per cent of the

1 total number in the lake. And I'm just trying to
2 remember, I think over the past year or two, we
3 had one or two sturgeon that moved downstream.
4 And we, as we've discussed, whether the sturgeon
5 goes through the turbines or whether it goes over
6 the spillway and whether or not it is killed is
7 also not certain. But certainly in our current
8 estimates of harvest, the estimate of harvest is
9 higher than one or two sturgeon from Gull Lake.
10 However, post project, the First Nations have
11 indicated that they don't want to harvest within
12 reservoirs, at least for other fish species, so
13 the amount of harvest from Gull Lake or the
14 Keeyask reservoir in the future, may also decline.
15 There will also be work with the First Nations via
16 in part through the lower Nelson River Sturgeon
17 Stewardship Committee, spreading the information
18 that the sturgeon in this area are vulnerable and
19 that it would be better for the populations not to
20 harvest them.

21 MR. McLACHLAN: And when you look at
22 the data for other fish species, you know, that
23 are harvested by community members, do you -- are
24 the mortality kind of numbers comparable to the
25 subsistence harvesting numbers?

1 MS. SCHNEIDER-VIEIRA: Once again it
2 sounds like I'm avoiding the question, but it
3 depends on what the domestic harvest is. For the
4 information that we have received from the First
5 Nations is that the main stem of the Nelson River
6 is not a preferred harvest location because the
7 fish have a poor taste and quality. But we do
8 know that there is some harvest for the First
9 Nations in terms of the post-project due to the
10 elevated mercury levels for several decades.
11 Programs have been put in place where they will be
12 obtaining fish from off-system, from areas outside
13 of the Keeyask reservoir. And so post-project we
14 would anticipate that the level of domestic
15 harvest will decline, and so then obviously the
16 amount of mortality associated with turbines would
17 be higher. In the existing environment I don't
18 have an estimate of the amount of domestic
19 harvest, so I can't do a direct comparison.
20 However based on the work that we've done and
21 predicting over 90 per cent of survival of the
22 majority of fish that would be going downstream,
23 as well as the number of fish in the relative size
24 of the lakes and the small proportion of fish that
25 we expect to go downstream, we don't expect there

1 to be a detectable effect to the populations.

2 MR. McLACHLAN: Thank you. If we move
3 to page 83, or 115, I appreciate there have been a
4 number of questions that have focused on the part
5 of intervenors on the stocking programs and on the
6 habitat creation, but I have a few more. It says
7 here at the bottom of that that an overall
8 increase in sturgeon numbers in the Kelsey to
9 Kettle region is expected due to stocking. And we
10 heard you defend that. It seems like it is
11 predicated on two main components, as you
12 indicated yesterday, the first creation of new
13 habitat, especially for young-of-the-year, so I
14 have questions around that. You also indicated it
15 hasn't been done before, so this was highly
16 innovative and that's great to see. But would you
17 agree that when you are initiating habitat
18 creation of this sort that's never been done
19 before, that there are higher risks involved?

20 MS. SCHNEIDER-VIEIRA: Yes, you are
21 correct, that there are higher risks involved when
22 you are trying something new. I should also, and
23 I probably didn't stress it sufficiently
24 yesterday, in the assessment of potential effects
25 to the young-of-the-year sturgeon, we were being

1 very conservative in that we were basing our
2 assumption on that they would use only a very
3 specific kind of sand habitat. And that's based
4 on both our observations in the Gull Lake area as
5 well as some work done by other researchers.
6 However, there is also other work done, and even
7 in our examinations of sturgeon, young sturgeon in
8 Stephens Lake, we do see that they potentially
9 could use a wider variety of substrates. For
10 example, in Stephens Lake we found them on some
11 gravels, and in some of the work from the Winnipeg
12 River they were found on fine silts. So we are
13 being very conservative in our assessment of what
14 is suitable for them because we felt that was
15 appropriate. But it is possible that through
16 monitoring that we find that, yes, indeed either
17 there are pockets of sand or that they are able to
18 use a wider range of habitats. Now moving on to
19 your question about habitat creation, it is
20 something that is -- that we would be testing, if
21 required, and you are correct that it is an
22 experimental approach. Our big advantage, or what
23 gives us time and increased confidence for this
24 project is that we know that we can support our
25 sturgeon populations through stocking, even if it

1 takes us some years to get this young-of-the-year
2 habitat working well. We can also stock yearling
3 fish which don't require young-of-the-year
4 habitat.

5 So it is almost like we have this
6 backup plan that allows us the luxury of having
7 multiple years to sort out, if we need
8 young-of-the-year habitat, and if we do, we can
9 install it by either sand, and if we find it is
10 not in the right location or whatever, we do have
11 the opportunity to maintain our sturgeon
12 population through stocking until we can get the
13 young-of-the-year habitat functioning effectively.

14 Taking one step back, the increase in
15 sturgeon numbers is actually predicated upon the
16 success of stocking to enhance the populations in
17 the upper Split Lake area, because there we do
18 have demonstrated sturgeon habitat, we have
19 historic records of more sturgeon, and we know
20 that's an area where the habitat is not being
21 affected by Keeyask. So regardless of what is
22 happening down the Keeyask reach, we do have this
23 large area where there would be more sturgeon, if
24 that population is supplemented through stocking.

25 MR. McLACHLAN: Thank you for that.

1 Now hypothetically, if that innovative program
2 doesn't work at all after monitoring and
3 experimentation, would you see yourself in a
4 position that you just abandon it with a more
5 conventional spawning habitat?

6 MS. SCHNEIDER-VIEIRA: I am sorry, the
7 spawning habitat that we are creating is based on
8 work that's been done in other places that has
9 worked successfully, it is the young-of-the-year
10 habitat that has not been created elsewhere. And
11 no, we would continue to work -- if we are finding
12 that young-of-the-year aren't successfully
13 recruiting in the reservoir, there is a long term
14 commitment to continue to work to find ways of
15 creating that appropriate environment for those
16 fish.

17 MR. DAVIES: I would also like to add
18 that we are working with B.C. Hydro and Wisconsin
19 on young-of-the-year habitat, and any information
20 that would be gained that would be useful for this
21 project would also be transferred.

22 MR. McLACHLAN: So you are saying in
23 those other regions that they have embarked on
24 similar kinds of young-of-the-year habitat
25 experimentation?

1 MR. DAVIES: They are currently
2 looking for young-of-the-year habitat.

3 MR. McLACHLAN: But to your knowledge
4 are there any other agencies that are, or actors
5 that are embarking on similar kinds of
6 experimentation?

7 MS. SCHNEIDER-VIEIRA: Not agencies
8 that are attempting to create young-of-the-year
9 habitat.

10 MR. McLACHLAN: Obviously you are in
11 conversation with experts that work in those other
12 agencies. What, if any, feedback have you got
13 from them on the potential success or even kind of
14 appropriateness of this strategy?

15 MS. SCHNEIDER-VIEIRA: In some ways
16 the work that we have done here on
17 young-of-the-year both in capturing them in the
18 large river environments, as well as the proposed
19 habitat requirements are at the forefront of
20 research on young-of-the-year sturgeon. As Mr.
21 Davies mentioned, some experts from our office are
22 actually going out to other places to assist them
23 in the work on young-of-the-year.

24 MR. McLACHLAN: So, for a second
25 assuming in a very gloomy way that this was a

1 complete failure, you know, hypothesizing that,
2 could you find yourself in a situation that in 25
3 years time, or 75 years time you are still
4 dependent on stocking as a way of maintaining
5 those sturgeon populations?

6 MS. SCHNEIDER-VIEIRA: I was going to
7 say that I personally won't be here in 75 years,
8 just by point of clarification. But yes, I
9 suppose that if all attempts failed, that we would
10 expect that, yes, you would need to continue to
11 stock. Because of the diversity of reservoir
12 environments where we do find sturgeon, I'm quite
13 confident that there are ways that you can
14 continue to keep sturgeon in the Keeyask
15 reservoir.

16 MR. McLACHLAN: So pardon my
17 ignorance, but when you are looking at this
18 innovative program, how quickly can you generate
19 data that indicate whether it is being successful
20 or not? I mean, surely we are not talking about
21 25 or 50 years but --

22 MS. SCHNEIDER-VIEIRA: Our first
23 challenge will be that, and I have to say that
24 when we first generated this, our work, we weren't
25 aware of how low the natural rate of recruitment

1 was from Gull Lake. Currently we have only found
2 successful recruitment one in ten years. So we
3 would hate to have to wait until some sturgeon may
4 spawn again every ten years to see whether or not
5 there is successful young-of-the-year habitat. So
6 if in our continued recruitment monitoring we are
7 really finding that the natural recruitment is
8 very low, we would be looking at other approaches.
9 For example, in our stocking program, we could
10 stock quite young fish into the area where we
11 believe that they should go, and through
12 subsequent monitoring we could determine whether
13 those fish survive. Because due to the low
14 natural rate of recruitment, it might be very
15 difficult, or it is not something that we would
16 want to rely on in terms of a reasonable duration
17 of determining whether or not the habitat is
18 available.

19 MR. McLACHLAN: Thank you. When we
20 talk about these different sub populations that
21 are reflected in the sturgeon numbers, did you
22 indicate that there is any genetic variation among
23 those sub populations, or is it just sort of an ad
24 hoc sub population, or how would you define those
25 populations?

1 MS. SCHNEIDER-VIEIRA: We had
2 initially defined them based on movement, and then
3 with the subsequent genetic studies which I showed
4 in my presentation demonstrated that there is a
5 genetic difference amongst the -- the Kelsey,
6 Burntwood is genetically different from the Gull
7 Lake area. We did not in that genetic analysis
8 have material from the Stephens Lake area, that we
9 are currently doing a more refined genetic
10 analysis which includes samples from young fish at
11 Stephens Lake, so that would be post hydro. And
12 we are interested to see whether they are
13 different from Gull Lake or if indeed they are
14 young sturgeon that drifted down the stream, over
15 Gull Rapids from the Gull Lake spawning
16 population, since we know there are very, very few
17 spawners in Stephens Lake.

18 MR. McLACHLAN: And you may have
19 addressed this with the last intervener, but when
20 you -- in the advent that there is genetic
21 variation in the Stephens Lake population, and
22 given the low numbers, if you are restocking
23 those, is there a danger that you will get
24 homogenization?

25 MS. SCHNEIDER-VIEIRA: We will

1 definitely be using Gull Lake fish for Stephens
2 Lake. There just aren't enough in Stephens Lake.
3 But as I mentioned, they may well be the same
4 fish. We will determine -- that information will
5 come in an upcoming genetic analysis where we are
6 doing more -- basically it is a higher level of
7 precision to look if there are further
8 subdivisions amongst these populations.

9 MR. McLACHLAN: And should that
10 actually occur, do you see that as a problem, if
11 you get genetic homogenization?

12 THE CHAIRMAN: That was covered
13 earlier.

14 MR. McLACHLAN: Thank you, Mr. Chair.
15 I just have a few more questions. One more is the
16 use of stream side rearing facilities, and I think
17 you indicated earlier that most of your stock is
18 going to come from Grand Rapids?

19 MS. SCHNEIDER-VIEIRA: The Nelson
20 River Study Board has used both Grand Rapids and I
21 believe they have tested some stream side rearing
22 facilities. The current plan is to use Grand
23 Rapids, but there is also the potential to use
24 stream side facilities. And I will just look to
25 Shelly if she wants to add?

1 MS. MATKOWSKI: There definitely is
2 the potential to use stream side facilities, and
3 right now we are using Grand Rapids for the Nelson
4 River Sturgeon Board. And as I understand it,
5 during construction of Keeyask we will be using
6 Grand Rapids hatchery.

7 MR. McLACHLAN: And so do you
8 anticipate that you might use both approaches, and
9 what would you see as being the benefits of using
10 each?

11 MS. MATKOWSKI: There is definitely an
12 option of using each. And there are pros and cons
13 in using each. Stream side you don't have to
14 worry about moving eggs. You've got the same
15 water that the eggs -- that the fish have come
16 from that you are going to be incubating the eggs
17 in. The problems that you can have are lack of
18 control of temperature, lack of control of silt in
19 that water, those sorts of things.

20 MR. McLACHLAN: But you see them as
21 complimentary approaches?

22 THE CHAIRMAN: That's been answered.

23 MS. MATKOWSKI: They could be
24 complimentary.

25 MR. McLACHLAN: That's all I have. Do

1 you have any final questions, Noah? No, perfect.

2 THE CHAIRMAN: Thank you both very
3 much. The panelists have a number of questions,
4 and perhaps we will just run down the table, Mr.
5 Shaw?

6 MR. SHAW: Dr. Schneider, just
7 following up on some of the questions that Dr.
8 McLachlan asked you about, sort of the level of
9 determination of the Partnership in terms of
10 developing a self-sustaining population of
11 sturgeon; is the Partnership committed to stocking
12 and/or other compensation measures until a
13 self-sustaining population is established sort of
14 regardless of the number of years it would take?

15 MS. SCHNEIDER-VIEIRA: Yes, that was
16 stated in the environmental impact statement, and
17 that is a commitment that the Partnership has
18 made.

19 MR. SHAW: Thank you. And one other
20 question. Have you studied the status of fish
21 populations in water bodies where the offsetting
22 programs in the adverse effects agreements are
23 proposed?

24 MS. SCHNEIDER-VIEIRA: There were
25 fishery surveys done in some of the lakes that

1 were selected, initially selected for the
2 offsetting programs, and those fishery studies
3 were done in order to determine what the -- or to
4 provide input into the sustainable harvest plans
5 being developed by the Partner First Nations.

6 MR. SHAW: Thank you.

7 THE CHAIRMAN: Ms. Bradley.

8 MS. BRADLEY: I have a number of
9 questions regarding mercury. I would like to
10 start, first of all, on page 14, and that's also
11 slide 14. On this slide the map depicts a number
12 of mercury sampling locations. Do these locations
13 represent current monitoring locations or both the
14 current and past?

15 MR. DAVIES: I believe it is
16 up-to-date to 2012, and it contains all of the
17 past and up to 2012.

18 MS. BRADLEY: Thank you.

19 MR. DAVIES: Sorry, from around, I
20 believe, 1975 to 2012.

21 MS. BRADLEY: Okay. My next question
22 will move on to slide 39 on page 71. This slide
23 explains the predicted effects to fish in Gull
24 Lake, but doesn't mention Stephens Lake. What are
25 the predicted effects on Stephens Lake fish

1 population?

2 MS. SCHNEIDER-VIEIRA: Subject to
3 check, but I believe that the concentrations in
4 walleye and pike will increase to approximately .5
5 parts per million. Yes, that's true.

6 MS. BRADLEY: Thank you. And what
7 uncertainty is associated with predicted fish
8 mercury concentrations in terms of the magnitude
9 and timing?

10 MS. SCHNEIDER-VIEIRA: In terms of the
11 magnitude, they can be both higher or lower. We
12 were trying to be fairly conservative in that we
13 would tend to over-estimate effects, and that
14 would be related to effects basically in the food
15 web, what is happening in your food web, how many
16 levels of concentration, if you will, are the
17 organisms going through before the, let's say the
18 pike or walleye eat them. If, for example, they
19 eat a small fish, which then eats a larger fish
20 and then it is consumed by the pike, that would
21 cause an increase above our predicted levels, or
22 it would tend to make it higher.

23 The other thing is in terms of the
24 timing, if the peat breakdown is more rapid than
25 you expect, then you would have more organic

1 material entering more quickly so your peak could
2 happen more quickly and might be a little bit
3 higher. If the rate of peat breakdown is slower
4 and it is more protracted over time, you would
5 expect a longer, flatter peak.

6 MS. BRADLEY: You may have covered
7 this, so if you have, then I will move on. What
8 increase in fish mercury levels in Stephens Lake
9 or reservoir would be sufficient such that the
10 proponent would extend fish monitoring farther
11 downstream?

12 MS. SCHNEIDER-VIEIRA: It would be if
13 it increases to greater than .5 parts per million.
14 If it is less than that, we really don't think
15 that we could have a -- that we would be able to
16 detect any change further downstream.

17 MS. BRADLEY: So greater than .5?

18 MS. SCHNEIDER-VIEIRA: 0.5.

19 MS. BRADLEY: 0.5, thank you. Further
20 then, given the uncertainties involved on the
21 downstream limit of increased fish mercury levels,
22 would it be more prudent to include fish mercury
23 monitoring in the Limestone forebay from the
24 outset and stop if no effects were observed,
25 rather than initiate monitoring if concentrations

1 increase sufficiently in the Stephens Lake
2 reservoir?

3 MS. SCHNEIDER-VIEIRA: We have the
4 luxury in that the CAMP program, which has been
5 previously described, is already monitoring
6 mercury in the Limestone forebay. And so it is
7 not as if we don't have any record of what is
8 happening in mercury concentrations downstream.
9 So basically that just leaves the Long Spruce
10 reservoir where presently we would extend our
11 monitoring to if we see changes greater than
12 expected in Stephens Lake.

13 MS. BRADLEY: Okay. You touched on
14 this; to what extent have the effects of wetlands
15 been included with respect to predictions of fish
16 mercury concentrations?

17 MS. SCHNEIDER-VIEIRA: The mercury
18 models were based on the amount of flooded
19 material. And so we didn't distinguish amongst
20 peat or forested areas. And in terms of the two
21 models that were used, the one that was developed
22 from work that had been done in all of Northern
23 Manitoba essentially integrates the full range of
24 conditions of flooding that happened in those
25 various reservoirs. For the other approach that

1 we took where we simply looked at how mercury
2 concentrations had increased in Stephens Lake,
3 that is based on a more similar topography, or
4 more similar terrain, and so that's largely a peat
5 based environment, and so those two approaches
6 were used for determining the mercury levels.

7 MS. BRADLEY: And my final question;
8 is sampling planned for total mercury or
9 methylmercury in sediments in the reservoir or
10 downstream during the operation phase?

11 MS. SCHNEIDER-VIEIRA: The current
12 aquatic effects monitoring plan does not include
13 any monitoring of sediment quality. We anticipate
14 that, or we felt that based on the predicted
15 effects that sediment quality monitoring was not
16 required. However, if the Department of Fisheries
17 and Oceans or Manitoba Conservation and Water
18 Stewardship indicate that we should include
19 sediment monitoring, it can be done. There has
20 been baseline information collected as part of the
21 EIS studies.

22 MS. BRADLEY: Thank you.

23 THE CHAIRMAN: Mr. Nepinak.

24 MR. NEPINAK: My question is going to
25 be on slide 60, page 92. And I believe you have

1 answered a portion of the question that I'm going
2 to ask, but I'm going to ask it anyway, because it
3 asks for more information. Can you discuss the
4 various types of evidence that can be used to
5 determine or infer where lake sturgeon are
6 spawning, and which of those types lead to the
7 conclusion that spawning is occurring at each of
8 the locations or general areas shown?

9 MS. SCHNEIDER-VIEIRA: All right. I
10 will go through it area by area. First of all,
11 starting with the turquoise area at First Rapids;
12 at that location we observed aggregations of
13 sturgeon in spawning condition, as well as we
14 found a larval sturgeon going through what are
15 called drift samples. That is you can put
16 floating and sinking nets into the water that have
17 a very fine mesh and they collect what is drifting
18 in the water column, and so we did collect some
19 larval sturgeon from that location. In addition
20 the First Nations, particularly from Tataskweyak,
21 had identified that as a spawning location. In
22 terms of the Kelsey Generating Station and the
23 Grass River, as I mentioned previously, those were
24 both historic spawning locations. We have been
25 sampling extensively in both of those areas

1 looking for sturgeon in spring. And we have found
2 one large female in the Grass River, which we have
3 recaptured many years, and one year she had a
4 significant decline in her weight, and you would
5 expect that she had spawned in that year.

6 Also as I mentioned previously we did
7 catch in I think it was 2006, and this year, a
8 female sturgeon downstream of Kelsey which did --
9 had some eggs that could be extruded. As I said,
10 we didn't view that as sufficient evidence of
11 definitive spawning in that area.

12 Moving on downstream to Long Rapids;
13 two larval lake sturgeon were captured just
14 downstream in 2004, once again in drift traps.
15 Then going further downstream in the Birthday
16 Rapids area, for quite a few years we have
17 captured sturgeon in spawning condition down
18 there. And finally going down to Gull Rapids, as
19 I mentioned earlier we did catch sturgeon, I was
20 told, in spawning condition downstream of the
21 rapids in either 2000s. And both Birthday Rapids
22 and Gull Rapids have been identified in the
23 traditional knowledge reports as spawning areas.
24 I can't recall if spawning has been reported by
25 the First Nations in the Long Rapids area, though

1 I wouldn't be surprised if it had been.

2 MR. NEPINAK: Thank you. Is it
3 possible that other spawning areas exist in the
4 study area that have not been identified?

5 MS. SCHNEIDER-VIEIRA: We have had
6 some reports from Clark Lake that there might
7 actually be another set of spawning areas -- where
8 the river enters Clark Lake there is some fast
9 flowing water, and it is not clear to us, we have
10 had First Nations who report, yes, we are catching
11 sturgeon at these locations. We haven't done test
12 netting through Clark Lake in spring that I'm
13 aware of.

14 MR. NEPINAK: You mentioned there was
15 a discussion on fish salvage by one of the
16 questions earlier. What kind of -- what method is
17 used for fish salvage?

18 MS. SCHNEIDER-VIEIRA: In the
19 Wuskwatim area we used gill net sets. And I would
20 have to check whether or not we used other methods
21 as well.

22 MR. NEPINAK: Okay. Thank you.

23 THE CHAIRMAN: Mr. Yee.

24 MS. SCHNEIDER-VIEIRA: Sorry, it was
25 just noted for smaller fish in the Wuskwatim area

1 we also used what is called backpack electro
2 shocking. You can put a very small current
3 through the water. It temporarily stuns the fish,
4 they float to the surface, and you can basically
5 scoop them up. It doesn't cause any long term
6 harm to them, and it is actually a very effective
7 way of capturing fish with minimal handling.

8 MR. YEE: Just a few questions that I
9 have. Yesterday we heard from Ms. Matkowski that
10 the numbers of lake sturgeon are increasing in the
11 study area; is this correct?

12 MS. MATKOWSKI: The numbers of lake
13 sturgeon that we are seeing coming to those
14 spawning areas that Friederike described have been
15 going up slightly. And as I mentioned, they are
16 small, young fish. So what we believe is we are
17 starting to get more fish maturing into adult age.

18 MR. YEE: Thank you. I guess, based
19 on this information and referring to the exhibit
20 registered by Mr. Williams yesterday entitled
21 Recovery Potential Assessment of Lake Sturgeon,
22 Nelson River Populations, does this suggest that
23 the population trajectory for lake sturgeon,
24 Kelsey Generating Station to Kettle management
25 unit number 3, might be more accurately described

1 as increasing?

2 MS. MATKOWSKI: I think that would be
3 preliminary to say that. Having been involved in
4 the development of that document and the
5 workshops, there was a lot of discussion of
6 whether or not we would call a trend increasing or
7 stable, and I think that would still be uncertain
8 enough that they wouldn't change it to increasing.

9 MR. YEE: I'm going to reword this. I
10 had this question a few ways. I am going to
11 reword it a bit. I'm trying to get a bit of a
12 picture in terms of the Partnership has presented
13 a lot of information, historical studies and there
14 has been a lot of maps showing spawning areas,
15 populations, genetics, existing habitat, and you
16 have projected the post project habitat. So I'm
17 just wondering, and I guess I could put it in
18 relation to slide 79 on page 111. This slide
19 states on a regional scale there is more habitat
20 than sturgeon. And again I guess we heard that
21 this morning about continuous habitat or
22 discontinuous habitat for the sturgeon. I'm just
23 trying to put this into perspective. If the
24 Keeyask project didn't proceed, I'm wondering what
25 would the status or the population of sturgeon be

1 in this particular reach of the river?

2 MS. SCHNEIDER-VIEIRA: That has been
3 obviously the topic of considerable discussion. I
4 believe that in IR CEC31 we provided some
5 additional information on the status of the
6 various sturgeon populations in the area. And I'm
7 going to start off with the Burntwood and Kelsey
8 area. We know, it is information that we also
9 provided, that there are some young sturgeon,
10 which Ms. Matkowski noted, are growing up to
11 become spawners. They are young fish, I would say
12 in their early 20s, but I'm guessing there. They
13 are -- the large females that are really, the most
14 highly productive group in the population are
15 extremely rare in this area. I personally can
16 think of one very large female in the Grass River
17 and that's all. The other sturgeon that we have
18 been seeing are very small, are the smaller ones,
19 with a much lower reproductive potential. It is
20 possible if we leave this area alone and come back
21 100 years from now, we will see that the
22 population has gradually increased. But that rate
23 of increase will be very small because currently
24 we have a very low number of reproducing
25 individuals, and they are small and their ability

1 to produce is quite -- they are just not producing
2 a large number of eggs. And it would be
3 considered very vulnerable.

4 When we move further downstream into
5 the Gull Lake area, we have a somewhat different
6 situation. We have some large sturgeon still left
7 there, very few but there are some, but we have
8 this extremely limited recruitment, so we are
9 seeing young fish being born, and I'm just going
10 to use the figure 1 in 10 years, that's what we
11 have seen to date. So if anything were to happen
12 to those very few females that are reproducing
13 there, that population will be lost.

14 And then finally we move down to the
15 Stephens Lake area, where I'm going to just
16 estimate now, it is about 65 or 70 per cent of the
17 sturgeon that we caught there are from this 2008
18 year class. So it is an extreme remnant, and it
19 is very vulnerable to extirpation. If we left it
20 all alone, whether it would increase at a very,
21 very slow rate over time, it could. It could also
22 disappear entirely. So the answer to your
23 question depends on what part of the river we are
24 looking at.

25 MR. YEE: Just a few more questions,

1 Mr. Chair. I'm just trying to clarify the
2 proposed remedial measures for sturgeon. It
3 sounds like these questions have already been
4 raised, but I'm just trying to get some context
5 around this. Based on the testimony yesterday in
6 the EIS documentation, suitable habitat for all
7 stages of lake sturgeon are required in order for
8 self-sustaining population to be established and
9 maintained; is that correct?

10 MS. SCHNEIDER-VIEIRA: Yes, that's
11 correct.

12 MR. YEE: So in the EIS documentation
13 and testimony, as well yesterday, stated that the
14 known existing sturgeon nursery habitat upstream
15 of Gull Rapids in the vicinity of Caribou Island
16 will be altered by the Keeyask project in a matter
17 that is likely to render it unsuitable as lake
18 sturgeon habitat; is that also correct?

19 MS. SCHNEIDER-VIEIRA: Yes, that's
20 correct.

21 MR. YEE: We also heard yesterday that
22 the creation of a nursery habitat for lake
23 sturgeon has not been undertaken elsewhere. And
24 in supporting documentation for the EIS, it is
25 stated that the likelihood of success in

1 constructing a new nursery habitat for lake
2 sturgeon is considered to be low to moderate; is
3 that correct?

4 MS. SCHNEIDER-VIEIRA: Yes, that's
5 correct. And I would add that we have the backup
6 provision, first of all, of the stocking, as a way
7 of providing additional time so that, you know, if
8 your first attempt does not succeed, you can
9 continue to work in the environment to try other
10 things, perhaps greater areas. I mean, there is a
11 variety, a whole range of potential approaches
12 that could be used. The other point that I made
13 this morning is that we were taking a very
14 conservative approach. And it is possible that
15 our young-of-the-year sturgeon would use a greater
16 range of habitats than we indicated in the EIS.
17 And that's based also on more recent information
18 since preparing the EIS.

19 MR. YEE: Thank you. I guess based on
20 your responses as well as my previous questions,
21 the probability of successfully creating or
22 constructing a nursery habitat to replace the
23 existing conditions would you say is low to
24 moderate, or does that mean the likelihood of
25 success or establishing -- sustaining the

1 population of lake sturgeon in this reach is low
2 to moderate?

3 MS. SCHNEIDER-VIEIRA: I would say
4 that it would be low to moderate in the first
5 instance, but that over time -- we do have time,
6 and that your probability of success would
7 increase as time goes on. And as I said, at the
8 time that we prepared this document we didn't have
9 information which we now do looking at, for
10 example, Stephens Lake where we have some not
11 young-of-the-year sturgeon, but sturgeon that are
12 a couple of years old, which are using a much
13 greater range of habitat than we had expected.
14 And we know that those young sturgeon don't move
15 very much, and so that is opening up to us the
16 possibility that even our young-of-the-year
17 sturgeon are able to move -- to use more -- a
18 greater range of habitat than when we had prepared
19 the EIS, and that is consistent with what has also
20 been recently found in the Winnipeg River.

21 MR. YEE: Thank you very much.

22 MS. MATKOWSKI: I would like to add if
23 I could, that as Friederike mentioned before, we
24 have been very conservative in dealing with this
25 issue of habitat for young-of-the-year and stating

1 that sand is their preference, but they are likely
2 to use a broader range. And I would like to just
3 give you one more statement from my favorite
4 document, the Manitoba Lake Sturgeon Management
5 Strategy, 2012, and it says, that protecting
6 habitat is also important. Lake sturgeon in
7 several parts of the province have demonstrated
8 they can adapt to fairly severe habitat
9 alterations while proving unable to adapt to
10 excessive levels of harvest.

11 So they are a very robust fish is the
12 point I'm trying to make, and they have been seen
13 to adapt in many other places, including the
14 Winnipeg River here in Manitoba.

15 MR. YEE: Thank you very much. I have
16 no further questions, Mr. Chair.

17 THE CHAIRMAN: Thank you. I have a
18 few random questions. Slide 114 shows a map in
19 respect of cumulative effects assessment, and it
20 indicates an inservice date for Conawapa as 2025,
21 2026. What is the earliest start date for
22 Conawapa?

23 MS. SCHNEIDER-VIEIRA: When doing the
24 cumulative effects assessment we relied on input
25 from basically the Manitoba Hydro engineering

1 team, so I would need to consult with the
2 appropriate people.

3 THE CHAIRMAN: Does Mr. St. Laurent
4 know that?

5 MS. SCHNEIDER-VIEIRA: Mr. St. Laurent
6 is checking.

7 THE CHAIRMAN: Okay. Thank you. We
8 will move on. On slide 57, you show a comparative
9 abundance of the various lakes in Northern
10 Manitoba. Is the catch per unit effort for all
11 species or just for sport fish?

12 MS. SCHNEIDER-VIEIRA: Let me just
13 check. I believe that it was for all the large
14 bodied species. Yes, it is for all species that
15 were caught in what we call our standard gang
16 nets. So that is a range of mesh sizes.

17 THE CHAIRMAN: Thank you. Slide 63,
18 the map depicts spawning shoals in the reservoir.
19 Dr. Schneider, you've indicated in testimony in
20 the last day or two, that spawning shoals could be
21 built in the reservoir. Is this could or will?

22 MS. SCHNEIDER-VIEIRA: It should be
23 will.

24 THE CHAIRMAN: Thank you. A question
25 of clarification, Dr. Schneider; we heard earlier

1 in response to Dr. McLachlan, you indicated that
2 the Kettle Generating Station flooded 228 hectares
3 on Stephens Lake. I'm sure you meant 220 square
4 kilometres?

5 MS. SCHNEIDER-VIEIRA: Yes, that was a
6 number that Mr. Davies indicated to me, and I see
7 that I was the victim of his poor handwriting.
8 I'm sorry.

9 THE CHAIRMAN: Thank you. And one
10 final observation from me, this CAMP program looks
11 like a very good start for a regional cumulative
12 effects assessment. We will just leave that
13 unanswered as an observation. And perhaps after
14 lunch if Mr. St. Laurent can get back to us with
15 the early start date for Conawapa.

16 MS. PACHAL: I can answer that
17 question. In the EIS we considered Conawapa 2025,
18 26 as the earliest inservice date.

19 THE CHAIRMAN: Earliest inservice
20 date. But when would be the start date for
21 construction? You talk about overlaps or
22 potential overlaps with Keeyask construction and
23 Conawapa construction. Keeyask is 21, 22 for
24 final inservice; is that correct?

25 MS. PACHAL: Keeyask would be 2019 for

1 the first unit inservice, and last unit inservice
2 2020.

3 THE CHAIRMAN: So when would Conawapa
4 commence so that there might be some overlap?
5 Would it be starting in 2017, 2018?

6 MS. PACHAL: About the end of 2016,
7 beginning of 2017.

8 THE CHAIRMAN: For construction or the
9 review process?

10 MS. PACHAL: Start of construction.

11 THE CHAIRMAN: Okay. Thank you very
12 much. Again our timing is not bad at all, it is
13 time to break for lunch, we will come back at
14 1:30.

15 (Proceedings recessed at 12:32 p.m.
16 and reconvened at 1:30 p.m.)

17 THE CHAIRMAN: Okay, I'd like to
18 reconvene. I believe there is one new panelist
19 that needs to be sworn in, so Madam Secretary?

20 MS. JOHNSON: Could you please state
21 your name for the record.

22 Brian Knudson: Sworn.

23 DR. EHNES: Good afternoon Mr. Chair,
24 members of the Commission and the audience.

25 Mr. Davies described the overall

1 approach to the aquatic and terrestrial
2 assessments, and Dr. Schneider-Vieira described
3 the aquatic assessment approach.

4 I will now present the overall
5 terrestrial assessment approach. The presentation
6 will start by explaining how an ecosystem
7 testimony based approach was implemented. Among
8 other things, this provides a foundation for
9 describing how VECs, supporting topics, and study
10 areas were selected. This will be followed by the
11 overall approach to assessing project and
12 cumulative effects, which sets the stage for
13 presenting results for terrestrial ecosystems,
14 habitat and plants. Ms. Wyenberg and Mr. Berger
15 will then tell you about wildlife.

16 Dr. Schneider-Vieira did a good job
17 telling you about the aquatic ecosystem and its
18 linkages. I get to talk to you about the
19 terrestrial ecosystem.

20 If you fly over Keeyask area, you will
21 see jack pine growing on gravel ridges, large
22 black spruce bogs, marshes and streams, and many
23 other different ecosystem types. The kind of
24 plants you find in a particular place are mostly
25 determined by climate, wild fires, and glacial

1 processes. Glacial processes refers to how the
2 glaciers scraped and shaped the land, and then how
3 glacial Lake Agassiz deposited material on the
4 land after the glaciers left. Among other things,
5 glacial processes created the topography and
6 determined where the lakes and the rivers would
7 be. The kinds of mineral deposits and topography
8 left by the glaciers largely determine what kind
9 of soils will develop over time and where
10 different kind of plants will grow.

11 For example, very large peat lands
12 have formed over thousands of years in the low
13 lying areas that were left by glacial processes.
14 These are examples of drivers for change and
15 linkages between ecosystem components.

16 Another example of ecosystem linkages
17 is the plants in this diagram.

18 And I'm just going to see if I can get
19 a mouse going, okay.

20 The plants in this diagram are
21 converting sunlight into living material. The
22 plants are eaten by animals, and these animals are
23 eaten by other animals. When the plants die, they
24 become part of the soil and cause it to change
25 over time.

1 A strong foundation was built for the
2 terrestrial assessment by taking a regional
3 ecosystem based approach. The Keeyask regional
4 ecosystem is a key focus of the terrestrial
5 environment assessment. The terrestrial
6 assessment starts with the big picture, regional
7 ecosystem, wildlife populations, and then
8 evaluates how this big picture will be affected by
9 the project. The focus is on maintaining regional
10 ecosystem health and self-sustaining wildlife
11 populations.

12 To implement the regional ecosystem
13 based approach, an early step in the terrestrial
14 environment assessment was to identify the
15 regional ecosystem that includes the Keeyask
16 project. Natural ecosystem processes were used to
17 determine the boundaries of the regional
18 ecosystem.

19 In this slide, you see a satellite
20 image that was captured around 2000. Most of the
21 pink areas -- there are some bright pink areas
22 here and here -- in this satellite image are
23 recent burns. And if you look at the number of
24 large pink areas, and lighter pink areas, bright
25 green areas, you'll see that large burns are a

1 common feature in the Keeyask area.

2 In fact, fire is the dominant natural
3 force or driver that changes ecosystems in the
4 Keeyask region. The species that live in the
5 Keeyask region are used to coping with frequent
6 large fires. Animal populations survive in the
7 region, either because they can find alternative
8 habitat elsewhere when a fire occurs, or they make
9 use of recently burned areas. In other words, by
10 the time a new area burns, other burned areas have
11 become old enough to replace them.

12 An historical fire analysis determined
13 how large of an area is needed to maintain a
14 relatively stable habitat composition so animals
15 have new areas to move to as fires occur. In
16 other words, the fire regime determines the
17 appropriate size for the regional ecosystem
18 surrounding the Keeyask project.

19 This map shows areas burned by fires.
20 Different colours are different decades going back
21 to 1953. The very light green areas are areas
22 that were burned prior to 1953. One thing to note
23 about this map is that there are not many large
24 very light green areas left in the left two-thirds
25 of the map. So if you look in this part of the

1 map, you don't see very many areas that are this
2 light green colour.

3 Another thing to note is that large
4 fires are much less common in the area to the east
5 of the study zones used for the assessment, so if
6 you look in this general area over here.

7 Basing the regional ecosystem size on
8 fire ecology has two important implications for
9 the terrestrial assessment. First, the project
10 region is large enough to support self-sustaining
11 populations for most of the resident wildlife
12 species as large fires occur over the time.

13 Second, even though large areas burned
14 in the project area over this past summer, the
15 terrestrial assessment conclusions are still valid
16 because they have already taken into account the
17 fact that large fires frequently occur, and fires
18 will continue to occur in the region after the EIS
19 submission.

20 Regional ecosystem boundaries were
21 mapped by extending outwards from the project
22 footprint and disturbance areas. So, actually
23 this map doesn't have it, but the project
24 footprint areas are here, and there's project
25 traffic, increases to traffic as a result of the

1 project that extend along PR 280 all the way back
2 to Gillam here.

3 So the boundaries were mapped by
4 expanding outwards from the project footprint and
5 disturbance areas, through similar ecological
6 conditions, until the appropriate size as
7 determined by the fire regime was achieved.

8 Relevant ecological conditions were
9 fire regime, surface materials, land forms,
10 watersheds and climate.

11 The strong change in a number of
12 ecological factors near Long Spruce, so that's in
13 this general location here, formed the eastern
14 boundary during this expansion. And as I
15 previously noted, fire is a driving force for
16 natural ecosystems, and this area to the east of
17 our study zone boundaries, fires are much less
18 common.

19 And the fact that fires are less
20 common reflect strong differences in surface
21 materials, soils topography and climate. This
22 slide shows the dominant surface materials and how
23 they change at the western edge of what is called
24 the Tyrell Sea deposition zone. So after the
25 glaciers left, this area to the east was inundated

1 by a sea. And this general area here was the
2 western limit of that sea and its deposition zone.

3 In this area to the east, the terrain
4 is flat compared to being somewhat rolling in this
5 area to the west. Additionally, there are major
6 differences in the dominant vegetation and soils
7 in study zone five compared to the areas to the
8 east of it. This reflects differences in climate
9 as well as surface materials and soils.

10 So if we look at the photo to the
11 right, this is a representative photo for areas
12 when you get away from the Nelson River. It's
13 dominated by these raised bogs you're seeing in
14 white and dark green, which are interspersed
15 amongst these very wet peat lands.

16 When you move into the area where our
17 regional ecosystem is located, the terrain becomes
18 rolling and it's a mixture of forest woodlands and
19 some wet peat land areas, but there's a much
20 greater variety of ecosystems.

21 The strong change in the number of
22 ecological factors east of the Long Spruce
23 Generating Station formed the eastern boundary for
24 the Keeyask regional ecosystem. So this is the
25 area along here. Study zone five is the regional

1 ecosystem for the Keeyask project.

2 The Keeyask regional ecosystem was a
3 focus of the terrestrial environment assessment,
4 including evaluating changes to ecosystem
5 condition and health, and to ecosystem components
6 of high social concern.

7 The project would have a number of
8 impacts on the terrestrial environment, such as
9 vegetation clearing, soil excavation, flooding,
10 traffic and noise. And this diagram here shows
11 some of those impacts. And we tend to think of a
12 hydroelectric generation project primarily as a
13 river impact project. But in terms of the
14 terrestrial environment, there are a number of
15 other effects that need to be considered.

16 And on this basis, the VECs and
17 supporting topics were selected by carefully
18 considering terrestrial ecosystem linkages and the
19 potential pathways of project effects on ecosystem
20 components.

21 On that basis, 13 VECs and nine
22 supporting topics were carefully selected to
23 provide a reliable indication of project and
24 cumulative effects. Each of the specialists will
25 speak to VEC and supporting topic selection for

1 their discipline.

2 In brief, for terrestrial ecosystems,
3 habitat and plants, there are four VECs and four
4 supporting topics. There is one terrestrial
5 invertebrate supporting topic, one amphibian and
6 reptile supporting topic, for birds there are six
7 VECs and one supporting topic. And finally for
8 mammals, there are three VECs and one supporting
9 topic. Mercury and wildlife is also included as a
10 supporting topic.

11 A local and a regional study area was
12 identified for each VEC and supporting topic using
13 ecological criteria. A VEC is affected -- or a
14 VEC or supporting topic is affected inside the
15 project footprint. In this diagram here, for
16 example, flooding, clearing, access removes
17 habitat or animals. In this hypothetical example,
18 habitat for moose is lost in the project
19 footprint.

20 Indirect effects occur near the
21 project's footprint. For example, noise or
22 vegetation alteration remove habitat for moose.

23 The local study area is where project
24 effects on moose are most visible. That is the
25 local study area is the project's zone of

1 influence on moose. And this holds true for all
2 of the VECs and supporting topics.

3 Although effects on individual moose
4 are certainly of interest, the question of
5 ultimate concern for the cumulative effects
6 assessment is how project effects on individual
7 moose and other ecosystem components translate
8 into long-term effects on wildlife populations and
9 regional ecosystem health.

10 A VEC's regional study area is used to
11 put local project effects into a broader context
12 and to assess cumulative effects.

13 A VEC's regional study area assesses
14 cumulative effects because it's focused on
15 ensuring that regional ecosystem health is
16 maintained and that regional wildlife populations
17 are self-sustaining.

18 Regional study areas are a practical
19 way to identify the wildlife populations and
20 regional ecosystem affected by the project. They
21 are a practical way to calculate the amount of
22 available habitat with and without the project.
23 They are a practical way to search for overlap of
24 effects from other past, present and reasonably
25 foreseeable future projects.

1 The cumulative effects assessment
2 considers effects from projects physically located
3 outside of the regional study area. An example is
4 construction traffic for the Keewatinoow Converter
5 Station that is travelling from Winnipeg to
6 Conawapa. The cumulative effects assessments
7 considers the dust created and the potential
8 wildlife mortality created by this traffic, where
9 that traffic passes through the VEC's regional
10 study area. And those are not the only effects
11 that are considered from these other projects that
12 are physically located outside of the regional
13 study area.

14 Local and regional study areas for the
15 VECs and supporting topics were generally selected
16 from six study zones that were mapped using
17 ecological criteria. This map shows those six
18 study zones.

19 Study zone five, which is the green
20 shaded area plus all of the areas nested within
21 it, is the Keeyask regional ecosystem. It
22 captures the zone of influence around the project
23 footprint and the increased traffic on PR 280.
24 The Keeyask regional ecosystem is a regional study
25 area for the ecosystem VECs such as intactness and

1 ecosystem diversity. The Keeyask regional
2 ecosystem was also the regional study area for
3 wildlife species for which study zone five was the
4 appropriate size for maintaining a self-sustaining
5 population.

6 This regional ecosystem based approach
7 provides a strong foundation for the terrestrial
8 assessment, for example, as the basis for
9 evaluating project effects on regional ecosystem
10 health: For the remaining species, the regional
11 study area was the one that was the appropriate
12 size to support a self-sustaining population.

13 Caribou had the largest regional study
14 area, shown as study zone six in this map, because
15 caribou range over a wide area. Beaver had a
16 smaller regional study area, which was study zone
17 four.

18 Some VECs or VEC components had
19 additional study areas because the population
20 affected by Keeyask moves over very large areas.
21 For example, Pen Island's caribou had an
22 additional study area that captured their
23 movements into Ontario.

24 In the interrogatory, or the
25 information request responses, including a recent

1 additional filing, the Partnership addressed
2 questions as to why the Keeyask study zone five
3 was not extended to the east to include Conawapa
4 and other existing and identified future projects
5 in the areas to the east. In those responses, and
6 in slides nine to 12 of this presentation, we have
7 explained the ecosystem based rationale for
8 selecting the study zone five boundaries.

9 Two additional considerations were as
10 follows: First, the Keeyask project is not
11 expected to have any detectable terrestrial
12 effects in areas outside of study zone five,
13 including the regional ecosystem to the east that
14 includes Conawapa. Second, the ways that the
15 regional study areas are used for the cumulative
16 effects assessments provide full consideration of
17 any effects that arise from any project or
18 activity located outside of a VEC's regional study
19 area.

20 When speaking to slide 20, I gave an
21 example of how traffic from projects located
22 outside of the regional study areas was considered
23 in the assessments. In other words, the
24 assessment approach considers the terrestrial
25 effects of all projects on the Keeyask regional

1 ecosystem and the Keeyask VEC populations no
2 matter where the other projects are physically
3 located.

4 Now, a few words on how the
5 assessments were conducted prior to summarizing
6 project and cumulative effects on VECs.

7 The assessment of potential project
8 effects and recommendations for reducing adverse
9 effects started very early on in the assessment
10 process and has continued on an ongoing basis.

11 Major reductions in potential project
12 effects on terrestrial ecosystems and wildlife
13 species were achieved through a highly
14 interactive, collaborative, project design process
15 involving Manitoba Hydro engineers and
16 environmental specialists, the KCNs, and technical
17 experts.

18 Examples of outcomes are a low head
19 option that considerably reduced terrestrial
20 flooding. North and south access road routes that
21 minimized effects on species and sensitive sites.
22 Borrow area and excavated material placement area
23 locations that minimize effects on species and
24 sensitive sites. In fact, the project design
25 process eliminated the need for additional

1 mitigation for many terrestrial issues of concern.

2 I will now turn to terrestrial
3 ecosystems, habitat and plants. The presentation
4 begins with an overview of the Keeyask regional
5 ecosystem, which is followed by an overview of
6 project studies conducted to support the
7 assessments. Finally, I will talk about project
8 and cumulative effects on terrestrial ecosystems,
9 habitats and plants, as demonstrated through the
10 VECs and supporting topics.

11 The Keeyask regional ecosystem is
12 characterized by, firstly, a relatively harsh
13 climate. The land surface and soils are dominated
14 by peat lands. Terrestrial habitat is
15 predominantly a mixture of black spruce on various
16 types of peat lands.

17 Project studies were conducted over 10
18 years. Data was collected at a large number of
19 locations. Vegetation, soils, and other
20 environmental attributes were mapped from large
21 scale current and historical air photos.

22 Information was collected on plants,
23 trees, soils, peat depth, and other environmental
24 attributes. Plant and soil samples were collected
25 for lab analysis. Details regarding the range of

1 studies that were conducted to support the
2 assessments can be found in the terrestrial
3 environment supporting volume.

4 Based on careful consideration, four
5 VECs and four supporting topics were selected to
6 contribute to providing an overall picture of how
7 the project would contribute to cumulative effects
8 on the regional terrestrial ecosystem and
9 ecosystem components such as wildlife species. In
10 the following slides, I will provide an overview
11 of the cumulative effects assessments for
12 terrestrial habitat and the first three of the
13 four VECs. I would be happy to answer questions
14 on all topics following the presentations.

15 In general, I won't be mentioning
16 mitigation. As previously mentioned, the project
17 design process and measures included in the
18 environmental protection plans eliminated the need
19 for additional mitigation for many terrestrial
20 issues of concern.

21 What do we mean by terrestrial
22 habitat? It refers to combinations of vegetation
23 and eco-site types. Eco-site types are
24 ecologically meaningful combinations of soil,
25 groundwater, slope and other environmental

1 factors. Terrestrial habitat is responsible for
2 many important ecological functions such as
3 converting sunlight into life, producing oxygen,
4 storing carbon, and providing food and shelter for
5 wildlife. These are some of the reasons why
6 terrestrial habitat effects are fundamental to the
7 overall effects assessments.

8 This slide now is going to tell us
9 about project effects on terrestrial habitat. The
10 maximum expected potential amount of direct and
11 indirect terrestrial habitat loss and alteration
12 from project infrastructure, flooding, and other
13 components is 9,400 hectares. This is the maximum
14 expected amount of potential effects for several
15 reasons.

16 First, some of the potential borrow
17 areas, excavated material placement areas, and
18 disturbance areas will not be used. Second,
19 clearing in the proposed project footprint will be
20 minimized. Third, the assessment assumes that the
21 first 50 metres surrounding the entire potential
22 project footprint is lost, even though evidence
23 indicates alteration will average about 25 metres.
24 And fourth, the predictions have not subtracted
25 the native habitat recovery in temporarily

1 disturbed and cleared areas.

2 The potential significance of these
3 terrestrial habitat effects was evaluated using
4 benchmarks. Ms. Cole used this slide in her
5 environmental assessment approach presentation to
6 provide the general overview of thresholds and
7 benchmarks. I'm going to show how this general
8 approach was applied for the terrestrial VECs
9 using terrestrial habitat as an example.

10 We are using the term threshold to
11 refer to the point or range where the
12 sustainability of the VEC is threatened.
13 Regulatory or established thresholds were not
14 available for the terrestrial VECs and supporting
15 topics. Consequently, benchmarks that represent a
16 level below that where significant effects on a
17 VEC may occur were used.

18 Turning to total terrestrial habitat
19 to illustrate this approach, studies indicate that
20 ecosystem function and biodiversity effects may
21 occur under some conditions once total terrestrial
22 habitat loss reaches 20 percent of predevelopment
23 area. More serious ecosystem effects occur as
24 terrestrial habitat loss is increased. We don't
25 need to know where the exact point or range for a

1 threshold is if the assessment takes a
2 precautionary approach by setting a benchmark well
3 below where this point or range is expected to
4 occur.

5 On this basis, the benchmark for when
6 effects are more seriously considered is set at
7 10 percent of habitat lost or altered in the case
8 of total terrestrial habitat. More serious
9 consideration means the potential for significant
10 effects, when considered in combination with other
11 factors, additional mitigation is considered and
12 more in depth monitoring included. Note that we
13 are including habitat alteration in addition to
14 loss when measuring total terrestrial habitat
15 effects.

16 Numerous sources were used for these
17 magnitude benchmarks for the VECs and supporting
18 topic indicator measures. The primary sources for
19 the benchmarks can be found in the EIS.

20 So now I am going to show you how
21 these benchmarks are used to put Keeyask project
22 effects on total terrestrial habitat into the
23 context of cumulative effects. I'm going to spend
24 some time explaining this chart because you will
25 be seeing a few of them in this presentation.

1 First off, you will notice that the
2 colours in the chart have been reversed from the
3 previous figure. The previous figure showed
4 habitat loss, while this one shows habitat
5 remaining. In other words, a 10 percent habitat
6 loss benchmark is the same thing as a 90 percent
7 habitat remaining benchmark.

8 When looking at these figures, the key
9 thing to remember is that green, the green
10 background shows where there is no risk to the
11 VEC. Yellow is increasing concern. And orange
12 means the VEC is no longer sustainable. You'll
13 also notice that the background colours transition
14 to reflect the potential effects on the VEC also
15 are a gradual transition until a threshold is
16 approached.

17 This figure considers four time
18 periods and these will be presented for each VEC.
19 Predevelopment, which is this first blue bar, is
20 the first period. Predevelopment refers to the
21 period prior to industrialized development, which
22 is basically 1950, except for the railway line.

23 In study zone five, which is the
24 regional terrestrial ecosystem, 100 percent of
25 native terrestrial habitat was remaining in the

1 predevelopment period. So that's this first blue
2 bar you are seeing here.

3 The next three periods represent
4 existing cumulative effects, Keeyask combined with
5 existing cumulative effects, and Keeyask combined
6 with existing cumulative effects and the effects
7 of reasonably foreseeable future projects.

8 Past and current projects have removed
9 or altered approximately 5 percent of total
10 terrestrial habitat in study zone five, leaving
11 95 percent of predevelopment habitat.

12 Keeyask could remove or alter an
13 additional 0.7 percent of total terrestrial
14 habitat, reducing total remaining habitat to
15 approximately 94 percent of predevelopment area.
16 Reasonably foreseeable future projects could
17 remove or alter an additional 0.4 percent of total
18 terrestrial habitat, which would still leave
19 approximately 94 percent of predevelopment area.

20 Using the benchmarks, the conclusion
21 is that cumulative effects on total terrestrial
22 habitat with future projects remains within a
23 regionally acceptable range.

24 Intactness is the first terrestrial
25 VEC that I will talk about. What is intactness?

1 It is essentially asking how much has the regional
2 ecosystem been altered by human impacts.

3 Intactness was selected as a VEC because it's an
4 umbrella indicator for many ecosystem effects.

5 The intactness VEC is used as the habitat
6 intactness indicator for most wildlife species.

7 Caribou is a more sensitive species, so in the
8 mammal presentation you will hear about how
9 habitat intactness was measured for caribou.

10 The indicator measures used for
11 intactness are, the total length of roads, rail
12 lines, and other human linear features per square
13 kilometre. This is called total linear feature
14 density.

15 Because some features such as roads
16 have much higher ecological effects compared with
17 other linear features, several groupings of linear
18 feature types are measured.

19 Core area is the second intactness
20 indicator measure. Core areas are the areas that
21 are left after removing places that are inside or
22 close to human features.

23 This map shows existing linear and
24 other human features in study zone five. The
25 green shows all of the core areas that are larger

1 than a thousand hectares after removing human
2 features, including cut lines and a buffer around
3 them. Cut lines are narrow trails usually cleared
4 to provide access to areas for various types of
5 exploration activities.

6 So going back to a cumulative effects
7 chart, the green is at the bottom again in this
8 chart, because having less or fewer linear
9 features is better than having more. This chart
10 shows the progression of cumulative linear density
11 from the predevelopment period forward to the
12 existing environment.

13 In the predevelopment period, which is
14 shown here, linear feature density was zero for
15 all indicator measures. Past and current projects
16 have produced a total linear feature density of
17 0.45 kilometres per square kilometre in study zone
18 five. This is a worst case scenario because it
19 includes all cut lines, 35 percent of which are
20 regenerating naturally. Total linear feature
21 density without cut lines is 0.15 kilometres per
22 square kilometre. And transportation density, so
23 that would be road and rail lines, is only 0.07
24 kilometres per square kilometre. And all of these
25 densities are well below the benchmark for modern

1 magnitude effects, and two of them are well below
2 the low magnitude benchmark.

3 The Keyask project would reduce total
4 linear feature density. Now, this may sound
5 counterintuitive. It happens because flooding and
6 borrow areas remove some of the existing linear
7 features. And this is one of the reasons that
8 core area was also used as an intactness indicator
9 measure, so that the effects of flooding and
10 borrow areas on intactness are captured.

11 Future projects would increase total
12 linear feature density from 0.44 kilometres per
13 square kilometre to 0.48 kilometres per square
14 kilometre. And boy, this must be exciting stuff.
15 But this is a very important ecosystem indicator,
16 so I must go through this.

17 THE CHAIRMAN: We trust you.

18 DR. EHNES: Thank you.

19 Future transmission projects are
20 responsible for this increase.

21 Turning now to the core area indicator
22 measure. Core area is larger than a thousand
23 hectares, accounted for 99 percent of the land
24 area in the predevelopment period. Core area has
25 been reduced to approximately 83 percent of land

1 area by past and current projects. Keyask would
2 further reduce core area to approximately
3 82 percent of land area, while reasonably
4 foreseeable future projects would further reduce
5 core area to approximately 81 percent of land
6 area.

7 And again, this is the worst case
8 scenario estimate of core area loss, because it
9 includes all cut lines, 35 percent of which had
10 good regrowth when surveyed in 2011.

11 Regionally, total human disturbance is
12 relatively low based on linear feature density and
13 core area remaining. The conclusion is for
14 intactness, cumulative effects are within a
15 regionally acceptable range.

16 THE CHAIRMAN: Help me a little bit
17 with some of my confusion. You said early on that
18 20 percent was sort of a crossing line. And once
19 it got above 20 percent damage, then it's a
20 problem. So is that why when we get to slide 47,
21 81 percent is okay?

22 DR. EHNES: The 20 percent was not the
23 crossing or the tipping point. That was the level
24 of habitat lost where effects on the ecosystem are
25 becoming visible. That tipping point would be a

1 much higher level of habitat loss. So that
2 benchmark of 10 percent is set well below the
3 20 percent, where we think the effects are
4 starting to occur. That benchmark was for a total
5 terrestrial habitat. The benchmarks for core area
6 are set based on what is important for core area
7 for animals. So because core areas are the
8 interior areas, or the areas that are away from
9 human disturbance, the benchmarks are different
10 for core area.

11 THE CHAIRMAN: So the 90 percent
12 benchmark just applied to the terrestrial habitat
13 as a whole?

14 DR. EHNES: Yes.

15 THE CHAIRMAN: And now the benchmark
16 for this particular VEC, intactness, is
17 40 percent? Is that -- on slide 47?

18 DR. EHNES: Yes, I'm just going to
19 that slide.

20 THE CHAIRMAN: There.

21 DR. EHNES: Yes.

22 THE CHAIRMAN: So the benchmark is 40
23 now for this particular?

24 DR. EHNES: Yeah. The level of core
25 area loss, which is a much smaller component of

1 total habitat, the low magnitude benchmark would
2 be 35 percent and the moderate magnitude benchmark
3 would be 60 percent.

4 THE CHAIRMAN: Okay.

5 DR. EHNES: Now, this is at core area,
6 not total terrestrial habitat, so they are very
7 different. If I go back to the previous slide or
8 set of charts for linear feature density, they are
9 expressed in terms of kilometres per square
10 kilometre. So each VEC or supporting topic, the
11 benchmark is selected as a value that's relevant
12 for that indicator measure.

13 THE CHAIRMAN: Okay. It will clear up
14 as we move along, but that was helpful. Thank
15 you.

16 DR. EHNES: Yeah.

17 The next VEC is ecosystem diversity.
18 Ecosystem diversity is the variety of ecosystems
19 in the region. Ecosystem diversity was selected
20 as a VEC because it is an umbrella indicator for
21 many ecosystem effects, and because maintaining
22 biodiversity and ecosystem diversity is a
23 fundamental goal for land use planning and many
24 government policies. The overall goal is to
25 maintain a natural mixture of ecosystem types. In

1 practical terms, ecosystem types are mapped and
2 measured as the various habitat types.

3 The key indicator measures used for
4 ecosystem diversity are percentages of land area
5 occupied by each of the native habitat types and
6 the amounts of the priority habitat types. A
7 priority habitat type is a habitat type of
8 particular interest for ecological and/or social
9 reasons. Examples are rare habitat types, or
10 habitat types that may include many plant species.

11 This pie chart shows the habitat
12 composition of the Keeyask regional ecosystem.
13 And you'll see on the right-hand side here the
14 three black spruce peat land types dominate the
15 existing habitat composition of the Keeyask
16 regional ecosystem, accounting for two-thirds of
17 total terrestrial habitat.

18 Forty-three priority habitat types,
19 shown in this area, account for approximately
20 29 percent of total terrestrial habitat. The
21 remaining non native habitat types account for
22 about 2 percent of terrestrial habitat.

23 The project will not eliminate any
24 native habitat types, so none of them will be
25 completely removed. Neither will it substantially

1 change the proportions of any native habitat
2 types. So if we go back to this pie chart, the
3 project would not change the size of the slices,
4 or the pie slices in this chart.

5 The vegetation rehabilitation plan,
6 and this is one point where I'll talk about
7 mitigation measures, will give preference to
8 rehabilitating the most affected priority habitat
9 types, which will reduce reported effects for some
10 types. So in other words, when I talk about
11 project effects, they don't take into
12 consideration the vegetation rehabilitation
13 measures.

14 Cumulative effects on priority habitat
15 types with existing projects, the Keeyask project,
16 and reasonably foreseeable future projects, will
17 vary by priority habitat type.

18 Cumulative effects range from
19 5 percent to 8.8 percent of the estimated
20 predevelopment area for 39 of the priority habitat
21 types.

22 Cumulative effects would increase to
23 9.9 percent of the estimated predevelopment area
24 for one balsam poplar type, and the project will
25 not affect three of the priority habitat types.

1 Now, these effects are overestimated
2 for many types for the reasons I described for
3 total terrestrial habitat, because we have taken a
4 precautionary approach to including the entire
5 possible footprint and the zone of indirect
6 effects. As well, the vegetation rehabilitation
7 plan will give preference to rehabilitating the
8 most affected priority habitat types.

9 So the conclusion for ecosystem
10 diversity is that cumulative effects are within a
11 regionally acceptable range.

12 I'll now turn to the wetland function
13 VEC. Wetland functions are the natural properties
14 or processes that are associated with wetlands,
15 but stating them in ways that describe what they
16 do for the ecosystem.

17 Some wetland types such as marshes
18 make high contributions to overall ecosystem
19 function. Marshes are high quality habitat for
20 muskrat, moose, waterfowl, and some song birds,
21 and marshes are pretty much the only place where
22 some plant species are found.

23 In this map, the orange shows upland
24 areas while the green shows wetlands. Most of the
25 region is covered by wetlands. Since most of the

1 region is covered by wetlands, the total
2 terrestrial habitat and ecosystem diversity
3 results that I have already presented evaluate
4 effects for most wetland types. The wetland
5 function assessment in the terrestrial environment
6 supporting volume goes into a detailed analysis of
7 the various types. This chart shows the
8 cumulative effects going all the way through to
9 future projects on total wetland area. And what
10 you see in this chart is true for most of the
11 wetland types in the region.

12 An exception is Nelson River marsh.
13 All of the native marsh has been removed by past
14 and current projects. It is noted that the total
15 amount of marsh in these reaches of the Nelson
16 River was quite low prior to hydroelectric
17 development.

18 So since most of the region is covered
19 by wetlands and the terrestrial habitat, and
20 ecosystem diversity analysis accounted for effects
21 on most wetland types, the indicator measures used
22 for wetland function were effects on the
23 particularly important wetland types in the
24 Keeyask region. The particularly important
25 wetland types were wetland sites identified as

1 being globally, nationally, or provincially
2 significant by Ramsar, the North American
3 Waterfowl Management plan, Ducks Unlimited, or the
4 Manitoba Heritage Marsh Program.

5 The other particularly important
6 wetland type was marsh in off-system lakes and
7 waterways.

8 Wetland sites identified as being
9 globally, nationally, or provincially significant
10 do not occur in the region.

11 The project will affect approximately
12 12 hectares of marsh in off-system lakes and
13 waterways. Mitigation includes developing
14 12 hectares of off-system marsh. So with the
15 mitigation, the conclusion for wetland function is
16 that effects are within a regionally acceptable
17 range.

18 Effects on terrestrial habitat,
19 ecosystems, plants, will be monitored through an
20 integrated terrestrial effects monitoring plan.
21 The terrestrial effects monitoring plan will
22 monitor implementation of EIS commitments,
23 including mitigation, the effectiveness of
24 mitigation. The terrestrial effects monitoring
25 plan also includes a process to respond to effects

1 being more adverse than anticipated. And the
2 benchmarks used for the adaptive management
3 triggers will generally be the same as the ones
4 that are used for the regulatory significance
5 assessment.

6 Some of the terrestrial ecosystems
7 habitat and plant components that will be
8 monitored by the terrestrial effects monitoring
9 plan will include terrestrial habitat loss and
10 indirect alteration, success of the vegetation
11 rehabilitation plan, marsh mitigation, including
12 how the marshes are used by wildlife, effects on
13 the VECs, fire regime effects, since this is a key
14 driver for terrestrial ecosystems. And I'll note
15 that there are no expected project effects on the
16 fire regime, rather this is a risk to be managed,
17 for example, accidental fire starts. And finally,
18 invasive plants.

19 Before handing the microphone over to
20 Ms. Wyenberg, I'd like to summarize how the
21 information provided in this presentation provides
22 context for the wildlife assessments.

23 The terrestrial habitat and ecosystem
24 VECs use predevelopment areas as the reference
25 point for cumulative losses. It was possible to

1 estimate these values for the terrestrial habitat
2 and ecosystem VECs. This is not so easily done
3 for wildlife habitat. Detailed historical mapping
4 is needed to quantify available habitat for some
5 wildlife VECs. This is because some elements of
6 wildlife habitat are based on spatial attributes,
7 such as how much forest edge is available, or the
8 amount of certain kinds of vegetation close to a
9 shoreline.

10 And these amounts cannot be estimated
11 by simply extrapolating habitat proportions.

12 The limited cumulative effects on
13 terrestrial habitat and intactness provide the
14 context for wildlife change evaluations. This is
15 the primary basis for using changes from current
16 available, as the reference point for project and
17 other future changes to available wildlife
18 habitat.

19 Thank you for your time.

20 THE CHAIRMAN: Thank you, Dr. Ehnes.
21 Ms. Wyenberg?

22 MS. WYENBERG: Good afternoon, panel
23 members. My name is Leane Wyenberg, and I'm
24 pleased to present to you two presentations this
25 afternoon. The first one will be an overview of

1 the terrestrial invertebrate, amphibian and bird
2 assessment, and the second one will be our
3 assessment that looked at mercury and wildlife.

4 So I'll begin by giving a brief
5 overview of our terrestrial invertebrate and
6 amphibian assessments, but I'll spend most of my
7 time this afternoon talking about the bird
8 assessment, going through essentially the topics
9 or the issues that came up during the information
10 request process. I'll explain some of the methods
11 that we used to gather our information. I'll talk
12 about how we identified the study areas for our
13 assessment on birds, how we selected our bird
14 valued environmental components, as well as the
15 priority birds, what those are. And then I'll get
16 into a discussion about the benchmarks that we
17 used for our bird assessment, and then move on to
18 the results and discussions for some of our bird
19 VECs, and finish up with some monitoring plans.

20 We studied terrestrial invertebrates,
21 which includes your insects, your spiders, your
22 snails. We studied these because they are at the
23 base of the food chain, so they are important in
24 the environment, they are important for other
25 animals, they are an important food source for

1 many birds, but they are also important for plants
2 as well.

3 We study amphibians because they are,
4 too, food for other organisms. They are at the
5 base of the food chain, and they are sensitive to
6 changes in wetland habitat.

7 Northern leopard frog, when most of
8 our studies focused on the two species that occur
9 within the region, the wood frog and boreal chorus
10 frog; however, we did consider the fact that
11 northern leopard frog has occurred within the
12 region historically. They are listed, their
13 western population is listed as special concern.
14 Historical records come from western science and
15 ATK that they were once abundant throughout this
16 region, but suffered from severe die-offs in the
17 1970s, not just in this area, but in their western
18 population range.

19 Here is a map showing you the study
20 areas that we used for the terrestrial
21 invertebrates and amphibian assessment. Study
22 zone four in the blue was identified as the
23 regional study area for terrestrial invertebrates.
24 It provides a good representation of the various
25 habitats that would be used by insects. It was

1 also used as the regional study area for
2 amphibians, because it was considered to be large
3 enough to capture the breeding population of
4 amphibians along the Nelson River.

5 And study zone three, in the white,
6 was identified as the local study area for both
7 the terrestrial invertebrates and amphibians.

8 There are no provincially rare or
9 listed species of terrestrial invertebrate known
10 to occur within the region, or expected to occur
11 in the region. And that's due to the fact that
12 habitat for the listed species is not suitable
13 within the region.

14 Our assessment of terrestrial
15 invertebrates was based on the scientific
16 literature for boreal invertebrates that would be
17 comparable to this area of Keeyask.

18 All of the terrestrial and aquatic
19 areas, the land and the water, is considered
20 habitat for terrestrial invertebrates, because
21 many of these species have a life stage that is
22 dependent upon water. Mosquitoes would be an
23 example of that.

24 Overall, the project is not expected
25 to affect insects within the region, up to

1 4 percent of their habitats may be altered or lost
2 due to the project.

3 Moving on to the amphibian assessment.
4 Sampling for amphibians began in 2001 and carried
5 out through to 2011, and continues to today's
6 date. Sampling occurred throughout the region
7 with focus on the wetlands or the ponds that would
8 be used by amphibians for breeding. Boreal chorus
9 frog and wood frog are the two species, as I
10 mentioned, that occur within this region. They
11 are known to breed throughout, favouring the
12 inland ponds and wetlands that provide suitable
13 breeding habitat, breeding habitat that is free
14 from fish predators. That's a key factor for
15 amphibians.

16 Up to 3 percent of available habitat
17 for amphibians would be lost through the project.
18 This 3 percent is considered a worst case
19 scenario. We know that new amphibian habitat will
20 form in areas along new infrastructure. For
21 example, along the south access road, in the
22 ditches where water is going to pool or has a
23 tendency to pool. Also along the dyking systems,
24 often water will pool in those areas and provide
25 habitat for amphibians.

1 In some of the decommissioned borrow
2 areas, there could be deep pits that retain water.
3 Those areas have also been shown to, over time,
4 support amphibian populations.

5 In conclusion, the project is not
6 expected to affected regional amphibian
7 populations.

8 We study birds for a number of
9 reasons. They are important for a number of
10 reasons, including ecological importance. Like I
11 mentioned for invertebrates and frogs, they are
12 part of the food chain. They are important, they
13 have their various roles, including seed dispersal
14 for plants. They are also considered very
15 important to people. A number of species like
16 ducks and geese are harvested by local resource
17 users, including the First Nation communities.
18 And some bird species are very spiritually valued,
19 for example, the bald eagle.

20 And then there's the regulatory
21 importance. Migratory birds are protected under
22 the Migratory Bird Convention Act. All birds are
23 protected under Manitoba's Wildlife Act, and
24 species at risk are afforded protection under the
25 Manitoba Species at Risk Act, and/or the Federal

1 Species at Risk Act, SARA.

2 A considerable amount of data has been
3 gathered on the bird community at Keeyask. We
4 began collecting information in 2001, and carried
5 out a number of surveys throughout this last 10 to
6 12 years. Our surveys have followed standardized
7 widely accepted protocols. We have targeted
8 migratory birds, but also included sampling for
9 the resident species like the owls and the grouse.
10 We have used a variety of methods, you can't just
11 use one method to sample the over 178 birds that
12 occur within Keeyask.

13 For the wide ranging waterfowl,
14 raptors, we used aerial surveys to get a good
15 understanding for the distribution and abundance
16 of these birds throughout the region. We used
17 boat based surveys to get a more in-depth
18 understanding of what was happening on Gull Lake
19 in parts of the Nelson River. We also did a
20 number of point counts in the forest to get
21 information on the forest birds, the breeding
22 birds and the inland areas.

23 We targeted the migratory birds like
24 the song birds, which also include Olive-sided
25 Flycatcher, which is a listed species. And we

1 even did some nocturnal surveys trying to target
2 the Common Nighthawk which is more active in the
3 evening, and Yellow Rail as well.

4 And during this process, we have
5 worked alongside the First Nation communities and
6 gathered a lot of local knowledge through that
7 process.

8 Part of our approach also included a
9 review of historical information, including
10 information from ATK, in order to understand the
11 effects of past projects.

12 We have also assessed this project,
13 Keeyask, in combination of future projects for our
14 valued environmental components.

15 So here is our study areas that we
16 used for the bird assessment. Study zone five is
17 the large green area. It was used as the regional
18 study area for Bald Eagle and Canada Goose. This
19 area was considered large enough to capture a
20 breeding population of Bald Eagles along the
21 Nelson River. They are a wide ranging species and
22 widely distributed throughout.

23 We felt it was a suitable study area
24 for Canada Goose because Canada Geese are actually
25 transient through this area. They are migrating

1 through Keeyask on their way to their northern
2 breeding grounds. So we felt that zone five was
3 large enough to capture a representation of that
4 transient population of geese moving through.

5 And I want to mention that we
6 recognized geese would be moving through between
7 their breeding and wintering grounds, and they
8 also may be moving along the Nelson River towards
9 the downstream areas. The Hudson Bay coast is an
10 attractive spot for Canada Geese. It's an
11 important staging area for them along that area.
12 So we recognized that Canada Geese would be moving
13 through downstream areas and potentially
14 interacting with future projects in that region.
15 So even though our study area is zone five, we did
16 consider that birds are mobile and they are moving
17 outside of these boundaries that we have
18 identified.

19 Zone four was identified as the
20 regional study area for Mallard and all other
21 birds. We felt that it would have been
22 appropriate to use zone five, that it would have
23 captured a representation of the breeding
24 populations of these birds. However, we wanted to
25 be a bit more conservative and felt that we would

1 go with a zone four as our regional study area,
2 which is used as our assessment area for this
3 project. And zone three is the local study area
4 that was used for all birds.

5 Now we get into the process of how we
6 selected our valued environmental components for
7 birds. Like I mentioned, there is about 178
8 species that we have identified occurring within
9 the Keeyask region. And during the process of
10 identifying which would be VECs, we considered all
11 of them. And we looked at whether or not these
12 birds were potentially affected by this proposed
13 project. And that really helped us to narrow down
14 this large list to about 27 species. And these 27
15 species we called the priority birds, because they
16 were ecologically, socially, or regulatory
17 important.

18 We took this list of 27 and narrowed
19 it down even further. It went through a rigorous
20 process with many meetings and discussions. We
21 had the First Nations' involvement and feedback
22 and discussions with them. And what we initially
23 came out of that process with was three migratory
24 birds as our VECs, the Mallard, the Canada Goose
25 and the Bald Eagle.

1 Mallard and Canada Geese are very
2 important socially because they are valued by the
3 First Nation communities. They are used as
4 subsistence food. They are traditionally
5 harvested annually, and are considered very
6 important. The Bald Eagle is spiritually
7 significant and was treated as a VEC for that
8 reason.

9 In response to regulatory concern, we
10 looked at all of our eight species at risk that
11 could occur within this region. And taking the
12 same approach, we identified, or at least
13 considered which of these eight species would be
14 affected by this project. And that process
15 revealed that there is three species of birds that
16 breed within the area, have breeding habitat that
17 would potentially be affected by the project.
18 Those three species became VECs, Common Nighthawk,
19 Olive-sided Flycatcher, and Rusty Blackbird.

20 The remaining five species at risk
21 were not VECs for the following reasons. There
22 was low potential for project effects, that was
23 the case for Yellow Rail. We did survey for
24 Yellow Rail but they were not detected within the
25 region. Habitat that occurs within the Keeyask

1 region is considered marginal for the species.
2 Their preferred further habitat actually occurs in
3 areas further east along the Hudson Bay, James Bay
4 coastal lowland areas, and in areas further south.

5 The Short-eared Owl is also a species
6 where we did not see the potential for project
7 effects. There's no breeding habitat for this
8 species within our local study area.

9 Peregrine Falcon and Red Knot are
10 transient. They are migrating through the region
11 during the spring and fall migration periods.
12 Their preferred habitat is in areas further north.

13 The Horned Grebe is a water bird that
14 uses habitat that's similar to the Mallard, so we
15 felt that it was represented by the Mallard VEC.
16 However, although they were not treated as VECs,
17 they were treated as priority birds and they were
18 assessed in full.

19 Gulls and terns are colonial water
20 birds. They were treated as a priority bird.
21 Gulls and terns are dependant upon rare
22 environmental features for breeding, like the
23 rocky reefs in the islands in the Nelson River,
24 like in Gull Rapids and in areas upstream. We
25 recognize that they are valued by the First Nation

1 communities. We know that Gull eggs were
2 harvested in the past. However, during the
3 process of identifying our VECs, it was indicated
4 that they were valued but they weren't as highly
5 valued as say other species that had become VECs,
6 the Mallard, the Canada Goose and the Bald Eagle.
7 However, that said, they were the focus of a
8 considerable amount of study. And we have put in
9 a lot of efforts and thoughts and considerations
10 into potential mitigation measures to offset the
11 effects of this project on these species.

12 Moving on to the benchmarks, there are
13 no defined regulatory thresholds or benchmarks for
14 birds. So this prompted us to do a review of the
15 other EIAs to see what they were using for their
16 benchmarks when they were assessing project
17 effects on birds.

18 What that process revealed was that it
19 was a common approach to use a 25 percent
20 benchmark for determining whether or not project
21 effects were of high magnitude. This 25 percent
22 benchmark measured habitat loss against existing
23 conditions, and it was also used for all birds,
24 including species at risk.

25 We considered that, and we approached

1 it with a bit more conservatism. We set a
2 20 percent habitat loss benchmark -- 20 percent
3 benchmark for habitat loss relative to existing
4 conditions. We used this for Mallard, Canada
5 Goose, Bald Eagle and most other birds. However,
6 we felt that we should be even more conservative
7 for species at risk because they are less common
8 on the landscape, and are more sensitive to
9 disturbance. So we set a 10 percent habitat loss
10 benchmark, measuring habitat loss relative to
11 existing conditions.

12 Now, I just want to point out that the
13 purpose of setting benchmarks is to alert the
14 assessor, to alert ourselves of the pressure
15 that's being exerted on the back of the species
16 that we are examining, so that if necessary, we
17 take a critical review to see if there's any other
18 project effects or influences that might
19 contributing to the pressure being exerted on our
20 VEC. It's more of an alert system, it's not
21 necessarily that once you hit your 10 percent
22 benchmark you have got a significant effect, it's
23 really just an alert system, it's a way to inform
24 ourselves to say that, hey, let's take a closer
25 look at things.

1 So now I'll just give you sort of an
2 overview of our key results and conclusions for
3 our bird VECs. So, beginning with Canada Goose,
4 breeding habitat will not be affected by this
5 project because areas that are preferred by geese
6 occur further north and further east of the
7 project area. However, the regional study area is
8 used as a stop-over site during the spring and
9 fall migration periods. It's during these times
10 that geese are very, become a very important food
11 source for the First Nations because they are out
12 on the land hunting them during these spring and
13 fall migration periods, in particular spring, as
14 the birds returning from their wintering ground
15 are apparently the best tasting. So that's an
16 important time of year for harvest.

17 Following impoundment, goose use of
18 the reservoir is anticipated to be minimal.
19 However, we anticipate that use of the reservoir
20 by geese will increase as aquatic plants begin to
21 re-establish.

22 In conclusion, the project in
23 combination with future projects is not expected
24 to affect the sustainability of Canada Goose
25 populations throughout the region and in areas

1 further north.

2 For the Mallard assessment, there's
3 two things I want to just point out or draw
4 attention to. The first one is that Mallard in
5 this region breed in the in-land lakes, creeks,
6 and wetlands. These are the areas that we see
7 Mallards rearing their broods, taking care of
8 their young. Habitats along the Nelson River
9 shoreline area are considered more marginal for
10 this species, not only just because there's
11 fluctuating water levels and marsh habitat is
12 really unpredictable in terms of the years that's
13 actually available, depending on high water
14 levels, but also because the Nelson River is a
15 river and has supported, as you know earlier, a
16 lot of fish. And Mallards tend to breed in areas
17 where there's not that many fish, because fish are
18 a key predator of ducklings.

19 The second thing I wanted to point out
20 was that during the information request period, we
21 had the opportunity to revise our Mallard
22 assessment. We had new information, more detailed
23 mapping of the Mallard aquatic habitats, so we
24 used that to update our assessment. And in order
25 to take a worst case scenario approach, we

1 included those marginal Nelson River shoreline
2 wetland areas in our assessment, and considered
3 that as part of the overall habitat lost.

4 So this updated information revealed
5 that in the EIS, we reported a 3 percent loss of
6 Mallard habitat relative to what's available
7 within the region. The revised IR indicated four
8 and a half percent, approximately 5 percent of
9 habitat affected. This change doesn't change our
10 conclusions that we described in the EIS, and that
11 is that the project, in combination with future
12 projects, is not expected to affect the
13 sustainability of Mallard populations within the
14 region.

15 Bald Eagles are probably one of the
16 most common raptors that we've seen during our
17 studies. They are highly visible and they occur
18 along the Nelson River where there's the
19 attraction to the forage, the fish forage. Bald
20 Eagles do nest along the river. There is
21 approximately six nests between Birthday Rapids
22 and Gull Rapids. The highest concentrations of
23 eagles that we see along the Nelson River happens
24 during the July, August time frame, when you get a
25 lot of the non-breeders coming into the Nelson

1 River to take advantage of the abundance of food.

2 The project is expected to increase
3 the availability of nesting and perching habitat,
4 because as we know, with the creation of the
5 reservoir, the shoreline area is going to
6 increase. We also know that with the creation of
7 the reservoir, there will be land clearing within
8 the reservoir footprint, and that some of these
9 nests will be lost as a result of clearing.

10 However, as you can see in the picture, there's
11 mitigation planned for that. Any of the nests
12 that will be lost will be placed with artificial
13 nesting platforms like the one you have seen here.
14 These have been proven to be successful. Manitoba
15 Hydro has had experience with these in the past.
16 They have put up a number of them for Osprey and
17 have had that work out really well.

18 We also expect that with the project,
19 the distribution of eagles will change in response
20 to the creation of the reservoir and the tailrace
21 area below the generating station. We would
22 expect more eagles to be concentrated in those
23 areas below the generating station.

24 In conclusion, the project is not
25 expected to affect the sustainability of regional

1 Bald Eagle populations.

2 Common Nighthawk is a species at risk.

3 It's listed as threatened under the Species at
4 Risk Act. It's a migratory bird that prefers dry
5 mineral ground with bare -- basically dry mineral
6 sites that have little vegetation. It likes to
7 nest, as you can see in the picture, just kind of
8 right in the rocks, not a lot of cover. Maybe you
9 can't see it, but it is using itself as its own
10 cover, it's got the camouflage. And that's kind
11 of its tactic to elude predators. But its
12 preference is for the dry upland sites that have
13 minimal ground cover. Quite often these areas are
14 rock outcrops, gravelly sites, areas that had been
15 recently burned. Suitable habitat for Common
16 Nighthawk is not considered limiting within the
17 region, or within the borrow region of Manitoba.
18 In fact, it's very widespread and very abundant,
19 and it's regenerated by fire.

20 So this is a map showing you the
21 distribution, and it gives you a sense of the
22 abundance of this habitat. What we're showing you
23 here in this map is where nesting habitat would
24 occur. Foraging habitat for the species is
25 widespread, and if we mapped foraging habitat, I

1 think we'd map the whole area as suitable foraging
2 habitat.

3 We are showing primary and secondary
4 nesting habitat, which is essentially primary,
5 being the most preferred, and secondary being the
6 second most preferred breeding areas. And this is
7 study zone four. I just want to mention that we
8 have mapped the habitat within zone four, but that
9 it doesn't end at that zone. It does continue and
10 extend into the surrounding regions, that there's
11 suitable habitat throughout.

12 During the construction period, there
13 will be a short-term gain in Common Nighthawk
14 habitat, and that is largely associated with the
15 land clearing that will happen within the
16 reservoir footprint.

17 Some habitat for Common Nighthawk,
18 however, will be lost due to the construction of
19 other project footprints like the roads or the
20 borrow areas.

21 Over the long-term, during operation,
22 we expect that there will be an overall loss of
23 Common Nighthawk habitat, up to about 10 percent.
24 This is considered to be the worst case scenario.
25 As habitat loss is based on zone four, which as

1 you might recall, I said was the more conservative
2 zone, that we could have used zone five but felt
3 that we'd be more sensitive to effects by using
4 the smaller regional study area, we're comparing
5 it to a 10 percent benchmark that we set in order
6 to be more sensitive to project effects. And the
7 fact is, new habitat will be created for this
8 species. New habitat will form in the
9 decommissioned borrow areas that become inactive.
10 And by considering the potential for that, we
11 could see the loss of up to 10 percent decrease to
12 the loss of just over 5 percent. It's hard to
13 estimate that at this point because we don't know
14 how many borrow areas actually will be developed,
15 but just that there's good potential for this
16 number to be offset when borrow areas become
17 decommissioned.

18 The individual Common Nighthawks that
19 will be displaced from the actively developed
20 project footprint areas will use the alternate
21 areas that are available throughout the region.
22 Habitat for this species is not a limiting factor.
23 It's not limiting the species within the region
24 and it's not limiting their more global
25 populations. And that we expect individuals will

1 relocate.

2 Overall, the project in combination
3 with future projects is not expected to affect the
4 Common Nighthawk populations.

5 Olive-sided Flycatcher is a species
6 listed as threatened. It's also a migratory
7 species. It prefers to nest in the mature spruce
8 forest that occur along forest edge. So you get
9 forest openings that are created by fire or
10 wetlands, beaver flood. Quite often these areas
11 support dead standing trees which are a very
12 important factor for Olive-sided Flycatcher, as
13 they require perches in open areas to sit on when
14 they are foraging for their flying insect food.

15 Suitable habitat for this species is
16 not limiting within the regional study area, or
17 for that matter in the greater area of the boreal
18 Manitoba.

19 Their habitat is regenerated by fire,
20 like the Common Nighthawk, and it is, and the
21 species is not using all of their available
22 habitat. That's sort of the general for all of
23 these species at risk, their populations are low,
24 there's more habitat available for them than they
25 can actually use. And based on some of our data

1 that we have collected and based on professional
2 judgment, the Olive-sided Flycatcher within this
3 region are not using all of their available
4 habitat.

5 So here is a map showing you the
6 widespread distribution of their preferred
7 breeding habitat, the primary being the most
8 preferred, and the secondary habitat being the
9 second most preferred. And again, this map is
10 really focused on where suitable nesting habitat
11 would occur. If I included foraging habitat, that
12 would definitely take up a lot more of this map.

13 In the EIS, our assessment was based
14 on the loss of primary habitat. We concluded that
15 a loss of up to 5 percent habitat could occur as a
16 result of the project. We have updated that to
17 reflect secondary habitat. Secondary habitat was
18 mapped and modelled in our recent modeling report.
19 And by including secondary habitat, which is again
20 not their preferred habitat but second most
21 preferred habitat, we come up to about 9 percent
22 habitat loss overall. This is considered the
23 worst case scenario.

24 Again, like the Common Nighthawk, we
25 are basing this loss on the smaller zone four.

1 We're comparing it to our 10 percent benchmark.
2 And it also doesn't include new habitat that may
3 be formed or created or enhanced through
4 mitigation. Some of our mitigation being
5 considered, the measures being considered include
6 putting up perching poles in some of the open
7 areas along forest edge, as perching poles, as I
8 mentioned, are a key part of the structure that's
9 required by Olive-sided Flycatcher.

10 Because our updated assessment had us
11 approaching our benchmark, we felt that we should
12 take a sensitivity analysis and have another
13 critical review to see if there's any other
14 project related factors that might be affecting
15 Olive-sided Flycatcher. So we did. We looked at
16 whether or not our project would be increasing the
17 risk of mortality. The answer to that is no.
18 We're clearing outside of the breeding period. We
19 are filling the reservoir outside of the breeding
20 period. These are factors which are going to
21 avoid any increase or any, you know, effects of
22 mortality on this species. So in the end, no
23 influential factors were identified that would
24 increase the sensitivity to the species.

25 So understanding that habitat isn't

1 limiting for the species, it's abundant, it's not
2 all being used throughout the region, considering
3 that and the amount of habitat that would be
4 affected in combination with future projects, we
5 do not expect that this project and future
6 projects would affect regional Olive-sided
7 Flycatcher populations.

8 Rusty Blackbird is another migratory
9 bird. It's listed as special concern under the
10 Species at Risk Act. It breeds in the shrubs and
11 conifers that occur along the wetland edges, feeds
12 on aquatic insects, usually aquatic insects from
13 the shallow pools that occur along creeks and in
14 some of the wetted areas.

15 Suitable habitat for this species is
16 not limiting within this region. It is widespread
17 throughout the region in boreal Manitoba. And
18 Rusty Blackbird, like the Olive-sided Flycatcher,
19 are not using all of the available habitat that is
20 out there for them.

21 This is a map showing you the
22 distribution of their habitat, primary being the
23 most important habitats and secondary being the
24 second most. Up to approximately 6 percent of
25 their breeding habitat will be affected by the

1 project. Some of this habitat will be, a loss
2 will be minimized through the retention of
3 riparian buffers along some of the inland lakes
4 and creeks. Overall, the project in combination
5 with future projects is not expected to affect the
6 regional Rusty Blackbird populations.

7 So we know that gulls and terns breed
8 on the rocky reefs at Gull Rapids. They also
9 breed in some of the areas upstream. There is a
10 number of rocky islands and reefs that are also
11 being used. Some of these areas will be lost as a
12 result of the project. We did consider and look
13 to see whether or not there would be alternate
14 suitable habitat for these birds following project
15 development. And we determined that their habitat
16 is not common in the area. The main goal is to
17 maintain these colonial waterbird populations
18 throughout construction and throughout operation.
19 And because there's some uncertainty as to whether
20 suitable habitat will form following project
21 development, or how these birds will take to even
22 just alternate more marginal areas, because
23 there's that uncertainty, we have committed to
24 providing alternate nesting habitat for these
25 birds.

1 So here's a picture of some of those
2 alternate nesting habitats. We're considering the
3 use of reef rafts for Common Terns. You can see
4 there's a reef raft with a load of common terns on
5 it. This one is taken from the Toronto harbour
6 where the Canadian Wildlife Service and the City
7 of Toronto have been involved for a number of
8 years putting out and replacing habitat for Common
9 tern, has proven to be very successful, to the
10 point where they are now considering putting in a
11 permanent island.

12 There is also in the top left-hand,
13 here, this big nesting platform. This is a large
14 nesting platform that has been put out for terns,
15 and it has proven to be successful.

16 There is also consideration of perhaps
17 enhancing existing islands with riprap or just
18 making conditions more suitable for gulls and
19 terns by island enhancements, something similar to
20 the effect of this picture to get that idea
21 across.

22 We're also considering the creation of
23 artificial islands for gulls, and there's also the
24 potential of using barges during the operation
25 phase, as barges have also proven to be very

1 successful for supporting colonial waterbirds.
2 We're confident that any of these measures, or a
3 combination of these measures will provide
4 effective habitat for gulls and terns that are
5 displaced from their traditional nesting grounds.
6 All of these measures have shown to be very
7 successful in areas throughout Canada and the
8 United States.

9 For the most part, these enhancements
10 and this level of effort is put out for Common
11 Terns or other tern species, it's actually rarely
12 ever put out for gulls, because gulls are very
13 adaptable and are good at using even marginal
14 habitats they can be successful on. However, the
15 partnership is still committed to providing for
16 these birds as well, to ensure that their
17 populations continue to be viable within the
18 region.

19 So the partnership is currently
20 working with Environment Canada to finalize the
21 details about these measures, about what will be
22 used, where we'll be implementing it. All of
23 those details will be provided in a terrestrial
24 mitigation implementation plan. We will not only
25 be including all of those details about our

1 colonial waterbird mitigation, but also for Bald
2 Eagle nesting structures, what those will look
3 like and where those will go. I didn't mention
4 it, but Mallard nesting tunnels are another
5 measure that is being considered to improve or
6 enhance Mallard nesting habitat. Olive-sided
7 Flycatcher perching poles will be included in that
8 plan, as well as wetland enhancement creation
9 planning.

10 So that gets us into monitoring for
11 amphibians and bird. We have committed to monitor
12 for both of these groups, during both the
13 construction and the operation phases. The
14 purpose of our monitoring plan is to assess the
15 effectiveness of our mitigation measures and our
16 key EIS predictions. We want to understand
17 whether or not alterations or improvements or
18 modifications are needed to any of the mitigation
19 measures that we implement.

20 Amphibians will be monitored looking
21 at their breeding activity and existing wetlands,
22 and wetlands that are formed near infrastructure.
23 We will also be looking at wetland use by
24 amphibians in some of the wetland enhancement
25 areas. We'll be monitoring changes in bird

1 abundance and distribution, looking at Bald
2 Eagles, Mallard, Canada Goose, species at risk,
3 colonial waterbirds, and other birds like grouse
4 and songbirds.

5 We will be examining the use of
6 alternate nesting habitat that we provide out
7 there for colonial waterbirds, the effectiveness
8 of the Bald Eagle and Mallard nesting structures.
9 We'll be also wanting to understand how the
10 decommissioned borrow areas are being used by
11 Common Nighthawk, and the effectiveness of our
12 perching poles if those are placed out on the
13 landscape for that species. And the effectiveness
14 of our wetland marsh enhancement areas, how are
15 they being used by birds and how effective is
16 that?

17 So that brings me to my mercury and
18 wildlife presentation which, I don't know, it's
19 3:05 I think.

20 THE CHAIRMAN: It is. I think we
21 should take a break now and come back at 3:20.

22 (Proceedings recessed at 3:05 p.m. and
23 reconvened at 3:18 p.m.)

24 THE CHAIRMAN: I would like to
25 reconvene.

1 Okay, Ms. Wyenberg, carry on.

2 MS. WYENBERG: Thank you.

3 Okay, so now we will get into an
4 overview of our mercury and wildlife assessment.
5 We already heard earlier how mercury is expected
6 to increase in the aquatic environment during
7 operation. Dr. Schneider-Vieira discussed how
8 this is going to, or could affect fish. And now I
9 will take the next 15 minutes or so to build on
10 that by explaining the implications of increased
11 methylmercury on wildlife.

12 Before I begin, I just want to point
13 out that this assessment wasn't all done by
14 myself. I can't take credit for it. Mercury in
15 mammals was conducted by Mr. Rob Berger and his
16 team at Wildlife Resource Consulting. And the
17 bird assessment was conducted by myself and my
18 team at Stantec.

19 Secondly, I'm only going to be
20 presenting how increased mercury can affect
21 wildlife, I won't be assessing how this could
22 affect human health through consumption of
23 wildlife. That's covered by the socio-economic
24 panel.

25 So I will begin by giving a brief

1 overview about methylmercury and why it is a
2 concern for wildlife, with focus on birds and
3 mammals. As well as I will give a summary of our
4 approach and how we determined existing levels in
5 animals, and how we predicted future levels in
6 animals. I will also describe how I used risk
7 assessment to understand the exposure risk for
8 some species of wildlife. We used the hazard
9 quotient analysis, and I will explain that. I
10 will get into the results and conclusions and
11 finish up with some monitoring.

12 In the earlier presentation we heard
13 about how methylmercury can bio accumulate in the
14 aquatic food chain. Now I am just going to
15 summarize it again here, because it is a complex
16 topic and some of you might have missed it.

17 Mercury is a naturally occurring
18 element in soils. When you flood soils, you
19 release this inorganic mercury into the aquatic
20 environment. Once it is in the aquatic
21 environment, it is inadvertently eaten by bacteria
22 as they are digesting organic material, through
23 their digestion they switch this inorganic mercury
24 into the methylmercury form, which is the form
25 that we are concerned about, because it can affect

1 the health and well-being of animals. Animals at
2 the bottom of the food chain eat the bacteria,
3 absorb methylmercury, and pass it on to those
4 animals that eat them.

5 As methylmercury is passed up the food
6 chain, it can bio accumulate and bio magnify. At
7 high concentrations it has the risk to affect the
8 health and reproduction of animals. Very rarely
9 is it ever lethal. More commonly the adverse
10 effects are related to a decreased ability to
11 reproduce. With the exception of birds, which can
12 remove large burdens of mercury from their bodies
13 through feather loss, for most animals it is a
14 very slow process in removing mercury from their
15 body. Fish eating wildlife that are at the top of
16 the food chain, like river otter, mink, bald eagle
17 and osprey, are the most at risk to increases in
18 methylmercury. The animals that are consuming
19 diets mainly of plants are considered to be the
20 least at risk, and that's because plants take up
21 very minute quantities of methylmercury. So the
22 animals that would be experiencing minimal risk
23 from increases would include beaver, moose,
24 caribou, and Canada Goose.

25 We did an extensive review of

1 literature in order to assess and understand the
2 potential risks or affects of mercury exposure in
3 birds and mammals.

4 Background or existing levels of
5 methylmercury in wildlife was estimated using a
6 number of approaches. For some species the levels
7 were based on information that we got from the
8 scientific literature. Canada Goose would be an
9 example.

10 For birds, the existing levels were
11 estimated using the levels that were reported in
12 the fish flesh that was sampled from fish taken at
13 Gull Lake and Stephens Lake. Fish data was
14 therefore used as an indicator or proxy for the
15 levels in birds.

16 Baseline data was collected from
17 mammals to estimate background or existing levels.
18 Predicted levels of methylmercury in wildlife was
19 estimated using the modelled predictions in fish,
20 we heard about that from Dr. Schneider-Vieira's
21 presentation earlier. Those modelled estimates
22 will be used as a proxy or indication of the
23 levels that would be in birds. We used historic
24 and recent data from nearby reservoirs to predict
25 the levels that we expect to see, or could see in

1 some of the mammal species. We also ran a
2 screening level analysis to determine the risk of
3 top predator fish eating species to elevated
4 levels of methylmercury. So for Bald Eagle,
5 osprey, river otter and mink, we used a hazard
6 quotient analysis, which I will describe in a bit
7 more detail momentarily.

8 So our review of the literature
9 identified some research that indicated
10 similarities between mercury levels in fish and
11 mercury levels in birds that were eating similar
12 diets. They are eating the same foods, they are
13 foraging in the same areas, the mercury levels
14 were very comparable.

15 So it was suggested that the local
16 fish would be a much better indicator of the
17 levels in birds than trying to use levels of
18 mercury reported in birds from other areas. And
19 this is largely due to the fact that methylmercury
20 levels can be highly variable from one area to the
21 next, due to just even differences in geology
22 alone.

23 Existing levels in birds were
24 therefore based on mercury levels measured in the
25 fish sampled at Gull Lake and Stephens Lake. Lake

1 whitefish, for example, eat a variable diet, and
2 let me be specific, mature lake whitefish eat a
3 variable diet, including small fish, aquatic
4 insects, insect larvae and snails. Levels in lake
5 whitefish were used to estimate the levels in some
6 of the waterfowl species that eat similar foods,
7 common golden eye, for example, and white-wing
8 scoter, those are two waterfowl species that eat
9 almost the same foods.

10 For species like mallard, we would
11 expect the levels to be less than that reported in
12 lake whitefish because mallard are eating a diet
13 consisting more of the plant and insect based
14 foods that are at the lower end of the food chain.

15 For fish-eating birds, we used pike
16 and walleye to get an understanding of what the
17 potential levels would be in the bird tissue
18 because they are eating similar diets. And of
19 course, for birds that are eating pike and
20 walleye, like Bald Eagle and osprey, we would
21 expect that levels would be slightly elevated or
22 higher than those reported for pike and walleye,
23 because of the bio accumulative factor from one
24 trophic level to the next.

25 Post impoundment levels in birds were

1 predicted using the modelled estimates for
2 methylmercury in reservoir fish and Stephens Lake
3 fish.

4 For mammals, existing levels of
5 mercury, methylmercury was based on information
6 from the scientific literature, but also from the
7 baseline data that was recently gathered by the
8 Keeyask Cree Nation Partners. The KCNs were
9 involved in the development of a study design that
10 involved the collection of tissue samples from
11 beaver, muskrat, mink, otter, moose and caribou.
12 Moose and caribou were included in this because of
13 concerns for human health regarding the
14 consumption of these foods. Samples were gathered
15 along the Nelson River, but also in comparative
16 areas that occurred extensively throughout the
17 inland region.

18 Post impoundment levels for beaver,
19 muskrat, mink and otter were estimated using
20 historical information from other reservoirs, such
21 as Southern Indian Lake, and from more recent data
22 that was gathered from nearby reservoirs like the
23 Stephens Lake area.

24 So one way to characterize the risk of
25 increased mercury exposure to wildlife is to

1 conduct a hazard quotient analysis, which involves
2 looking at the ratio between the average
3 concentration of mercury ingested to a known
4 concentration where adverse effects could occur.
5 This risk characterization was developed by the
6 U.S. Environmental Protection Agency, and it has
7 been used by other impact assessors to evaluate or
8 assess the potential effects of mercury on
9 wildlife. The analysis gives a general sense if
10 the population is vulnerable to a toxic element.

11 The result of the analysis is compared
12 to a benchmark of one. So if your result by
13 looking at your ratio of what is being ingested to
14 what could cause an effect, if you look at results
15 of that and compare it to one, if it is less than
16 one, then there is low or no potential for adverse
17 effects on the exposed population. If your value
18 is greater than one, it is an alert, it's an
19 indication that there is a potential for adverse
20 effects on the exposed population and that more
21 study is warranted.

22 We ran the analysis for bald eagle,
23 osprey, river otter and mink, our four indicator
24 species that are considered to be most at risk to
25 potential adverse effects due to mercury bio

1 accumulation through the consumption of fish. We
2 ran this analysis for osprey, even though osprey
3 are not considered common within the Keeyask
4 regional study area.

5 The analysis was based on a worst case
6 scenario. There were some big assumptions in
7 that, for one, we are assuming that all of the
8 species are eating all of their fish from the
9 Keeyask reservoir or Stephens Lake, and we know
10 these species are wide ranging, they are using a
11 variety of habitats, they are not going to be
12 exclusively only foraging from the reservoir.
13 However, we assumed that they were, and we assumed
14 that the fish they are eating contained the
15 highest modelled methylmercury levels.
16 Dr. Schneider-Vieria showed that there is a number
17 of model outputs. We used the highest outputs
18 from those models to run this assessment.

19 So the results and conclusions for
20 birds indicate that there will be minimal exposure
21 for birds during the operation phase, and that's
22 largely due to the fact that use of the reservoir
23 by birds will be minimal, and as well for Stephens
24 Lake. So the exposure, the amount and number of
25 birds feeding off methylmercury, foods containing

1 methylmercury would be low.

2 Levels in Canada Geese are not
3 expected to change, and that's because Canada
4 Geese are plant eaters and plants take up very
5 small quantities of mercury. Levels that are
6 predicted in mallard are well below the levels
7 shown to affect reproduction. And for bald eagle
8 and osprey, our hazard quotient analysis came out
9 under one, which indicates minimal risk for
10 adverse effects on these populations. We know
11 that methylmercury levels will increase, but it is
12 not expected to affect the population.

13 And for gulls and terns, gulls eat a
14 varied diet, they are very opportunistic, eating a
15 variable food source, including some small fish.
16 The effects are expected to be negligible because
17 of this. And as well as for terns, mainly because
18 they are eating the small fish.

19 In conclusion, there is no measurable
20 adverse effect expected on the health of the
21 regional bird populations.

22 For mammals, background methylmercury
23 levels for the plant eating species are not
24 expected to change, so things will stay the same
25 for beaver and moose and caribou. Background

1 levels will increase for river otter and mink.
2 However, the hazard quotient analysis indicated
3 that there is a low potential for adverse effects.
4 The result of our analysis was less than the
5 benchmark of one. However, there is potential for
6 localized adverse effects on some individual otter
7 that forage exclusively within the reservoir of
8 Stephens Lake.

9 That said, the overall conclusion is
10 that there is no measurable effects on the health
11 of the regional mammal populations.

12 Part of our mercury and wildlife
13 monitoring plans include the monitoring of bird
14 populations, or the abundance and distribution of
15 birds and mammal, including bald eagle, osprey,
16 waterfowl, other water birds, otter, mink, muskrat
17 and beaver.

18 Methylmercury levels in fish will be
19 monitored and those will provide a good indication
20 of the levels in birds. Monitoring of mercury
21 levels in wild game samples will occur on a
22 voluntary basis, and they will be provided by the
23 local resource users.

24 Thank you.

25 THE CHAIRMAN: Thank you,

1 Ms. Wyenberg. Mr. Berger?

2 MR. BERGER: If we can take a moment
3 while I can shuffle around?

4 THE CHAIRMAN: Certainly.

5 While this shuffling is going on, I
6 would just like to point out, or note to the
7 participants as they are preparing for
8 cross-examination, there are three distinct
9 presentations here with different page numbering.
10 So when you come up to ask your questions
11 tomorrow, please be clear as to which, either
12 which panel or which presentation you are
13 referring to so that it is relatively easier for
14 them to find the proper slides to show.

15 MR. BERGER: I just need another
16 moment to set up the presentation.

17 Good afternoon Mr. Chairman and
18 Commissioners, participants, and members of the
19 public. My name is Robert Berger, as Dr. Ehnes
20 had introduced me, and I'm here to present an
21 overview on the materials concerning the effects
22 to mammals with respect to the Keeyask Generation
23 project.

24 Just sorting out the bugs.

25 I will begin the presentation this

1 afternoon with reiterating some of the things that
2 Dr. Ehnes said about an ecosystem approach which
3 also included the mammals. And I will then
4 briefly review the valued environmental
5 components, and the selections, study areas and
6 field studies, and I won't spend too much time on
7 that. But then I will move on to discussing the
8 effects predominantly on caribou and moose, and a
9 brief overview of the monitoring program. With
10 time constraints, the presentation I think will
11 mainly focus on caribou and moose, but I would be
12 happy to answer any questions that the Commission
13 and the participants have on any of the species in
14 the area.

15 Now, as Dr. Ehnes described earlier,
16 the approach to mammals was an ecosystem based
17 approach. So when we start, we ask ourselves two
18 key questions. You may have heard these key
19 questions before, Dr. Schneider-Vieira also used
20 them in her fish presentation, is how do we
21 approach an assessment and how do we determine
22 what to study?

23 You have all seen this diagram before
24 and I'm sure you are very familiar with it. So
25 the ecosystem based approach follows those

1 pathways that include connections to the
2 environment. The measures of these connections
3 consider things from habitat such as food cover,
4 space, which the Keeyask area provides for up to
5 about 40 or so mammal species in the study area.

6 Now, the linkages amongst the
7 environmental components are often complex, and
8 changes in some of these elements can actually
9 affect more than just a single species. So here,
10 for example, I will find my pointer, let's follow
11 this particular pathway with moose browse, and
12 let's say this is a pile of willow, and here is
13 the moose and this is the food web and, of course,
14 the moose is browsing on the willow. And its
15 energy is taken up, it grows. And of course, if
16 you follow this pathway, there is it's primary
17 predator, which is a wolf. We also consider
18 secondary linkages and pathways, because once
19 moose and wolves are in the system, then of course
20 you get some pressure on caribou, which is the
21 well known connection that we know.

22 However, we can't study everything
23 when we do an environmental assessment. And often
24 we tend to measure changes by looking at what we
25 classified as the most influential drivers that

1 affect a population.

2 And of course, when we start these
3 types of considerations, we have to think about
4 how the environment will be changed by the
5 project. And we get this information from the
6 project description and from the physical
7 environment. And of course, here we can see our
8 Keeyask dam. And we see the new road that goes
9 through the area to Gillam. And of course, you
10 know, there is things like construction and
11 operations. So how do these pathways affect the
12 most influential drivers?

13 Now, the most influential drivers that
14 we used, and that were the pathways essentially
15 that influenced populations the most, were studied
16 and measured as part of the environmental
17 assessment. And those included key things here
18 that you see, like habitat, predators, harvest,
19 human features and disturbance, which is the
20 well-established linkage to fragmentation effects
21 that we know so well, and we hear a lot about.

22 As Dr. Ehnes described earlier, here
23 is fire, which is that example of the natural
24 disturbance regime that's driving the boreal
25 forest. It is the predominant driver, and fire is

1 often, and was considered in the mammals effects
2 assessment.

3 So for moose, for example, they prefer
4 those younger habitats. And of course with
5 caribou, they usually require those older
6 habitats.

7 Now, at one point I would like to make
8 out that here on the map that is being
9 demonstrated, which was the same map that
10 Dr. Ehnes used, here we see the burn categories
11 from 1953 up to today. And at this scale, it
12 appears coarse and there is a lot of the area that
13 is certainly burned in the Keeyask region. But if
14 you look at it at a finer scale, maybe such as the
15 stand or the site level, the burns, the burns at
16 that scale can be less, and here is why. And
17 there are such things in the boreal forest called
18 skips, which are areas that don't burn at all. So
19 there are, there is habitat left in the landscape,
20 but at a finer scale. And here you can see the
21 green areas left over, and often they are wet
22 areas such as this one. Some of these wet areas
23 that I can describe later are well connected to
24 caribou. So sometimes they are left untouched.
25 There is a lot of factors, of course, that affect

1 this skip distribution, such as the fire
2 intensity, soil, moisture, precipitation, et
3 cetera.

4 Moving on to the valued environmental
5 components. So the valued environmental
6 components selected for the project are caribou,
7 moose and beaver. And generally the main
8 supporting topics was the effects of mercury, but
9 as part of this process we also described priority
10 mammal groups, including small animals, fur
11 bearers, large carnivores. But moving back and
12 taking a step back to caribou, it was selected
13 because there is certainly a potential for
14 substantial project effects. They are important
15 to people, it was emphasized whoever I spoke to.
16 The availability of suitable information
17 influenced the selection of the VEC. And of
18 course, there is regulatory concerns with caribou.
19 But in principle, they can also be used to
20 represent other species that require mature
21 coniferous forest environments, or older aged
22 environments. And certainly we do know that they
23 are sensitive to fragmentation.

24 Now, moose were selected for the
25 similar reasons, they are important to people,

1 information availability, and so on. It is more
2 of a generalist than caribou, it uses a lot of
3 different habitat types. And it is very well
4 associated with forest, and burns in particular.
5 Of course, they love wetlands and riparian habitat
6 as well.

7 For beaver, it is similar for
8 selection reasons but, you know, beaver is also a
9 keystone species, it creates habitat and
10 environment for other species. And hence there is
11 a connection and a value to beaver for flooding
12 where other species can use it. But it also needs
13 water and it prefers the deciduous forest and
14 willow.

15 Now, you've also seen this map before.
16 The mammal study areas usually corresponded to the
17 ecosystem based approach. Now each zone that was
18 selected for a particular species was selected
19 because it was large enough to sustain a
20 population in the order of hundreds of animals,
21 which was discussed in the EIS. And it provided
22 context also for a minimum viable population size.

23 Now, just as a quick reference, and I
24 would like you to remember for later on in this
25 presentation, the local study area for moose and

1 caribou was this yellow region here, which is zone
2 four. And zone five in green, which extends all
3 the way to Thompson, that was the regional study
4 area for moose. It was also selected as the
5 regional study area for a potential or
6 hypothetical boreal woodland caribou population.
7 And zone six in the purple was used for all
8 caribou.

9 Now, there were additional study areas
10 that were selected for the Environmental Impact
11 Statement. Mammals for wide ranging species are
12 not necessarily limited to ecosystem boundaries,
13 they do cross boundaries. But, for example, for
14 the adverse effects agreement, which has the
15 offsetting programs, which are distributed
16 throughout the Split Lake resource management
17 area, and you can see the pink outline on the map
18 which is the Split Lake RMA, just to get
19 yourselves oriented. And here is the study zone
20 five, which is the regional boundary for the moose
21 population. But some of the studies, of course,
22 were conducted beyond the regional study area to
23 provide context or to provide context for future
24 management considerations.

25 Now, the existing information that we

1 used, as noted in the EIS and the supporting
2 documentation and in some of the information
3 requests that came through, was captured by
4 publications, there was limited aerial surveys
5 that were historic or considered to be historic,
6 but we really relied on the Aboriginal traditional
7 knowledge that were offered by our project
8 partners.

9 Other information included local
10 knowledge, and some of that information came from
11 the mammals working group. Other data included
12 consideration of a caribou radio collaring from
13 Manitoba Conservation and Water Stewardship. Now,
14 I didn't use a lot of that in the EIS, but I
15 certainly had considered that information. I had
16 draft access to that information, so certainly did
17 consider and write about it in the EIS, and used
18 it to improve the request for information
19 responses, to give you proper context about what
20 we know about this general area.

21 I won't go through this in detail, but
22 we looked at a number of species using a variety
23 of scientific techniques. Moose and caribou
24 studies ranged from ungulate surveys to
25 specialized habitat surveys, and we used genetic

1 studies as well.

2 Now, we've arrived at the main part of
3 the presentation. And as a reminder, we are going
4 to look at the two focal species of interest,
5 including caribou and moose. And first we will
6 talk about caribou.

7 Now, before discussing the
8 environmental effects, this particular subject
9 matter can be complex, since caribou behaviour and
10 range are often used to define populations. So
11 I'm going to give you a little bit of background
12 and refresher on the types of animals found in the
13 region before proceeding.

14 Now, the Keeyask region is a mixing
15 area for several populations. We do have boreal
16 woodland caribou, which is defined by the
17 Provincial and Federal Governments as a threatened
18 species at risk. We also have the forest tundra
19 eco-types defined by the Federal Government in
20 that manner, which the Province calls coastal
21 caribou. And if we call them coastal caribou,
22 there are two groups that are generally named
23 after where they calve, and that's the Pen Islands
24 coastal and the Cape Churchill animals. Finally
25 we have barren ground caribou, Beverly

1 Qamanirjuaq, which I will reduce to Qamanirjuaq.

2 We have created a table to help
3 describe some of the similarities and differences
4 amongst the caribou types in the region. So on
5 this top you will see, here is boreal woodland the
6 coastal, the barren ground, and some of the
7 context down this column. I will talk about
8 migration distances and range behaviour, calving
9 behaviour, a little bit about genetics.

10 And to start, for boreal woodland
11 caribou, migration distances in general and for
12 most populations, especially if we consider more
13 southern populations, they are in the order of
14 hundreds of kilometres. So we will call that
15 migration distance short. Whereas the barren
16 ground and the coastal caribou tend to have longer
17 migration distances in the order of usually
18 hundreds to thousands of kilometres. Similarly,
19 range size is in the order of thousands of square
20 kilometres for boreal woodland caribou, there are
21 exceptions, whereas the coastal and barren ground
22 caribou are generally in the order of tens of
23 thousands of square kilometres.

24 Another major difference is calving
25 behaviour. So when we look at the boreal woodland

1 caribou, they calve solitary, and I will talk
2 about that later, whereas the coastal caribou as
3 defined usually calve en masse, which simply means
4 that they calve together in large groups. They
5 kind of walk in the tundra area, they walk and
6 they drop their calves in very large groups, and
7 then they just keep on walking, whereas the boreal
8 woodland caribou tend to stay in one spot. And
9 there are different behaviour strategies to try
10 and minimize predation risks. And also, sorry,
11 the barren ground caribou calve en masse.

12 Genetically, and what we know so far,
13 and there is always continued research on
14 genetics, is the most similar types that we know,
15 the boreal woodland caribou are genetically
16 similar to the coastal caribou, whereas the barren
17 ground caribou are less similar.

18 Now, here is an exception and a
19 confounding factor, when all of these animals get
20 together and mix in a region, that's this little
21 red dot here, where some of the coastal animals,
22 where some of the -- either two things can happen,
23 some of the woodland caribou types, the more
24 sedentary types can actually get swallowed up by a
25 bigger population that comes through, like the

1 traditional Pen Islands coastal animals, and
2 disappear. There is also that behavioral
3 possibility of animals coming back and calving in
4 a solitary manner. So there is some confounding
5 factors to consider when we look at the Keeyask
6 region.

7 Now, this is to deal with the
8 complexity of behaviour and the range changes over
9 time. In the EIS we identified the fourth
10 grouping of caribou called summer resident
11 caribou. This was the precautionary approach that
12 basically bridges the gap between what we
13 understand to be regulatory for the system, and
14 what the Aboriginal traditional knowledge says,
15 and what science is saying. And by definition, we
16 call the summer resident group, it can either be
17 woodland, coastal, or both, as a precautionary
18 measure when we looked at the EIS.

19 Now, given the unknowns could not be
20 resolved over the research period, this approach
21 looks at the groupings of animals from different
22 perspectives to give you a better context for what
23 is happening in that region. And we want to
24 ensure that no inappropriate assumptions are made
25 about the caribou.

1 On this map, which you haven't seen
2 before, there are four, here are the four ranges.
3 The bright orange up on top is the Qamanirjuaq
4 animals coming down. This is about as far as they
5 come, but they also have a tendency that they
6 could push further, infrequently, and that's the
7 orange colour. In the hatched over here we have
8 the Cape Churchill coastal caribou. They don't
9 usually come into the regional study area, which
10 is bounded by this gray line, and the regional
11 study area being zone six, but they have the
12 possibility of pushing into, or closer to the
13 Keeyask project.

14 Here in green, the most common types,
15 we will have the Pen Islands coastal caribou. And
16 here is the delimited distance used for the
17 northeastern part of the regulated boreal caribou
18 range, so it just comes into zones five and six.

19 Now, the key points -- and of course
20 these ranges, all of them, extend way off the map,
21 and that's one thing that you do have to keep in
22 mind. They are not just restricted to this map.
23 And they are mixing. This is probably one of the
24 more complex areas in Manitoba that we, in fact,
25 can consider, because the animals are mixing.

1 In the following slides I will give
2 you very brief discussion of the four populations
3 in turn, and then I will be providing you with
4 more details about the summer resident caribou.

5 Now, this map shows the threatened
6 boreal woodland caribou range in the southwestern
7 fringe of our study area. Here you see zone five
8 which is used for that, the hypothetical boreal
9 woodland caribou range, which I will talk about in
10 a little bit. Here is the caribou zone six, and
11 the known boreal woodland caribou ranges that are
12 recognized currently by Environment Canada and by
13 the Province of Manitoba are the Wapisu range, and
14 that is in the hatched purple area over here, so
15 it occurs west of Thompson. And it can even get
16 maybe a little more complicated than that once you
17 start putting collars on animals, there is range
18 splitting. In Bipole, for example, they talked
19 about the Harding Lake population, and it was
20 regrouped, this lower part into the Wimipedi
21 Wapisu range. So as soon as you start putting on
22 a lot of collars, you get a lot of complex
23 changes. But you have got to remember, when you
24 put collars on animals, you keep them on long
25 enough, that range will change over time, and it

1 will often be reflected within the larger range of
2 a stable eco-region. So, certainly there are
3 several ways of looking at and assessing the
4 potential effects on caribou and all of the other
5 animals that we did in this environmental
6 assessment.

7 This green line here is from I believe
8 Environment Canada's north/east range extension.
9 This blue line, I will call it an uncollared
10 boreal woodland caribou range, and that's called
11 Manitoba North by Environment Canada.

12 In the Wapisi herd, we have got about
13 125 animals. They are listed as threatened by
14 SARA and MESA, and they are considered
15 self-sustaining. The Manitoba North has an
16 unknown number. They also have a very large range
17 currently.

18 So for the boreal, the true regulated
19 boreal woodland caribou assessment, what we
20 anticipated and what I clarified in the
21 information requests is what we are really looking
22 at is an increased traffic through the Thompson
23 area. That's the connection. So, you know, there
24 is certainly a possibility of potential caribou
25 vehicle collisions, which I also provided further

1 context for, but any connecting traffic that may
2 be coming through Winnipeg and going through the
3 Wapisu range, that's the limit of what the impact
4 is on the actual regulated boreal woodland
5 caribou. And we can not discern what those types
6 of effects can be.

7 When we try and we take a look at some
8 of the benchmarks in the literature, you know, we
9 look at intactness, predators and habitat loss,
10 and at that scale, for just a little bit of
11 increased traffic, which I believe is about two
12 vehicles per hour during the peak construction
13 period. You won't be able to discern an effect
14 with that.

15 So for the regulated boreal woodland
16 caribou assessment, there is no adverse effects on
17 the population.

18 Now, moving in that counter clockwise
19 direction, moving from Thompson and now moving
20 north, we are going to talk just a bit about
21 barren ground caribou.

22 Now, historically, these animals in
23 the Keeyask region, and especially based on the
24 Aboriginal traditional knowledge, were frequently
25 found up to Split Lake, and south on occasion of

1 Split Lake, up until about the 1950s, did coincide
2 with hydroelectric development. And they have
3 disappeared for some time. And in the last 12
4 years, the substantial numbers, of which there are
5 upwards of 348,000 in what they are describing,
6 that's the population, only about 10,000 of those
7 animals actually get near the Keeyask area. So
8 that's the general context of what we do, we look
9 at, when we are looking at the barren ground
10 caribou.

11 They arrived once on the north side of
12 the river. I had the pleasure to see them from a
13 vehicle on highway 280, and there were a lot of
14 caribou. The numbers estimated by photographic
15 counts on the calving grounds near Thelon game
16 sanctuary were estimated to be in the
17 neighbourhood of 348,000 at that time.

18 Now, for the barren ground caribou
19 assessment, historically -- looking at the
20 population as a whole, habitat loss is generally
21 just a tiny fraction of the entire range. It is
22 much, much less than one per cent, of course. But
23 looking at it more critically, when they do come
24 into our area, the winter habitat loss for the
25 barren ground caribou would be described, and that

1 would be physical habitat loss only, would be less
2 than 1 per cent.

3 Now, if the animals do arrive during
4 construction, or if they happen to arrive during
5 construction, there may be expected local altered
6 movements with the disturbances, with the people,
7 the machinery, the blasting. You could expect
8 potential effects if there is increased access
9 like occasional harvest. So this is the type of
10 thing that you can expect, if the barren ground
11 caribou do arrive.

12 Now, the Cape Churchill animals, if
13 you will, now we are continuing clockwise, is in
14 the northeastern portion of the study area. And
15 their distribution is really limited winter use
16 possibly of the Keeyask region. We had
17 hypothesized earlier on, and we have been working
18 at this since 2001, that maybe the Cape Churchill
19 animals do come into the study area. With radio
20 collaring, as you can see on this map, and this is
21 directly from the Bipole product, here you can see
22 the Hudson Bay, Nelson River down over here. And
23 then of course once you get the collars on the
24 animals, I believe this map was from about 20
25 collared animals between 2010 and 2011, so each

1 one of these dots is a fix. And if you put a
2 boundary around all of these dots, you can
3 basically see the range extent, and that range
4 extent actually agrees very closely with the map
5 that we had incorporated into the Environmental
6 Impact Statement.

7 Now, their abundance is increasing
8 since about the 1960s. There is estimated to be
9 about 3,500 animals to 5,000 animals today.
10 Cumulatively, there is only overlap with region
11 six. So the effects may be limited to some
12 harvest by workers that may come into the area,
13 and if they do go north, may encounter them. Of
14 course, there is a limited number of licences that
15 are associated with the Cape Churchill herd, I
16 think there is 10 licences, but you can question
17 the socio-economic folks in the next panel.

18 And of course, no adverse effect as a
19 result is certainly expected with these numbers
20 and animals, and potential harvest associated with
21 the Keeyask project.

22 Now, Pen Islands animals are
23 definitely the ones that are in the main areas of
24 interest. They are the most common group. Their
25 range occurs from Ontario to Manitoba, and they

1 occur in summer and in winter.

2 Now, traditionally this is the group
3 of animals that calve en masse along the Hudson
4 Bay coastline. But there have been recent
5 discussions in the literature including, Thompson
6 and Abrams, about these animals moving inland,
7 away from the coast.

8 Similarly, here you can see numbers of
9 fixes with radio collared animals, what their
10 general distribution is. Some of the animals
11 cross the Nelson River, very few, but some
12 definitely do, and they come into our area of
13 interest. And I don't know if you can see very
14 well, but where my cursor is, that's where
15 Stephens Lake is. And that would give you some
16 context of where these collared animals are
17 actually ending up.

18 The Pen Islands caribou population
19 trends that we know of from western science, and
20 that's since 1979, have increased from about 2,300
21 animals, and of the photographic counts that they
22 had just last year, there were 16,600 animals. So
23 the trends are increasing.

24 In the study area itself there is a
25 large variation in numbers that we have witnessed

1 between -- since I first hit the ground running in
2 2001, even to this year, and we even had a
3 supplementary filing. So we have measured the
4 variation of the Pen Islands animals that have
5 come into the area from zero in winter to about
6 14,000 animals this past February.

7 Now, as indicated, and similarly for
8 the barren ground caribou, the potential project
9 effects with spatial and temporal overlaps with
10 the project, there are during construction and
11 operation, and that's what is discussed, with
12 physical habitat losses and effective winter
13 habitat losses, we are looking at less than one
14 per cent of the region.

15 Now, similarly, we have to consider
16 altered movements during the construction with the
17 noises and the people and the machinery. And if
18 access, of course, is increased, and that's with
19 the addition of the road, as we are familiar with,
20 through from Gillam, crossing the dam and
21 connecting with the Keeyask infrastructure
22 project, or north access road, in that area there
23 is certainly going to be now a drivable area
24 between -- connecting highway 280, which I would
25 consider increased access. However, there is an

1 existing trail system there, and certainly people
2 are using that trail now to access their
3 traditional lands, and to practice and harvest
4 animals. But there is increased access as soon as
5 you put in that road and it is drivable.

6 Finally, as you may recall, is this
7 summer resident grouping, and it's defined
8 basically as woodland caribou, coastal caribou or
9 both. Now, what is common to both of these
10 animals is that they occur in summer, at least
11 with respect to the collared Pen Islands coastal
12 animals, and that these animals calve by
13 themselves, at least for now. That's what we know
14 about their behaviour.

15 Now, if we think about what potential
16 size is for summer residents, there would be about
17 20 to 50 animals in the local study area. I
18 believe that the Fox Lake environmental evaluation
19 report also suggests 50 animals. I'm a little
20 unclear as to what the area of reference to that
21 is, but they are saying 50 animals. But if you
22 start looking at the region and what there might
23 be for the potential for more animals, I believe
24 it would go up to 73 to 150, at least if we
25 consider zone five.

1 Now, for assessment purposes, when we
2 are considering summer residents as a woodland
3 caribou population in zone five, I think that zone
4 five, as is suggested in the literature, you want
5 to keep that range smaller. So definitely it is
6 smaller than what was selected for the regional
7 assessment for all caribou in zone six. And what
8 we have to consider also is that for the Pen
9 Islands caribou, with some of the potential
10 behavioral changes that may be occurring, their
11 zone moves outside and east of our extended study
12 area.

13 Now, for what the caribou use and what
14 is common to the animals in the region are these
15 nice photos that I was able to find, and these are
16 what is important for the calving and rearing.
17 Many islands are used, and the numbers do tend to
18 vary. We have a range of about 10 to 50 per cent
19 over the years of study, but we also have to
20 remember that peat land complexes are important
21 for calving. So here at the bottom photo we are
22 seeing an island in the lake. And you can imagine
23 that caribou move out, either they can move out
24 ice on or ice off, it is cutting it close, but
25 that's when they go. And they will end up on this

1 island and they are protected from predators. If
2 you envision a peat land complex such as this as
3 being that island in the lower picture, it is
4 surrounded by this really wet peat land, and you
5 can imagine this almost being water, you can even
6 see bits of water here. That also affords the
7 protection to the caribou, affords protection to
8 caribou because it protects them from predators
9 and the wolves that may cross from dryer areas
10 such as this to try and get them. So that's what
11 this complex is, a number of islands within a
12 large area that is surrounded by really, really
13 wet.

14 This map is in the Environmental
15 Impact Statement. Calving habitat distribution,
16 there certainly are fewer islands overall in
17 region five. There is a lot more peat land
18 complexes in regions five and six, they extend
19 well off in the eco region. And when there was
20 actually a net increase of the island habitat that
21 was formed by Stephens Lake when Kettle Generating
22 Station was formed, of about 10 square kilometres.
23 Now, that does not account for the peat land
24 complexes that may have been flooded, but in terms
25 of island suitability, the number of islands,

1 actually the total number of islands went down.
2 And the area of the islands went up by about 10
3 square kilometres.

4 Stephens Lake was used as the proxy
5 for understanding what is going to be considered
6 when the Keeyask reservoir floods. It is a
7 project when the project goes ahead.

8 Now, this is what it looks like, the
9 caribou islands post reservoir. This is a map
10 that you have also seen in the Environmental
11 Impact Statement, just coloured a little bit
12 different. I wanted to pop the colours a little
13 bit. Here in green, these are the islands that
14 are created by the reservoir. The orange colour,
15 that's the flooded portion of what are the
16 existing islands. And the impoundment period of
17 reservoir at year 30 is represented by the dark
18 blue.

19 There will end up being more islands
20 in total, they are probably going to be slightly
21 smaller than average size.

22 Now, based on what occurred at
23 Stephens Lake reservoir, it is likely that the
24 islands, as shown in green, are in fact going to
25 be used by caribou. Here is Caribou Island, its

1 core area does get reduced. However, it is still
2 going to be a substantial sized island, and it is
3 highly likely going to be used by caribou into the
4 future.

5 Now, here is an example of how peat
6 land calving habitat is used relative to other
7 generating stations. I just wanted to touch on
8 this. When we did our tracking studies, where we
9 were working with our First Nations, we were
10 working with our partners, and we would go out to
11 these spots which are really, really wet. We
12 would wade through the water at times up to our
13 chest to get on some of these calving islands, and
14 we would be doing tracking studies, and we would
15 get a lot of caribou use on these brown coloured
16 islands within this peat land complex.

17 Here is one just north of Long Spruce,
18 and for illustrative purposes, we grabbed one of
19 the collared animals that Conservation has
20 information on, and Manitoba Hydro has information
21 on. Just for demonstration purposes, in spring
22 2011, if you can see my cursor down here, it
23 started off south between the -- into the Long
24 Spruce reservoir, and it travelled along, crossed
25 the highway, crossed another complex, crossed the

1 Limestone reservoir, crossed the highway, and
2 ended up in one of these peat land complexes
3 between the highway and the existing railway
4 tracks, and spent about two months where it
5 calved. Then it moved off towards the northwest.

6 Now, what will be some of the key
7 effects of the project for the summer resident
8 caribou? Island habitat is expected to develop
9 and be used by caribou, based on our understanding
10 of how the Stephens Lake reservoir is, in fact,
11 used today by caribou. But there will be a small
12 loss of that caribou habitat in total, both in
13 terms of islands and with peat land complexes
14 extending, including future projects. A few large
15 core areas are going to get smaller, but they
16 should be large enough to support calving.
17 Construction disturbances with people and
18 machinery, that will result in the effective
19 habitat loss, but these disturbances are expected
20 to decrease during the operation period. And as
21 James described, before I get to the benchmarks to
22 reiterate, linear feature density will not change,
23 but highway access, as I already described, will
24 increase.

25 Wherever possible mitigation measures

1 were recommended to minimize all of the potential
2 aspects of the project related effects. Here is
3 just a list of mitigation measures embedded, which
4 ranged from the project planning process, notably
5 the first two points, right down to what James --
6 Dr. Ehnes described using fire prevention methods
7 to minimize the potential habitat loss.

8 So for the caribou assessment and
9 interactions with future projects, we did consider
10 Keeyask, Bipole -- sorry, Keeyask transmission,
11 Bipole, Gillam redevelopment, Conawapa, and as
12 context some of the caribou populations are
13 increasing or potentially decreasing. The Pen
14 Islands coastal animals have been increasing over
15 the past 40 years -- my apologies, the Beverly
16 Qamanirjuaq animals have been highly variable, but
17 they have potential decline over time, but they
18 are still very plentiful. There have been
19 historic changes to range and number of animals
20 overlapping Keeyask, and there is some uncertainty
21 regarding the population designations that I have
22 described. But regardless however the caribou are
23 grouped, the benchmarks used for the effects
24 assessment include island and winter habitat, wolf
25 density, linear features and intactness, which I

1 will outline next.

2 Now, just in terms of orienting you to
3 this particular figure titled Loss of Islands and
4 Peat Land Complexes for Caribou Calving and
5 rearing, here on the left, and you will see
6 variations on what this number is. This is in
7 hectares, along the bottom, starting off with
8 existing cumulative effects. And in the middle
9 you will see plus Keeyask. On the right you will
10 see Keeyask, and existing and future projects. On
11 the right you are going to see the benchmarks
12 used, low, moderate, high, less than one, one to
13 ten, ten. Those will change throughout the slides
14 that I'm about to show you.

15 So here for example, the loss of the
16 calving and rearing habitat in the region is
17 expected to be much smaller than one per cent of
18 the habitat cumulatively over time, and falls into
19 that low benchmark range.

20 Here for the caribou winter habitat,
21 the potential loss of physical winter habitat,
22 that mature coniferous forest, and we are just
23 talking physical habitat loss, is about in the one
24 per cent range in zone five, and less than one per
25 cent for our caribou regional study area.

1 For wolf density, and remember it is
2 the important association between what could
3 happen and has the potential to substantively
4 affect caribou populations, the first thing I
5 would like to note is that these benchmarks are
6 reversed, so now we are going now from low to
7 high, bottom to top. And we established our
8 benchmark at four wolves per thousand square
9 kilometres. And we believe that the wolf
10 densities throughout are not expected to change
11 because they are predominantly limited by what is
12 available in terms of the moose biomass.

13 And part of that discussion that
14 Dr. Brian Knudsen produced is located in the
15 technical report, the moose harvest sustainability
16 plan and the technical report.

17 The Split Lake resource management
18 area wolf densities are one of the lowest probably
19 anywhere that you can find in the literature. And
20 as such, total wolf predation on caribou should
21 remain low as long as the moose population doesn't
22 go up, or the overall ungulate biomass doesn't go
23 up, or if the linear features substantially
24 increase.

25 Now, neither of those are predicted

1 cumulatively with present and future projects.

2 Here is what the linear feature
3 density is, and this is actually the same measures
4 as Dr. Ehnes was using, but we set our benchmark
5 for linear feature density at .06, which indicates
6 that this area is still in the low range for
7 caribou.

8 And drawing your attention to the
9 caribou intactness map, Dr. Ehnes also has the
10 intactness VEC, this one is developed specifically
11 for our caribou and this is extended over zone
12 five for woodland caribou population, if there
13 were animals all throughout this region. And you
14 will notice it looks different than his map
15 because of a couple of things. Well, one primary
16 reason is these purple blobs over here, and those
17 are fires, and that demonstrates habitat that is
18 less than 40 years old. Secondly, we have got the
19 500 metre buffers applied similar to what
20 Environment Canada does in their modeling process.

21 Now, if hypothetically a boreal
22 woodland caribou population were, let's say to be
23 declared for this area, this would be a population
24 that would have one of the lowest cumulative
25 disturbance intactness rankings compared to all of

1 our other regulated and recognized listed boreal
2 woodland caribou herds in Manitoba. And
3 conversely, throughout this area, it would have
4 maybe one of the higher or highest, I think it was
5 one of the top three natural fire disturbance
6 regimes compared to the real, or the listed SARA
7 and MESA caribou.

8 As I mentioned earlier, we did some
9 exploratory analysis of additional studies with
10 knowledge of some of the collared animals with
11 respect to the Pen Islands coastal summer, and
12 this is one of the maps that was produced from the
13 Bipole assessment. No changes. There is a
14 cumulative disturbance across the Pen Islands
15 evaluation area, and as you can see with the
16 animals used to produce this understanding of what
17 the Pen Islands evaluation area was, what we can
18 see is that it does contain, as Dr. Ehnes also
19 pointed out, less fire as we go further east. And
20 that's not surprising as the ecological boundary
21 changed. But any caribou using this range, and as
22 they start moving beyond zone five east, would be
23 measured against an intactness benchmark of up to
24 8 per cent. So it really goes up once you start
25 considering movements of animals across what they

1 are actually doing in the Keeyask area. So when
2 we examine the Environment Canada intactness
3 benchmark for woodland or coastal caribou, which
4 are the summer residents, here again we have
5 reversed the intactness indicator, up on top in
6 the green you will see the low at less than 65,
7 moderate being 55 to 65, and the high being less
8 than 55 per cent. And looking at it from three
9 different perspectives, what we can see when we
10 consider a smaller range for boreal woodland
11 caribou population, if there would be one there,
12 is study zone five, and it starts off right at
13 that 65 per cent intactness benchmark. That's
14 where we are at. And with Keeyask, it would
15 reduce it slightly more, and with future projects,
16 slightly more, I think that's 63 per cent right
17 there.

18 For zone six, which is our regional
19 caribou study area, which would be an appropriate
20 size, I believe, to use for all caribou types, and
21 considering the complex range of behaviours that
22 are occurring in there, then considering the size
23 of the fire regime, this brown is the top of the
24 mark, so you can imagine going from blue all the
25 way up to the brown, that's the size of study zone

1 six. And it starts off above that 65 per cent, it
2 is over 66 per cent with the existing cumulative
3 effects, and Keeyask would add to that, and with
4 future projects it does stay above that 65 per
5 cent.

6 Now, knowing that there are animals in
7 our area of interest that do move and use a
8 totally different range, but they still use part
9 of our area, the Pen Islands evaluation area, we
10 are starting off at a much higher benchmark,
11 upwards of 73 per cent, and it goes down to about
12 71 per cent.

13 So lets summarize all of the evidence
14 that we have looked at. We have four of the five
15 measurable indicators were in the low range with
16 respect to cumulative effects, and I don't believe
17 they are likely near the ecological thresholds
18 that would truly put a caribou population into
19 decline. I think the intactness indicator here
20 suggests that we are close to or exceeding that
21 actionable benchmark that Environment Canada uses
22 if there would be a listed boreal woodland caribou
23 in the area, in the local study area. But we also
24 know that Environment Canada indicates that that
25 fire disturbance is to be of a medium level of

1 concern and of moderate severity compared to two
2 things, and that's land use activities and
3 predators, which are considered to be higher risk
4 for caribou.

5 And what we have pointed out earlier
6 in this presentation is that the total habitat
7 affected by fire in the landscape appears to be
8 high, but we consider fire skips, and there could
9 be some unburnt habitat still left in those areas
10 of various sizes that wildlife can use.

11 Now, this intactness benchmark extends
12 all the way up to Thompson, if this area is
13 included, but if we don't include the Thompson
14 area, it gets reduced.

15 Now, there is some precedent for the
16 maintenance of these caribou populations over
17 time, even if this Environment Canada intactness
18 mark would be exceeded. We have seen persistence,
19 even though they are prescribed to be between
20 self-sustaining and not self-sustaining, have
21 persisted for 30 years or more from some of the
22 southern ranges that we have looked at.

23 And finally, we are certain that if
24 any of the actual portion of the range extends
25 east, as it does and is demonstrated by the

1 collared animals in the area, the intactness
2 benchmark improves.

3 So in conclusion for caribou, we can
4 say with more confidence that Keeyask, in
5 combination with future projects, is not expected
6 to substantially affect the caribou regional
7 populations.

8 At this time my next slide -- or I
9 should say in conclusion, as I had already
10 described, I have about ten more slides to go, and
11 possibly up to 20, 25 minutes. Would the
12 Commission suggest that we break or would you like
13 to push through to the end?

14 THE CHAIRMAN: Normally I would say
15 push through to the end, but I have a commitment
16 this evening, so I think we will cut it now and
17 come back in the morning.

18 MR. BERGER: Thank you. I apologize
19 for extending it for as long as I did, sir.

20 THE CHAIRMAN: That's okay. No need
21 for an apology, we will take the time.

22 MR. BERGER: Thank you very much.

23 THE CHAIRMAN: I think we have one
24 document to be registered.

25 MS. JOHNSON: Yes, the terrestrial

1 presentation is KHLP 42.

2 (EXHIBIT KHLP42: Terrestrial
3 presentation)

4 THE CHAIRMAN: Thank you. We are
5 adjourned until 9:30 tomorrow morning.

6 (Adjourned at 4:36 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

OFFICIAL EXAMINER'S CERTIFICATE

Cecelia Reid and Debra Kot, duly appointed
Official Examiners in the Province of Manitoba, do
hereby certify the foregoing pages are a true and
correct transcript of my Stenotype notes as taken
by us at the time and place hereinbefore stated to
the best of our skill and ability.

Cecelia Reid
Official Examiner, Q.B.

Debra Kot
Official Examiner Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.
The unregistered version of Win2PDF is for evaluation or non-commercial use only.
This page will not be added after purchasing Win2PDF.