

MANITOBA CLEAN ENVIRONMENT COMMISSION

MANITOBA-MINNESOTA TRANSMISSION PROJECT

VOLUME 7

* * * * *

Transcript of Proceedings
Held at RBC Convention Centre
Winnipeg, Manitoba
WEDNESDAY, MAY 17, 2017

* * * * *

CLEAN ENVIRONMENT COMMISSION

Serge Scrafield - Chairman
Laurie Streich - Commissioner
Reg Nepinak - Commissioner
Ian Gillies - Commissioner
Cathy Johnson - Commission Secretary
Cheyenne Halcrow - Administrative Assistant
Mike Green - Counsel

DEPARTMENT OF SUSTAINABLE DEVELOPMENT

Elise Dagdick
Tracey Braun

MANITOBA HYDRO

Doug Bedford - Counsel
Janet Mayor - Counsel
Shannon Johnson
Maggie Bratland
Glen Penner
Shane Mailey
Jennifer Moroz

PARTICIPANTS

CONSUMERS ASSOCIATION OF CANADA (Manitoba chapter)

Gloria DeSorcy - Executive Director
Joelle Pastora Sala - Counsel
Max Griffin-Rill

SOUTHERN CHIEFS' ORGANIZATION

James Beddome - Counsel
Grand Chief Daniels

PEGUIS FIRST NATION

Jared Whelan
Wade Sutherland
Den Valdron - Counsel

MANITOBA METIS FEDERATION

Jason Madden - Counsel
Megan Strachan
Marci Riel

MANITOBA WILDLANDS

Gaile Whelan Enns

PARTICIPANTS

SOUTHEAST STAKEHOLDERS COALITION

Kevin Toyne - Counsel

Monique Bedard

Jim Teleglow

DAKOTA PLAINS WAHPETON OYATE

Warren Mills

John Stockwell

Craig Blacksmith

INDEX OF PROCEEDINGS

Socioeconomic Environment Panel	1583
Butch Amundson	
Frank Bohlken	
Maggie Bratland	
Bryan Leece	
David McLeod	
David Whettler	
Questions by Ms. Stachan	1625
Questions by Mr. Mills	1640
Questions by Mr. Beddome	1646
Questions by Mr. Valdron	1675
Questions by Mr. Williams	1694
Questions by Mr. Toyne	1710
Questions by CEC panel	1753
Biophysical Environment Panel presentation:	
Ms. S. Coughlin	83
Mr. B. Amundson	
Mr. N. De Carlo	
Mr. M. Gahbauer	
Mr. D. Block	

INDEX OF EXHIBITS

MH-48	Community health and well-being presentation	1828
MH-49	Heritage presentation Part 1	1828
MH-50	Heritage presentation Part 2	1829
MH-51	Introduction to Biophysical panel	1829
MH-52	Fish presentation part 1	1829
MH-53	Fish presentation part 2	1829
MH-54	Vegetation presentation part 1	1829
MH-55	Vegetation presentation part 2	1829
MH-56	Wildlife presentation part 1	1829
MH-57	Wildlife presentation part 2	1829
MH-58	Traditional land use presentation part 1	1829
MH-59	Traditional land use presentation part 2	1829
SCO-1	Safety data sheet	1829
DPW-1	The Bipole III/picture	1829

INDEX OF UNDERTAKINGS

- | | | |
|------|--|------|
| MH-7 | Advise if east of the Watson Davidson Wildlife Management Area is being used for commercial forestry purposes | 1719 |
| MH-8 | Provide a rough estimate of how many health incidents were referred to local regional health authorities in the Bipole III project | 1754 |

1 WEDNESDAY, MAY 17, 2017

2 UPON COMMENCING AT 9:30 A.M.

3

4 THE CHAIRMAN: Good morning, everyone.

5 Welcome back to our hearings into the

6 Manitoba-Minnesota Transmission Project. And we

7 left off yesterday part way through the

8 socio-economic the socio-economic analysis by

9 Manitoba Hydro. So we'll continue that

10 presentation.

11 MR. BOHLKEN: Good morning, Commission

12 and ladies and gentlemen. It's Frank Bohlken from

13 Stantec again and I'll be talking about community

14 health and well-being. With me is Butch Amundson,

15 who is the traditional land use discipline lead,

16 and he'll be talking about First Nations and Metis

17 health, which was one of the effects that we

18 assessed in this section.

19 So many community health effects are

20 felt at the community level, so both the LAA and

21 RAA consisted of the boundaries of the regional

22 municipalities traversed by the project.

23 Communities with a reasonable likelihood of being

24 used by the project to provide health services

25 were also included, for example, the City of

1 Steinbach, the City of Brandon and the City of
2 Winnipeg.

3 Community health and well-being is a
4 valued component, because social and economic
5 changes resulting from the project may have health
6 effects on residents within the local assessment
7 area. Such effects may be manifested as increased
8 stress or annoyance, changes in physical health,
9 potentially resulting in increased demand for
10 health services.

11 Changes in the availability of
12 traditional foods resulting from vegetation
13 clearing or changes in accessibility to Crown
14 lands may cause health effects to members of First
15 Nations and Metis communities, due to changes in
16 food security, diet and nutrition.

17 Manitoba Hydro has demonstrated a
18 trajectory of learning that continues with the EIS
19 for the Manitoba-Minnesota Transmission Project.
20 The Bipole III EIS was critiqued for gaps in its
21 baseline and assessment of effects related to
22 community health, a too narrow definition of
23 health and lack of specific public health
24 mitigation measures. The EIS for the Keeyask
25 Generation Project was more successful in terms of

1 the scope of community health issues that were
2 addressed. All health related topics raised in
3 the regulatory reviews of both the Bipole III
4 Transmission Project and Keeyask Generation
5 Project that are relevant to the MMTP project have
6 been addressed in this EIS. The scope of review
7 was also informed from community health sections
8 of environmental assessments of transmission lines
9 and other linear development projects from other
10 jurisdictions.

11 During engagement we heard the
12 following concerns related to community health:
13 Stress and annoyance, potential for stress and
14 annoyance resulting from interference with current
15 or planned land uses. Example, proximity of the
16 project to residences, concerns in potential
17 change in property values, changes in recreation
18 activities. We also heard about potential health
19 effects associated with the project workforce,
20 including the proximity of the workforce to
21 communities and additional demands that they may
22 place upon the healthcare system.

23 We also heard about concerns related
24 to traffic, which are addressed in the EIS in
25 section 13 in infrastructure and services, and

1 human health effects related to environmental
2 changes which were discussed yesterday by
3 Dr. Leece in the human health section.

4 Project routing addressed community
5 health issues in several ways. Through routing,
6 the extent of proximity of the project to
7 residences and communities was limited, thus
8 reducing potential for stress and annoyance
9 associated with project proximity. Concerns
10 regarding Crown land for harvesting identified
11 from engagement were also considered during
12 routing. Sorry, I didn't advance a slide, but
13 that's the one that went with my last little
14 speech.

15 There are five areas that were
16 assessed in the community health chapter: Effects
17 resulting from the mobile workforce, stress and
18 annoyance, effect from socio-economic change,
19 potential effects on healthcare services and
20 infrastructure, and First Nations and Metis health
21 related to traditional food consumption and food
22 security.

23 As noted, other health topics were
24 addressed by Dr. Leece yesterday, including those
25 related to noise, EMF, and air quality. And those

1 are not part of the Community Health Assessment.

2 The HIA, sorry, the Health Impact
3 Assessment drew on a number of information
4 sources. These included secondary health data
5 collected from, for example, Statistics Canada,
6 then called Aboriginal Affairs and Northern
7 Development, the Workers Compensation Board, and
8 the Manitoba Bureau of Statistics, interviews with
9 representatives from regional health authorities
10 and the Government of Manitoba's office of
11 Disaster Management, information collected during
12 public engagement and engagement with First
13 Nations and Metis, as well as throughout the route
14 selection process. And we also drew on other
15 studies that were conducted for the EIS, and their
16 conclusions, for example, the assessment on
17 wildlife, vegetation and traditional land use,
18 which is relevant to the assessment of effects on
19 First Nations and Metis health.

20 So, turning to our key issues, we're
21 going to start off with the mobile workforce. The
22 peak workforce for the project is estimated at
23 about 175 people, but this is for all project
24 components. This will be including the work on
25 the substations as well as the transmission line.

1 The peak workforce in the new right-of-way would
2 be approximately 80 persons.

3 Due to the relatively small number of
4 project workers and the reasonable likelihood that
5 a proportion of them will be hired from
6 surrounding communities, and consideration of the
7 mitigation measures with respect to mobile
8 workforce, including availability of first aid
9 attendants and supplies, for example, the effects
10 of the mobile workforce on local communities or
11 health services is anticipated to be negligible
12 during construction, as well as operations.

13 Stress and annoyance effects can range
14 from aggravation to physical health consequences.
15 The source of stress and annoyance are likely to
16 be different during different project phases as
17 shown in this slide. During preconstruction,
18 uncertainty about the future, including concerns
19 over the EA process, for example, or say VECs on
20 private property may increase stress levels.
21 During construction it is possible that noise and
22 dust and presence of the workforce could be
23 primary factors for inducing stress.

24 And during operations this may stretch
25 to concerns over issues such as EMF or an

1 annoyance over the transmission line, changes to
2 the landscape, and indeed the presence of the
3 project.

4 During construction, the project has
5 the potential to generate health benefits tied to
6 the provisions of jobs and income, which is one of
7 the social determinants of health. So this is
8 regarded as a positive development. As well as,
9 again, due to the small size of the construction
10 workforce and short construction period, adverse
11 effects -- so adverse effects on socio-economic
12 health in the LAA are expected to be negligible.

13 I'm going to pass it over to Butch
14 now.

15 MR. AMUNDSON: Thanks, Frank.

16 Alterations to the landscape such as
17 clearing of vegetation may make subsistence foods
18 and medicine less readily available. Changed
19 access to preferred harvesting areas create
20 quality concerns regarding vegetation management
21 and alter the quality of the experience of
22 harvesting food and medicines, resulting in
23 avoidance of the PDA extending into the LAA.

24 Mitigation measures to reduce effects
25 include implementation of the access management

1 plan, implementation of the erosion and sediment
2 protection plan, flagging, buffers and avoidance
3 of identified sensitive areas, implementation of
4 the weed management plan, and the use of
5 non-chemical vegetation control in specific areas
6 such as identified plant harvesting areas.
7 As the project route is limited to 752 hectares of
8 Crown land representing 0.5 per cent of Crown land
9 in the RAA, changes to availability of harvested
10 resources in the RAA is anticipated to be
11 negligible.

12 In consideration of mitigation
13 measures, effects on First Nations and Metis
14 health due to change in subsistence foods and
15 medicines is anticipated to be negligible.

16 Back to you, Frank.

17 MR. BOHLKEN: Thank you, Butch.

18 We understand that some areas of
19 health care service delivery are already somewhat
20 strained in communities in and around the LAA,
21 including -- this is from our baseline research --
22 including Bethesda Regional Health Centre in
23 Steinbach, as well as the Glenboro Health Centre.
24 However, residual effects during construction are
25 predicted to be negligible because of the low

1 number of construction workers associated with the
2 project, as well as the availability of first aid
3 supplies and attendants to address minor workforce
4 injuries, and the relatively low duration of
5 construction activities. As well, residual
6 effects during operation and maintenance are
7 expected to go negligible on the health care
8 services and infrastructure due to the low
9 workforce numbers.

10 So in addition to the mitigation
11 measures that were just mentioned by Butch with
12 respect to First Nations and Metis health, this is
13 a summary of some of the key mitigation measures
14 that would be used to address community health
15 effects. These would start off with routing,
16 avoiding effects through routing, as previously
17 discussed in presentations by Ms. Bratland.
18 Engagement and information sharing on an ongoing
19 basis to help address concerns that related to
20 just information and understanding, which lack
21 thereof could result in contributing to stress or
22 annoyance. Mitigation measures for visual
23 quality, noise and vibration, dust and mud, so
24 some of the causative factors for stress and
25 annoyance, by mitigating those causative factors

1 we'd be hopefully reducing stress and annoyance
2 levels. Mitigation measures with respect to
3 plants and wildlife, which would be addressing,
4 again, traditionally harvested foods and products.
5 Again, as Butch mentioned, flagging
6 environmentally sensitive areas and plant
7 harvesting sites during clearing and avoiding
8 using, for example, using herbicides at those
9 areas. Provision of first aid supplies and
10 personnel for workers in order to be able to treat
11 minor injuries if they unfortunately arise would
12 reduce need for, reduce the need for using the
13 community health services. Emergency response
14 plan includes provisions for, for example,
15 emergency evacuation of an injured worker. And
16 coordination with the Southern Health Regional
17 Health Authority on a primary care mobile clinic
18 for the southern parts of the route that are a
19 little further away from primary care facilities.

20 Manitoba Hydro continues to engage
21 with First Nations, Metis, and the public, and
22 will continue to share information on the project
23 and topics of interest. Again, this would help
24 provide information which could be contributing
25 to -- a lack thereof which could be contributing

1 to stress or annoyance.

2 I'm going to pass it over to Butch now
3 to start off with the next slide.

4 MR. AMUNDSON: Regarding First Nation
5 and Metis health --

6 MR. BOHLKEN: I'm sorry, it's me
7 still. So we're now going to summarize the
8 findings and conclusions as mentioned, stress
9 effects, or sorry, effects from the mobile
10 workforce are anticipated to be negligible really
11 because of the small size of the workforce,
12 relative to the communities that they are working
13 in, as well as the short duration of construction
14 activities and during operations of a very small
15 workforce.

16 With respect to stress and annoyance,
17 while many causes of stress and annoyance will be
18 mitigated by the measures that I outlined,
19 Manitoba Hydro acknowledges that some individuals
20 will remain stressed and annoyed over the project.
21 Such effects are predicted to be of low magnitude
22 during construction and moderate magnitude during
23 operations. It's also predicted that issues can
24 be addressed, if they result in physical health
25 effects, by the healthcare system and would not

1 put undue strain on that system.

2 Now over to Butch.

3 MR. AMUNDSON: Regarding First Nation
4 and Metis health, the project effects on
5 traditional food harvesting or food security are
6 limited because of the area of Crown land in the
7 PDA and the return to unrestricted access to the
8 transmission line after construction, apart from
9 maintenance activities.

10 Back to you, Frank.

11 MR. BOHLKEN: So as I mentioned, the
12 effects on health, community health effects
13 related to socio-economic change, or effects on
14 healthcare services and infrastructure are
15 anticipated to be negligible, due to again the
16 small size of the workforce, short duration of
17 construction activities. And in regards to the
18 healthcare services and infrastructure, a small
19 anticipated incremental demand that's easily
20 addressed within the available capacity.

21 So in summary, project effects on
22 community health and well-being are considered to
23 be not significant. Just to be clear on what not
24 significant means, there is no regulatory defined
25 significance thresholds for community health and

1 well-being. In this assessment an effect was
2 defined as being significant if either of the
3 following two criteria were met. The project
4 results, first the project results in exceedance
5 of available capacity or a substantial quality of
6 healthcare infrastructure or services; or the
7 project causes physical or mental health changes
8 that are irreversible and detectable at the
9 population level.

10 The rating of not significant does not
11 preclude adverse or irreversible effects on health
12 of individuals in the community, however. In
13 addition, not significant rating does not mean
14 that effects are not important to individuals or
15 groups of individuals.

16 With regards to cumulative effects,
17 potential project effects due to socio-economic
18 change, the mobile workforce in the healthcare
19 capacity, as I mentioned, are considered
20 negligible and were not carried forward into the
21 cumulative effects assessment. Multiple projects
22 with respect to stress and annoyance, multiple
23 projects can contribute to stress and annoyance
24 particularly if there is spatial and temporal
25 overlap, for example, due to longer exposure to

1 construction activities, increased traffic levels.
2 Reasonably foreseeable future projects can also
3 cause stress and annoyance through perceived risk
4 of EMF in regards to other transmission lines, and
5 exposures and concerns over changes, for example,
6 in property value, similar to what might be
7 experienced from the MMTP project. But
8 construction phase cumulative effects for the
9 reasonably foreseeable projects, which include
10 other transmission lines, pipelines, residential
11 developments mainly, construction phase cumulative
12 effects expected to be of limited duration.
13 However, some effects such as concerns over EMF,
14 as an example could persist over life of certain
15 projects. These can be addressed through ongoing
16 engagement and information sharing.

17 So back to Butch.

18 MR. AMUNDSON: Cumulative effects on
19 traditional food and medicine harvesting include
20 change in access to and alteration of Crown land.
21 These may result in a reduction of Crown land
22 considered available for harvesting. However, in
23 consideration of cumulative effects on wildlife
24 and wildlife habitat, chapter 9, vegetation and
25 wetlands, chapter 10 of the EIS, and traditional

1 land and resource use, chapter 11 of the EIS.
2 Cumulative effects on First Nation and Metis
3 health related to availability of country foods
4 and medicines within the RAA is expected to be of
5 low magnitude. However, changes in access, the
6 altered experience of harvesting, and concerns
7 regarding contamination could result in stress and
8 annoyance for First Nation and Metis individuals.
9 With mitigation measures, cumulative effects are
10 anticipated to be not significant.

11 MR. BOHLKEN: Okay. That concludes
12 our presentation on cumulative effects.

13 MS. BRATLAND: Next up is our
14 presentation on heritage, and we're just going to
15 shift the seating order briefly.

16 MR. MCLEOD: Good morning panel,
17 ladies and gentlemen. My name is David McLeod.
18 I'm an associate and senior archeologist with
19 Stantec Winnipeg. I have a Masters degree in
20 Anthropology and I was responsible for the
21 heritage assessment of the alternative final
22 preferred and existing corridor, the routing
23 analysis, drafting chapter 12 of the EIS, and
24 drafting the heritage resources TDR.

25 MR. AMUNDSON: And good morning, my

1 name is Butch Amundson. I'm a principal with
2 Stantec in Saskatoon. I'm the technical lead for
3 Aboriginal Affairs and Heritage Resources in
4 Saskatchewan. I have a Masters degree in
5 Archaeology from the University of Saskatchewan,
6 and I was responsible on this project for study
7 design and for quality review.

8 MR. MCLEOD: So as mitigation measures
9 mentioned today, we're discussing heritage
10 resources as a valued component of the project,
11 and we're following the presentation road map that
12 other disciplines have done previous, an overview,
13 what we heard, what we assessed, our key issue
14 review, mitigation monitoring and follow-up, and
15 our findings and our conclusions.

16 I'm going to start off by talking
17 about our valued component assessment area. The
18 project development area, or PDA, was a corridor a
19 minimum of 80 and a maximum of 100 metres wide.
20 Our local assessment area, or LAA, was a 200 metre
21 wide corridor of the final preferred route and the
22 existing transmission corridor.

23 The LAA was based, or was used based
24 on where projects, or project effects could
25 potentially interact with heritage resources.

1 The RAA, or the regional assessment
2 area, for the final preferred route and existing
3 transmission corridor is the Lake Manitoba Plain
4 ecoregion of the prairie's ecozone.

5 The PDA and LAA for Dorsey and Riel
6 converter in the Glenboro South station was the
7 footprint of the proposed expansion.

8 Our temporal period for the heritage
9 resources assessment was from approximately 12,000
10 to 70 years ago, or before present TP. Now, this
11 range was used as this is the chronological range
12 for sites that can be recorded with the Historic
13 Resources branch of Manitoba, Sport Culture and
14 Heritage.

15 So why heritage? Heritage resources
16 are the tangible remains of past land use
17 activities, and they also include the intangible,
18 such as a cultural landscape. Heritage resources
19 are also important because of First Nation and
20 Metis concern, legislative requirements,
21 scientific relevance and interest, and of public
22 concern. Now heritage resources include objects
23 and properties that are important for their
24 architectural, historical, cultural,
25 environmental, archeological, paleontological,

1 aesthetic or scientific view. And some of these
2 examples of heritage resources that we were
3 showing were not recovered during our MMTP
4 assessment, but they are from sites from the
5 regional assessment area.

6 So the value of heritage resource
7 sites is measured not only by the individual
8 artifacts they contain, but by the information
9 about the past that might be contained from
10 studying the objects, the spatial relationship of
11 artifacts within a site, and the context and
12 assemblages, the context of assemblages and sites
13 across the landscape. It must be stressed that
14 heritage resources are fragile and the product of
15 unique processes and conditions of preservation.

16 So we talk a lot in archaeology about
17 provenience, the provenience of artifacts. That's
18 the vertical and horizontal measurements of where
19 artifacts are located in the site, that's their
20 provenience. And the provenience of artifacts
21 provides valuable context and insights from both a
22 time, which is your vertical, and space, which is
23 your horizontal perspective.

24 MR. AMUNDSON: Cultural resources are
25 intangible and conceptual, such as cultural

1 practices or a cultural landscape, and they're not
2 usually directly observable to archeologists.
3 Identification of these resources is usually done
4 through the traditional land and resource use
5 study portion of a project. Mitigation through
6 design helps to avoid disturbance to practices and
7 fragmentation of cultural landscapes.

8 Cemetery locations are included in the
9 heritage resources assessment because of the
10 potential for unmarked burials along the perimeter
11 of abandoned and active cemeteries. Community and
12 church cemeteries were often developed shortly
13 after the homestead settlement and before local
14 government infrastructure was developed and
15 records were maintained. Our experience in rural
16 areas across the prairies has shown that fences
17 around cemeteries often fail to fully contain the
18 earliest burials.

19 The approach of this assessment,
20 therefore, recognizes the potential for unmarked
21 burials at active and abandoned cemeteries.

22 MR. MCLEOD: Now we're going to
23 discuss the project effects. And what we looked
24 at for project effects was changes to the number
25 of known and potential heritage resources and

1 changes to the number of cemeteries.

2 Now, these changes for heritage
3 resources during construction, potential effects
4 during construction could disturb known and
5 potential heritage sites by dislocating artifacts
6 that are within or just beneath the surface. Now
7 these construction activities include brushing for
8 access roads, staging areas, transmission line
9 right-of-way and tower locations.

10 Furthermore, the removal of standing
11 vegetation could also create unstable soil
12 environments and associated surface runoff, that
13 will result in the horizontal and vertical
14 displacement of surface or shallowly buried
15 artifacts. Soil removal for tower footings in our
16 staging areas could also disturb known or
17 potential heritage resource sites. Other
18 construction activities include grading for
19 access, a compaction from vehicular traffic,
20 particularly in areas of sandy soil such as in the
21 Sandilands Provincial Forest, and construction of
22 access roads could also provide increased entry to
23 areas on intact heritage resources by individuals,
24 and could result in unauthorized site collection.
25 And finally, spoil piling of excavated soils and

1 rocks could damage known or unknown heritage
2 resources below the surface.

3 For cemetery sites during
4 construction, the potential effects include ground
5 disturbance activities associated with access
6 route and bypass trail development, right-of-way
7 clearing, geotechnical investigations,
8 transmission tower construction. Now, tree and
9 ground vegetation removal at a tower location
10 could interact with unmarked burial locations, if
11 cutting requires subsurface disturbance such as
12 root removal at tower foundation sites.

13 Discovery of unmarked human burials is
14 considered in this assessment as a specific
15 potential environment effect due to the sensitive
16 nature of human remains and because inadvertent
17 exposure of human remains invokes the Province of
18 Manitoba's burial policy.

19 Now, for both heritage and cemeteries
20 during operation and maintenance, the potential
21 effect pathways include brushing activities to
22 maintain access roads, the transmission
23 right-of-way over the tower locations, and any
24 brushing activities to expand access roads.
25 Subsoil removal or re-grading of access roads in

1 areas that were not developed during construction
2 could also result in disturbance of heritage
3 resources.

4 MR. AMUNDSON: Lessons learned. For
5 the lessons learned, we began by applying to this
6 heritage resource assessment a standard industry
7 approach that was used, similar to that used on
8 past Manitoba Hydro projects. Other projects in
9 our experience include assessments of electrical
10 transmission lines in other jurisdictions, such as
11 the study completed for Sask Power of the
12 Saskatoon North Reinforcement Project.

13 Past Manitoba Hydro assessments have
14 also included construction monitoring as a part of
15 a cultural and heritage resources protection plan,
16 a CHRPP. A CHRPP is based on learnings from
17 previous projects, knowledge of the existing
18 heritage resource conditions within the project
19 area, and any recommendations from the Historic
20 Resources Branch after the review of the HRIA.
21 The CHRPP includes First Nation, Metis and
22 non-indigenous community participation. Project
23 interactions with heritage resources primarily
24 occur in the PDA due to disturbance, specifically
25 at tower locations.

1 MR. MCLEOD: Our regulatory guidance
2 was the Heritage Resources Act, specifically
3 section 12, subsection 2, that pertains to
4 heritage resources impact assessment. Other
5 portions of the Act that apply are sections 53 and
6 54 that pertain to heritage permitting, and parts
7 1 and 3 of the Act that deal with provincial and
8 municipal site designations.

9 MR. AMUNDSON: So what we heard,
10 during engagement and ATK studies we learned of
11 the Chief Yellow Quill's trail to the United
12 States pictured here. Further, the Dawson Trail
13 is located within the final preferred route.
14 Black River, Long Plain and Swan Lake First
15 Nations indicate the area between Marchand and
16 Sandilands as a cultural gathering place during
17 certain times of the year. Traditional knowledge
18 studies identified the area south of Spur Wood
19 siting as a ceremonial and gathering location.
20 The Assiniboine River and Red River crossings
21 within the existing corridor were identified as
22 areas of potential heritage resources related to
23 First Nation camps and Metis farmsteads. ATK
24 studies identified areas of cultural importance
25 east of the final preferred route.

1 MR. MCLEOD: What we heard during the
2 public engagement program, we heard that the Rat
3 and Seine Rivers and the Bedford Ridge may have
4 high heritage resource potentials. We also heard
5 that one of the alternative routes was within 100
6 metres of the Ridgeland cemetery. We heard of
7 potential for homestead farms in the Marchand
8 area, and of a Centennial farmyard near the final
9 preferred route.

10 Centennial farm is defined by 100
11 years of continuous family ownership of
12 agriculture land, with a minimum size of 50 acres,
13 and direct descendants, male or female by
14 marriage.

15 The slide on the left kind of gives
16 you an idea of an early farm, this is in the
17 Stuartburn area, it kind of gives you an idea of
18 what the landscape would have looked like when
19 agriculture was first starting down in the
20 southern portion of the area.

21 During routing considerations, what we
22 looked at were previously recorded archeological
23 sites, undeveloped areas, cemetery locations and
24 potential archeological sites. Our routing
25 considerations focused on municipally or

1 provincially designated heritage sites, because
2 these are legally protected under the Heritage
3 Resources Act; intact previously recorded
4 archeological sites, these are registered with the
5 province; areas of potential heritage resources,
6 that's part of the Heritage Resource Impact
7 Assessment, or HRIA requirements. And we looked
8 at areas that were primarily undeveloped, that is
9 not cultivated or had not been developed by
10 residential, quarrying or forestry and
11 reforestation. We also looked at locations of
12 cemeteries, such as the Ridgeland cemetery in
13 Prairie Grove.

14 During the routing process, heritage
15 resource locations were plotted in comparison with
16 the various route segments as areas of least
17 preference, and then the segments were
18 subsequently rejected to avoid the sites.
19 The compiled heritage resource database was used
20 during the alternative and final preferred routing
21 process for the new right-of-way. Therefore, the
22 locations of known heritage resources and
23 cemeteries were considered during the route
24 selection process with avoidance as the analytical
25 determinant.

1 The assessment methods included
2 establishing existing base conditions, review
3 outcomes of the public engagement process and
4 First Nations and Metis engagement process, as was
5 previously discussed, review of previous research,
6 conducting predictive modeling, and then doing
7 field assessments. Previous research data
8 collection and their analysis was used to
9 determine the existing conditions.

10 Now, the previous research we
11 discovered consisted of a Masters thesis in 1975
12 in the Sandilands area, and a 1976 Heritage
13 Resources Impact Assessment of a Manitoba Hydro
14 230 kV, then it was known as the Ridgeway to the
15 United States Transmission Line, and now known as
16 the 49R Ridgeway to Richer and the R50M Richer to
17 Moranville.

18 Now, our data consisted of Historic
19 Resources Branch website for the locations of
20 municipally and provincially designated sites, the
21 Historic Resource Branch inventory of previously
22 recorded sites and Centennial farms. The Manitoba
23 Land Initiative website was accessed to review
24 Dominion Land Office township plans that were
25 compiled during the first land surveys of Manitoba

1 between 1872 and 1910. The township plans contain
2 information such as topography, vegetation,
3 location of cart trails, developed and undeveloped
4 rail lines, and former stream channels.

5 We also looked at original landowner
6 data that were collected from land grants of
7 Western Canada. That data base dates from 1870 to
8 1930 and is available on the Library and Archives
9 Canada website. These records indicate the type
10 of land acquisitions such as Metis land grant,
11 homestead, or sale.

12 River lot ownership records available
13 through the Provincial Archives of Manitoba were
14 examined, and that pertained to the existing
15 corridor along the Assiniboine and the Red Rivers.

16 We also looked at topographic maps at
17 a 1 to 50,000 scale, accessed on the Natural
18 Resources Canada website site, to plot cemetery
19 locations. Now, they're identified on the
20 topographic maps by a C, and an area delineated by
21 a rectangular hash line around that C.

22 These locations were subsequently
23 located on Google Earth Pro Imagery to obtain a
24 geo reference location for the centre point of the
25 cemetery. We also looked at the Canadian Gen

1 website that has the cemetery project interactive
2 data.

3 MR. AMUNDSON: Predictive modeling for
4 the project was based on a selection of key
5 variables relevant to southeastern Manitoba, and
6 on the professional judgment of the archeologists.
7 Predictive modeling variables include proximity to
8 water. Access to potable water and the plant and
9 animal resources they support are important
10 determinants in precontact settlement patterns.
11 Locations where the route is adjacent to or across
12 a stream or adjacent to a body of water is
13 considered to have moderate to high heritage
14 potential.

15 Topography, relic beach ridges such as
16 the Bedford Ridge and the beach ridge, the beach
17 strands in Sandilands area were important, high,
18 dry, sheltered lands for precontact people and
19 important source areas for a variety of resources
20 and were considered to have moderate to high
21 heritage potential.

22 Soil type, areas with glacio-fluvial,
23 glacio-lacustrine, alluvial and sandy or aeolian
24 soils are considered to have moderate to high
25 heritage potential because of the resources they

1 contain. Glacial till is considered to have
2 moderate potential, as these could be source areas
3 for lithic tool production, stones for boiling and
4 stones for anchoring lodges.

5 Proximity to known sites.

6 Archeological sites tend to occur in clusters on
7 preferred landscapes. Any place that the
8 alternative routes, the preliminary preferred
9 route and the final preferred route is within 500
10 metres of a known heritage site, where the
11 right-of-way extends between two known heritage
12 sites, is considered to have moderate to high
13 heritage potential.

14 Past land use. Areas of native
15 vegetation are considered to have moderate to high
16 heritage potential, as it is more likely that
17 archeological sites retain vertical and horizontal
18 integrity. Areas that had been cultivated or
19 previously disturbed by past development are
20 considered to have low potential, as there is a
21 high likelihood that resources have been
22 disturbed, especially in upland areas with little
23 soil accumulation.

24 Proximity to historic trails.

25 Historic trails are indicators of long established

1 desired paths across the landscape. Precontact
2 trails were often continued to be used by people
3 in the historical era to the present day, such as
4 by cart trails and then sometimes followed by
5 roads and rails.

6 Locations where the alternate routes,
7 the preliminary preferred route and the final
8 preferred route intersect or are within 500 metres
9 of a cart trail, as identified in the Dominion
10 Land Township Plans, are considered to have
11 moderate to high heritage potential for
12 archeological sites.

13 Also the Canada/United States border
14 is the medicine line, and traditional knowledge
15 indicates that burials are near it. There are
16 also boundary commission sites along the 49th
17 parallel.

18 MR. MCLEOD: There were three
19 components to the analytical assessment of effects
20 on heritage resources. The evaluation of
21 potential project effects on known heritage
22 resource sites, on the left-hand screen, the top
23 photo is of the Spur Wood siting area, the bottom
24 photo is of the Burford area. It was a small rail
25 sighting.

1 We also looked at the evaluation of
2 potential project effects on undiscovered heritage
3 resource sites, such as down in the Sandilands,
4 which has natural vegetation, such as the photo on
5 the left. Again, the United States border, the
6 Canada/United States border rather, and areas
7 within the existing transmission corridor along
8 the Assiniboine and the Red River. We also looked
9 at the evaluation of potential project effects on
10 known cemetery sites.

11 For archeological sites, the database
12 acquired from the Historic Resources Branch was
13 part of the predictive modeling process.

14 Previously recorded sites within the local
15 assessment area of the alternative routes, final
16 preferred route and existing corridor were
17 examined. For Centennial farmstead sites, those
18 within the local assessment area, and cemeteries,
19 those within the local assessment area. And I'm
20 going to reiterate that our local assessment area
21 for the Heritage Resources Assessment was a 200
22 metre corridor.

23 The assessment provided information
24 for alternative route evaluation and ultimately
25 the final preferred route. Dorsey and Riel

1 converter stations and the Glenboro South station
2 were also considered in the assessment.

3 So some of our key findings. Major
4 portions of the final preferred route have been
5 previously disturbed by agriculture, residential
6 development, forestry and quarrying. And as we
7 have mentioned, agriculture alters archeological
8 sites by disturbing the vertical and horizontal
9 relationships of artifacts, their provenience,
10 deeply buried sites and, therefore, below the plow
11 zone, generally occur adjacent to large streams
12 such as the Seine and Assiniboine Rivers where
13 flood silt is deposited.

14 We determined that the final preferred
15 route intersects the Dawson Trail. Now, the
16 Dawson Trail at the crossing point has been
17 developed into a provincial highway, as you can
18 see by the two slides on the left-hand screen.
19 There is also residential development and an
20 existing transmission line that are located on
21 either side of the former trail. Other historic
22 trails have been modified into vehicle access
23 routes that are still used today.

24 We examined the Rat River crossing and
25 determined that it had a low potential for

1 heritage resources. The Seine River may have a
2 potential for deeply buried heritage resources.
3 We also determined that the east edge of the
4 Centennial farm is 85 metres west to the west edge
5 of the local assessment of the final preferred
6 route.

7 Now, I'm going to just address the
8 Centennial farm along the final preferred route.
9 This farm was not included in our initial database
10 obtained from the province and I really don't know
11 how it was missed. It's a data point that was
12 missed.

13 And when the question of the
14 Centennial farm arose, I re-examined the database
15 that we had acquired and it wasn't there.
16 However, after subsequent discussion with the
17 Historic Resources Branch, they confirmed that the
18 farm was indeed a Centennial farm.

19 So does it change any components of
20 the EIS? Well, it would add an additional
21 Centennial farm to table 12.4, so it would read
22 16, and would increase that table total to 179.
23 It would also add a site dot at the farm location
24 to maps 12-100 in chapter 12, the EIS, and also
25 map 12-14. It would not change the assessment

1 conclusions as the farm is outside of the PDA and
2 LAA of the final preferred route. And when we
3 were looking at our effects, we were examining the
4 change to the number of heritage sites. It's
5 still a Centennial farm, whether or not the
6 project is approved and the transmission line goes
7 in, it still remains a Centennial farm.

8 Other findings, we located a circa
9 1900 homestead on the north side of the
10 Assiniboine River within the existing transmission
11 corridor, and we also located an undated historic
12 homestead building foundation within the LAA of a
13 preferred alternative route near the Canada/United
14 States border. Believe it or not, there is a rock
15 foundation within that mess of rocks. The reason
16 we say it's an undated, no artifacts were
17 recovered that could suggest a relative date of
18 occupation.

19 This route was subsequently removed as
20 an alternative during the routing workshops, and
21 there are no concerns as to the reported
22 archeological site.

23 We also determined that the Ridgeland
24 cemetery was near segment 312. During the routing
25 workshop, segment 311 was created to move the line

1 east of the cemetery but not encroach a wetland.

2 Finally, our findings, there were no
3 concerns with the Dorsey and Riel converter
4 stations and the Glenboro South station.

5 MR. AMUNDSON: A summary of key
6 mitigation measures. For archeological sites,
7 there will be a preconstruction review of
8 structural locations along the final preferred
9 route and it will be compared with the key
10 finding, as described in the previous slides.

11 A 64-hectare portion of the final
12 preferred route west of Lonesand has moderate to
13 high heritage potential, as this area has not been
14 cultivated or previously developed and is
15 recommended for further assessment and/or
16 ground-truthing once tower locations are known.

17 At waterway crossings, structures will
18 be located as far back from the water's edge as
19 possible for stability and to prevent bank
20 erosion. Construction procedures used at each
21 crossing will be based on site specific
22 considerations. Some may be recommended for
23 further assessment and/or ground-truthing once the
24 tower locations are known.

25 Mitigation measures such as

1 construction monitoring in areas of high heritage
2 potential and implementation of the CHRPP,
3 including education of construction workers and
4 environmental inspectors, are implemented to limit
5 potential project effects.

6 Protective barriers will be placed
7 around heritage resource sites if any are
8 inadvertently found during construction.

9 Construction will be monitored by a professional
10 archeologist in areas that are considered to be
11 heritage sensitive. Contractors will be educated
12 regarding the Chance Find Protocol.

13 MR. MCLEOD: For the Centennial farms
14 and homestead, mitigation measures for these sites
15 include preconstruction assessment of towers in
16 areas of known Centennial farms, examination of
17 tower locations at the circa 1900 homestead site
18 recorded in the existing corridor, and
19 implementation of the CHRPP as required during
20 construction.

21 For cemeteries, we have already
22 pointed out the adjustment of the preferred route,
23 but further mitigation measures for cemeteries are
24 timing construction to avoid any religious
25 ceremonies or practices or interments at the

1 cemetery, an education of construction contractors
2 as to the Provincial Burial Policy and the
3 appropriate protocols of human remains or objects
4 thought to be human remains are uncovered.

5 MR. AMUNDSON: The Cultural Heritage
6 Resources Protection Plan. The CHRPP includes
7 processes and protocols for protection of cultural
8 and heritage resources discovered or disturbed by
9 construction activities. It provides protective
10 measures for known cultural and heritage
11 resources, and it provides for First Nation and
12 Metis input into heritage resource management
13 decisions. The construction environmental
14 protection plans incorporate recorded cultural and
15 heritage resources and their protection measures.

16 MR. MCLEOD: So for effects, our
17 effects were the change in number of known and
18 intact heritage resource sites and change in sites
19 inadvertently exposed. And the second effect was
20 change to the number of cemeteries. So the direct
21 change would be a loss or disturbance to site
22 contents and site context through construction and
23 operation activities, such as brush or topsoil
24 removal. No net change is anticipated to heritage
25 resource sites within the final preferred route.

1 Furthermore, there was no net change anticipated
2 in the number of known cemeteries.

3 Residual effects are those effects
4 remaining after implementing mitigation measures.
5 And as we have stated, the majority of the final
6 preferred route traverses cultivated lands that
7 have limited potential to contain intact heritage
8 resources. However, it is difficult to predict or
9 identify the location of all archeological sites.
10 So a residual effect on heritage resources is
11 considered to be significant if it results in a
12 change to the number of known and intact heritage
13 resource sites currently listed in the PDA and LAA
14 of the final preferred and existing route.

15 Project related effects and heritage
16 resources and cemeteries occur within the PDA and
17 during construction. These effects are mitigated
18 at or before construction and, therefore, no
19 residual effects on heritage resources are
20 expected. There are no previously recorded
21 heritage resource sites within the PDAs for the
22 Glenboro South station or the Riel Converter
23 Station or the Dorsey Converter Station. The
24 potential for heritage resources at these sites is
25 low and, therefore, there are no potential

1 interactions with heritage resources and no
2 residual effects are anticipated. Therefore, with
3 regard to residual effects, there is no change to
4 the number of intact heritage resource sites and
5 no change to the number of cemeteries.

6 For cumulative effects, the future
7 projects proposed within the PDA and LAA are
8 primarily located on lands that have already been
9 impacted by agricultural or residential
10 development. These developments include
11 components of Bipole III, St. Vital transmission
12 complex, and the St. Norbert and Headingley
13 bypasses. Agricultural expansions into areas
14 within the LAA that have not been previously
15 cultivated have the potential to disturb heritage
16 resources.

17 The Headingley and St. Norbert
18 bypasses could disturb unknown heritage resources
19 if development occurs in areas that have not been
20 previously disturbed. However, major portions of
21 the bypass development have been disturbed by
22 either agriculture or residential development.
23 Therefore, no cumulative effects or change to
24 heritage resource sites and cemeteries are
25 anticipated within the MMTP PDA or LAA.

1 So change to heritage resource sites.
2 Disturbance to known heritage resources and chance
3 discovery of heritage resource objects are
4 expected to be negligible within the final
5 preferred route. Furthermore, protection plans
6 for heritage resources have been developed to
7 address heritage resource concerns, and these
8 protection plans include First Nation and Metis
9 consultation.

10 Change to heritage resources sites,
11 therefore, are expected to be negligible within
12 the final preferred route. Similarly, changes to
13 cemeteries are expected to be negligible within
14 the final preferred route.

15 Thank you for your time. That is our
16 presentation.

17 THE CHAIRMAN: Thank you for that
18 interesting presentation. Does that conclude
19 everything on the socio-economic side of things
20 for Hydro? Okay, good. Oh, one question, yes.

21 MS. MAYOR: Sir, just one comment. I
22 know there was some reference by Mr. Amundson
23 earlier this morning to the traditional land and
24 resource use issues. Just for clarification, on
25 cross-examination, he's going to be returning with

1 the biophysical panel tomorrow to do an actual
2 presentation on traditional land and resource use.
3 So questions should be deferred until tomorrow
4 along those lines.

5 THE CHAIRMAN: Okay. Thanks for that.
6 Just making a note on it, I'll just be a second
7 here.

8 All right. That brings us to
9 questioning on the socio-economic presentation.
10 Just before we start that, I had a couple of
11 general comments to make. We are going to hold
12 everyone to the estimates given to the secretary
13 for this questioning. That will take us close to
14 the end of the day if we do that. We're hoping we
15 could even start on a small portion at least of
16 the next presentation. All of that to try and get
17 us back to the original schedule. We're still
18 behind, although we have made some progress in the
19 last two days.

20 I wanted to thank the intervenors,
21 variety of intervenors actually yesterday for
22 their cooperation in helping us to regain some of
23 that time. So that was much appreciated. So
24 thank you all.

25 And just a reminder of a couple of

1 things that were mentioned yesterday. One is, we
2 would ask the intervenors to concentrate on the
3 questions. There will be time during each of your
4 presentation to make statements, observations and
5 conclusions. So if we could concentrate on
6 getting to the questions in this exercise. And
7 then on the alternative side to Manitoba Hydro and
8 the panel, I know it's a different panel today,
9 but if you could provide the answers as quickly as
10 you can, and if the answer takes additional time
11 to produce, if you could move on, take that under
12 advisement and move onto the next question, and
13 then provide that information once you have put it
14 together. That can be even during the same
15 session or at a later time.

16 All right. Thanks. And I believe
17 we're starting today, I'll just double-check here,
18 I believe we're starting today with Dakota Plains.
19 Is that your expectation?

20 MR. MILLS: I'm ready.

21 THE CHAIRMAN: Okay. Thanks. Sorry,
22 for the record that will be Mr. Warren Mills.

23 MR. MILLS: I'm not ready, sir, can I
24 go at the end?

25 THE CHAIRMAN: Sorry, what was the

1 nature of the issue there?

2 MR. MILLS: I don't have one photo.

3 MS. JOHNSON: If he wants to go to the
4 end, that's fine.

5 THE CHAIRMAN: All right, we'll move
6 you to the end.

7 Okay. That brings us next in the
8 order, that will be the Consumers Association of
9 Canada. Are you ready to go? Apparently they
10 have switched with MMF, so we'll turn to MMF next,
11 and that will be Ms. Strachan.

12 MS. STRACHAN: Good morning.

13 So I'm going to focus my questions on
14 two of the presentations, the visual quality
15 presentation and the community health
16 presentation. So I'm going to start with visual
17 quality, so I would invite Mr. Bohlken -- did I
18 pronounce that right?

19 MR. BOHLKEN: Yes, you did.

20 MS. STRACHAN: Okay. I would invite
21 you, Mr. Bohlken, to answer these questions.

22 So I note on page 17-9 of the EIS, it
23 states that:

24 "Only viewpoints ranked as moderate
25 and high were included in the effects

1 assessment because these were
2 determined to be the viewpoints of
3 greatest concern to residents, First
4 Nations and Metis and stakeholders."
5 So from this I understand that the moderate and
6 high priority viewpoints were determined through
7 consultation with the residents, First Nations and
8 Metis and other stakeholders; is that correct?

9 MR. BOHLKEN: Well, it results from
10 engagement were factored into the engagement that
11 was undertaken at that time, as well as, as I
12 mentioned in my presentation yesterday, other
13 research, secondary research on, for example,
14 recreation sites. So, yes, those stakeholders,
15 First Nations and Metis, to the extent that
16 information was available during engagement, was
17 factored into the selection of viewpoints.

18 MS. STRACHAN: Thank you. That
19 actually takes me right to my next question which
20 is, when I look at the description of the priority
21 viewpoints, so those were the viewpoints that were
22 carried through to be assessed, in the description
23 above that on the EIS, which is on page 17-40, I
24 didn't see any mention of First Nation or Metis.
25 So I'm wondering, can you clarify if any of the

1 priority viewing areas were those that were
2 identified by First Nation and Metis peoples?

3 MR. BOHLKEN: Okay. Just a minute.

4 MS. BRATLAND: What page number was
5 that again?

6 MS. STRACHAN: I believe it's 17-40,
7 there is the chart of the I think 14 priority
8 views. Sorry, I believe I gave you the wrong page
9 number.

10 MR. BOHLKEN: So we didn't, from the
11 results of the engagement, we didn't have
12 identified viewpoints I believe from First Nations
13 or Metis, so they are not reflected in this list.

14 MS. STRACHAN: So none of the priority
15 viewpoints that were carried through to assessment
16 were viewpoints that were deemed of importance to
17 First Nation or Metis peoples?

18 MR. BOHLKEN: As I said, there weren't
19 any viewpoints that were identified by First
20 Nations and Metis as deemed of importance, so we
21 didn't have that information to inform this list.

22 MS. STRACHAN: Thank you. And so is
23 it fair to say that it could be difficult to
24 evaluate the impact on First Nations and Metis use
25 of the land through picking sort of static

1 viewpoints, when the use of the land is not sort
2 of a person standing in one place, gazing in one
3 direction, as it would be for a resident that
4 doesn't want to see a transmission line through
5 their front window? Would you acknowledge that
6 there is a difference between those two?

7 MR. BOHLKEN: Okay. So in this
8 section we looked at, the assessment was on visual
9 quality and not on use of the land. So I think
10 that if your question is regarding traditional
11 land use, that wouldn't have been addressed in
12 this section.

13 MS. STRACHAN: My question isn't so
14 much on traditional land use, but on the
15 interaction between visual quality and traditional
16 land use. And I'm just wondering how that
17 interaction is captured in your evaluation of
18 visual quality, or if it is?

19 MR. BOHLKEN: Well, so one of the
20 criteria that we looked at was visual sensitivity
21 class, and this was briefly brought up yesterday,
22 and that includes, for example, the nature of the
23 view, the biophysical criteria that informs the
24 view. So to that extent, and that we did, we
25 considered what information that we got back from

1 engagement and brought that forward into our
2 analysis. It could have helped inform it, but
3 specifically related to say issues of importance
4 to visual quality from First Nations and Metis, we
5 didn't have that specific information to inform
6 the assessment.

7 MS. STRACHAN: So I just want to note
8 that in chapter 16, which is the traditional land
9 and resource use chapter, it points you to chapter
10 17, visual quality, where it says that, it
11 recognizes that the physical presence of the
12 transmission line during operation and maintenance
13 may deter TRLU. Then it says see chapter 17,
14 visual quality. I then went and saw chapter 17
15 and I couldn't really figure out where that was
16 dealt with in chapter 17.

17 MR. BOHLKEN: Could I perhaps explain
18 that a little bit?

19 So in chapter 17, the assessment is
20 more about the actual physical presence, to what
21 extent does the transmission line occupy a field
22 of view from particular viewpoints. What is the
23 prominence of the transmission line? So that is
24 the focus of the visual quality section.

25 And Butch, do you want to talk about

1 how that's interpreted in the traditional land
2 use?

3 MR. AMUNDSON: Yes. The traditional
4 land and resource use acknowledges that the
5 presence of the transmission line, the towers and
6 the conductors presents an alteration of the
7 experience of land and resource, traditional land
8 and resource use.

9 MS. STRACHAN: Okay. But that wasn't
10 dealt in any direct way in chapter 17 is what I
11 understand?

12 MR. BOHLKEN: That's correct.

13 MS. STRACHAN: Thank you. I just have
14 a couple more questions on visual quality, and
15 this relates to the resilience assessment that was
16 made. And this is the one that was on page 17-40.
17 I'm sorry about my incorrect reference earlier.
18 And on that page, it talks about how the local
19 assessment area was deemed to be moderately
20 resilient to further visual disturbance. And I'm
21 wondering, was ATK or Aboriginal worldviews
22 considered when you came to that conclusion on the
23 resilience of the landscape to further
24 disturbance?

25 MR. BOHLKEN: Okay. So resilience is

1 one of the characterization criteria, it's for
2 socio-economic context that's presented in 17-7.
3 When we prepared the characterization criteria, we
4 were informed by a variety of information
5 including, you know, our practices from previous
6 assessments and information that we had obtained
7 through, for example, by examination of other
8 environmental assessments, ATK studies and results
9 of engagement. So I would say that as a general
10 statement, yes, not necessarily specifically
11 reflecting -- was it, did you say an Aboriginal
12 worldview?

13 MS. STRACHAN: Yes. And I ask that
14 because I believe in previous panels I had asked
15 about the consideration of Aboriginal worldviews
16 in characterizing residual effects, and also in
17 characterizing significance thresholds. And I
18 believe the answer was that there was some
19 awareness of general concerns around cumulative
20 effects, and sort of the overall alteration of the
21 landscape as sort of being already past a
22 threshold of significance. So that's why I also
23 asked about Aboriginal worldviews, as well as sort
24 of the specific ATK that you have.

25 MR. BOHLKEN: Yeah, okay. Did I

1 answer your question?

2 MS. STRACHAN: I think so, but I'm
3 just going to ask one more follow-up.

4 MR. BOHLKEN: Okay.

5 MS. STRACHAN: So I note that there's
6 sort of three points listed there on that page,
7 17-40, that were considered in coming to this
8 characterization of moderate resilience. And one
9 of those was the importance of visual quality to
10 residents' quality of life, current and future
11 residential development, recreational
12 opportunities and tourism, and then also
13 topography and vegetation. So those three things
14 were specifically considered, but not ATK or the
15 importance of visual quality to Aboriginal users.
16 Is that correct?

17 MR. BOHLKEN: Well, again, we did look
18 at ATK studies to try to understand if there were
19 additional factors that could be incorporated. So
20 these are the factors that I guess generally
21 reflected the feedback as well as, feedback from
22 engagement as well as professional opinion on
23 issues that could be of importance.

24 MS. STRACHAN: Thank you. So I think
25 those are all my questions on visual quality. I

1 just have a few questions about community health.
2 And so I believe Mr. Amundson would be the
3 appropriate person because I'm going to focus on
4 First Nation and Metis health.

5 So I note that in the EIS, and this is
6 on page 19-29, it recognizes that health from many
7 Aboriginal people is wider than just measures of
8 mortality and morbidity. And so it states that,
9 for example, the ability to access the land and
10 participate in traditional activities is an
11 important support for positive health. And so
12 would you agree that it's not only access and
13 availability of resources, but also the condition
14 under which the land can be accessed or used that
15 is important to Aboriginal health?

16 MR. AMUNDSON: Yes. We acknowledge
17 that the experience of practising traditional land
18 and resource use is an important component of
19 that.

20 MS. STRACHAN: And so on slide 13 of
21 your presentation, I believe it gives one of the
22 main conclusions around First Nations and Metis
23 health. And it states that:

24 "Changes in harvested food
25 availability in the RAA due to the

1 project is negligible. No acute or
2 chronic First Nations or Metis health
3 outcomes are predicted due to the
4 project."

5 So that's your basic conclusion, that the effect
6 on First Nation and Metis health was not
7 significant because changes in harvested food
8 availability, there wasn't going to be much change
9 in the availability of those resources?

10 MR. AMUNDSON: The EIS does state that
11 there will be a potential reduction in the
12 consumption of country foods and the use of --
13 availability of country medicines, but I'm going
14 to leave it to Mr. Bohlken to answer based on the
15 health part of that.

16 MR. BOHLKEN: Okay. So with respect
17 to the significance determination, the two
18 criteria that we had for significance, as I had
19 mentioned in my presentation, were first off the
20 project would cause an exceedance in available
21 capacity or substantial decrease in the quality of
22 healthcare, infrastructure and services; or
23 second, the project causes physical or mental
24 health changes that are irreversible and
25 detectable at a population level.

1 So for one of those significant
2 thresholds to be exceeded, the change in
3 availability of traditional food stuffs would need
4 to result in a health consequence that would be
5 detectable at the population level. And based on
6 the work that we did in consideration of the
7 extent of clearing of the right-of-way, for
8 example, in relation to the potentially available
9 areas for harvesting and food stuffs, and then as
10 it translates into diet and food security, for
11 example, that could result in a health effect -- I
12 am sorry if that's a bit of a drawn out
13 sentence -- our conclusion is that on a population
14 level that would not occur.

15 MS. STRACHAN: Thank you. That was
16 very helpful. And that really gets at my
17 question, because I was trying to understand, on
18 this slide the last point acknowledges that there
19 could be a perception in the change of experience
20 of traditional land use that might cause First
21 Nation and Metis to avoid certain areas where the
22 transmission line is present or where they can see
23 the transmission line. And so what I'm hearing
24 from you is that you looked at access and
25 availability of country foods and medicines, but

1 you didn't look at sort of the impact of this
2 perception or of avoidance behaviours that might
3 be caused by the transmission line, and whether or
4 not that might have an effect on First Nations and
5 Metis health. Is that a fair characterization?

6 MR. BOHLKEN: Okay. Well, I can
7 handle part of that. So we did look at, consider
8 stress and annoyance as one of the effects of the
9 project. And these don't need to be related to,
10 you know, actual measurable affecters, so to
11 speak, but could be due to perceptions. You are
12 changing, in some non-measurable fashion could be
13 change in experience, for example. To the extent
14 that these contributing factors result in stress
15 and annoyance, that's acknowledged, and so that is
16 addressed in that section.

17 MS. STRACHAN: I'm sorry to cut you
18 off. The stress and annoyance I didn't think was
19 addressed specifically under Aboriginal and Metis
20 health, sort of tied specifically to this change
21 in the experience of traditional land use. I
22 thought that was sort of a separate section.

23 MR. BOHLKEN: Okay. So that's
24 correct. It's a broader topic, yes.

25 MS. STRACHAN: I'm sorry to cut you

1 off, you can sort of finish your thought there.

2 MR. BOHLKEN: I just wanted to
3 conclude. So that, at least the stress and
4 annoyance was addressed as one of the effects in
5 the section. And maybe, Butch, on the experience?

6 MR. AMUNDSON: To expand on the idea
7 of availability, especially availability -- and
8 perhaps -- I hope I can express it clearly -- the
9 perceived, or the alteration of the experience of
10 traditional harvesting, if that results in a
11 harvester avoiding an area, that actually is a
12 reduction in the availability of the resource if
13 they choose not to go to that place. So that does
14 affect availability as well.

15 MS. STRACHAN: And I'm sorry, I didn't
16 really get that from reading this section. Is
17 that explicitly addressed somewhere that I missed?

18 MR. AMUNDSON: It's probably more
19 fully provided in the context of the traditional
20 land and resource use study that I'll be
21 presenting tomorrow.

22 MS. STRACHAN: But not explicitly tied
23 to any health effects that might come from this
24 alteration in experience or avoidance behaviours.

25 MR. AMUNDSON: I defer the answer of

1 that question to Frank, with the exception of that
2 we're talking here about individual choices,
3 whereas the health effect is regarding population,
4 population health.

5 MR. BOHLKEN: Okay. So I'm now going
6 to be quoting from page 1955 and 1954, so I'm just
7 going to read a quote from the EIS that will
8 hopefully help inform your question.

9 "According to the traditional
10 knowledge reports provided by the
11 Roseau River Anishinaabe First Nation
12 and the Black River, Long Plain and
13 Swan Lake First Nations, these First
14 Nations reported close connection with
15 the land and active engagement in
16 traditional and cultural activities,
17 including hunting, trapping, fishing
18 and harvesting of subsistence foods
19 and traditional medicines. However,
20 the extent to which communities
21 participate in these activities is
22 described appropriately or in general
23 terms and it is uncertain how many
24 community members rely on subsistence
25 foods from the LAA as a source of

1 nutrition or experience food
2 insecurity. The activities described
3 in the TK reports and data from the
4 First Nations food and environment are
5 not representative of all First
6 Nations engaged with the project.
7 However, based on available
8 information it is likely that the
9 project will to some degree alter,
10 interfere with access to, and
11 participation in traditional and
12 cultural activities and may contribute
13 to decreased consumption of
14 subsistence foods and traditional
15 medicines for some community members."

16 MS. STRACHAN: Thank you. That's very
17 helpful. And so on the basis then of this
18 admittedly incomplete information, low effects on
19 Aboriginal health were concluded or were predicted
20 to occur?

21 MR. BOHLKEN: That is correct.

22 MS. STRACHAN: Thank you. Those are
23 all of my questions.

24 THE CHAIRMAN: Thank you for your
25 questions and for the responses. That brings us

1 to a couple of minutes before 11:00 o'clock, so
2 we'll take our break now and be back here for
3 11:15. Thank you.

4 (Proceedings recessed at 10:58 a.m.
5 and reconvened at 11:14 a.m.)

6 THE CHAIRMAN: All right. Welcome
7 back everyone, and thanks for being timely. We're
8 going to move back to the original order and catch
9 up with Dakota Plains. And Mr. Mills, I
10 understand we've got the picture up now?

11 MR. MILLS: We do, yes.

12 THE CHAIRMAN: Okay, good. So
13 Mr. Mills.

14 MR. MILLS: Thank you, Mr. Chairman,
15 thank you panel. We appreciated your
16 presentation.

17 We have three points we'd like to
18 touch on, and Mr. Chairman, we'll try and be
19 brief. I don't remember which panel member made
20 the reference, but with regards to herbicide, I
21 heard the statement Manitoba Hydro will advise
22 indigenous and Metis people prior to herbicide
23 use, and then the discussion moved on. Does
24 anyone remember who made that statement?

25 DR. LEECE: Yeah, it's Bryan Leece. I

1 would have made that statement as part of the
2 human health risk presentation.

3 MR. MILLS: Thank you. Maybe a
4 question to Maggie, will herbicide use be covered
5 in a subsequent panel or is this the place to have
6 that discussion?

7 MS. BRATLAND: That was already
8 covered by a previous panel.

9 MR. MILLS: Okay. Then the question
10 was, or the statement was made by Dr. Leece,
11 Manitoba Hydro will advise indigenous and Metis
12 prior to herbicide use. We have seen Manitoba
13 Hydro's herbicide use ads or articles in the Free
14 Press and perhaps The Sun. Can someone confirm
15 how indigenous and Metis will be advised prior to
16 herbicide use?

17 MS. BRATLAND: I'm sorry, there's no
18 one on this panel that can confirm that for you.
19 The First Nation and Metis engagement team works
20 on communication with those communities, and then
21 the vegetation management program would be
22 involved in communicating. And these assessment
23 professionals are not the appropriate people to
24 ask.

25 MR. MILLS: It was the doctor's

1 reference, but fine. Thank you.

2 With regards to visual quality,
3 Mr. Bohlken, is that correct?

4 MR. BOHLKEN: Yes, it is.

5 MR. MILLS: Thank you. I have never
6 met a last name I couldn't mangle, sir, so I'm
7 going to call you Frank. With regards to the
8 visual assessment you provided us with, did you
9 model any other tower types in your assessment?

10 MR. BOHLKEN: No.

11 MR. MILLS: Did you model any other
12 galvanized finishes such as any dulling
13 techniques?

14 MR. BOHLKEN: No.

15 MR. MILLS: Did you model any other
16 conductor configurations or conductor diameters?

17 MR. BOHLKEN: No.

18 MR. MILLS: Did you model any other
19 tower heights?

20 MR. BOHLKEN: No.

21 MR. MILLS: Did you model any other
22 tower spacing?

23 MR. BOHLKEN: No.

24 MR. MILLS: Thank you.

25 Trevor, could that slide come up?

1 Thank you very much.

2 This is a photo that I took on the
3 Bipole III right-of-way. That photo represents
4 Manitoba Hydro's slash burning protocol and that
5 slash represents about 2 hectares, 2 to 3 hectares
6 of the line.

7 Dr. Leece, in your slide of health
8 risks during construction, you made mention to
9 vehicle emissions and dust. Did you ever consider
10 the effect of slash burning on air quality and
11 health?

12 DR. LEECE: The effect slash burn was
13 not included in the air quality assessment.

14 MR. MILLS: Thank you. We heard
15 Mr. Matthewson, I believe, indicate that there may
16 be as many as 500 hectares of right-of-way
17 clearing required through bush and forest, and we
18 heard Mr. Penner indicate that slash burning may
19 well be a solution that Hydro chooses.

20 Dr. Leece, would you agree with me
21 that if that takes place times 250 times, which
22 would be that representing 2 hectares, and
23 Manitoba Hydro indicating they may clear as many
24 as 500 hectares, would you agree with me that
25 there may well be a measurable change in air

1 quality within the area while the work takes
2 place?

3 DR. LEECE: There are a couple of
4 things to remember, that not all of that
5 500 hectares would be burned.

6 MR. MILLS: Do you know that, sir?

7 DR. LEECE: Yes. The other thing --

8 MR. MILLS: Excuse me, I just want to
9 focus on that point. Can you indicate to us what
10 amount of slash burning will take place?

11 MS. BRATLAND: I'm just going to jump
12 in on that. The 500 hectares of cleared area, we
13 cannot estimate exactly how much would require
14 burning, where that burning would happen, as we do
15 have commitments to landowners that if they would
16 like to retain the timber that is cut on their
17 lands, that arrangements will be made for that.
18 So at this point it's difficult to estimate
19 exactly how much would be burned, but I feel
20 fairly confident in saying that it would not be
21 the entire 500 hectares.

22 MR. MILLS: With respect, Maggie,
23 wouldn't that be to another panel, as you
24 previously indicated on another issue?

25 But to carry on, Dr. Leece, the

1 Provincial Government makes the following
2 statement.

3 "Smoke from burning crop residue
4 affects people's health, road safety
5 and the environment."

6 Would you agree with me that that same
7 statement would hold for smoke from burning slash
8 residue?

9 DR. LEECE: That would depend on where
10 the burning occurs and what the potential for
11 people to be exposed to it is. If this was right
12 next to a residential development, then yes. If
13 this is out in rural areas where there is nobody
14 around, the answer would be no.

15 MR. MILLS: Would you agree with me
16 that if it was a condition of this licence that
17 instead of burning slash, Manitoba Hydro made
18 every effort to use the biomass productively and
19 to mulch the remainder, that the risk to localized
20 air quality would be reduced?

21 DR. LEECE: Without doing more
22 investigation, I cannot agree or disagree with
23 that.

24 MR. MILLS: Mr. Chairman, we have no
25 further questions. Thank you.

1 THE CHAIRMAN: Thank you very much for
2 those questions and the responses from Manitoba
3 Hydro.

4 So we're now moving to Southern
5 Chiefs' Organization, I think we're back onto our
6 rotation now. So we'll move onto the Southern
7 Chiefs' Organization and Mr. Beddome.

8 MR. BEDDOME: Thank you very much,
9 Mr. Chair. James Beddome for the record. I want
10 to also thank the panel for being here today. I
11 should only take, I don't think I should take too,
12 too long today. But first I just wanted to
13 acknowledge and wanted to thank counsel for
14 Manitoba Hydro, in their opening statements, for
15 referring to the Truth and Reconciliation
16 recommendations, and I just want to put on record
17 recommendations 19 and 22. And it will relate to
18 my first question, and that's 19:

19 "In consultation with Aboriginal
20 peoples to establish measurable goals
21 to identify and close the gaps in
22 health outcomes between Aboriginal and
23 non-Aboriginal communities, and to
24 publish annual progress reports and
25 assess long-term trends. Such efforts

1 would focus on indicators such as
2 infant mortality, maternal health,
3 suicide, mental health, addictions,
4 life expectancy, birthrates, infant
5 and child health issues, chronic
6 diseases, illness, and injury
7 incidents, and the availability of
8 appropriate health services."

9 And then at 22:

10 "To recognize the value of Aboriginal
11 healing practices and use them in the
12 treatment of Aboriginal patients in
13 collaboration with Aboriginal healers
14 and elders where requested by
15 Aboriginal patients."

16 So given all of the foregoing, and the
17 that Manitoba Hydro has acknowledged their
18 responsibility, is Manitoba Hydro willing to make
19 a commitment that they are going to implement
20 these recommendations in their Health Impact
21 Assessment? Are they going to commit to annual
22 progress reports and recognizing Aboriginal
23 healing practices?

24 MS. BRATLAND: With respect to your
25 comments, Mr. Beddome, I think that's -- sorry,

1 Mr. Bedford.

2 MR. BEDFORD: Mr. Beddome also should
3 remind the panel, as I reminded your panel, that
4 some of these recommendations are directed to the
5 Federal Government. So I believe he's quoted from
6 two recommendations, they are recommendations to
7 the Federal Government, not to Manitoba Hydro.

8 MR. BEDDOME: That's a fair point,
9 Mr. Chair. Although I think they provide some
10 guidance and my question is specific to what
11 Hydro's practices would be.

12 THE CHAIRMAN: Mr. Beddome, so
13 accepting the fact that these are recommendations
14 to the Federal Government, is Hydro objecting
15 further to the question, notwithstanding the fact
16 that it was a recommendation to the federal
17 government?

18 MR. BEDFORD: If Mr. Beddome wants to
19 rephrase the question and ask my client's
20 witnesses on the subject of indigenous health and
21 this project, what the plans are, what the plans
22 aren't, that would become perhaps relevant to the
23 work that you have to do.

24 MR. BEDDOME: Sure. Perhaps I can try
25 to be a bit more specific.

1 Mobile health clinics were mentioned,
2 and it was also discussed how Manitoba Hydro is
3 going to work to employ as many indigenous people
4 as possible. And my client thanks you for that
5 and hopes that that's sincere.

6 Question being, at these mobile health
7 clinics, will there be Aboriginal healing
8 practices available to indigenous employees? Give
9 me one specific example.

10 MS. BRATLAND: I think through our
11 ongoing First Nation and Metis engagement program,
12 if we hear that that's something important to the
13 communities or individuals that are employed on
14 the project, that we would certainly take that
15 under advisement.

16 MR. BEDDOME: And in terms of annual
17 reporting, is there going to be some reporting
18 that's going to deal with health outcomes, and in
19 particular the differences between Aboriginal and
20 non-Aboriginal communities?

21 MR. BOHLKEN: So the question was on
22 annual reporting, I think, of health outcomes.
23 And really for a transmission line construction
24 project, and that's what we're looking at here,
25 we're assessing potential changes and effects

1 really from construction activities are going to
2 be fairly short-term in duration and, again,
3 fairly spatially spread out. And it doesn't
4 really lend itself to doing monitoring activities,
5 for example, to be able to monitor for changes in
6 outcomes, again, due to the short duration of the
7 construction activities.

8 MR. BEDDOME: Thank you for that. And
9 just one further question to that which is, you
10 determine the impacts on local hospitals and
11 health centres would be not significant based on
12 the small size of the employment of how many
13 people would be employed on the project.

14 However, in the worst case scenario,
15 which we need to consider in this type of
16 assessment, if there was, you know, a considerably
17 catastrophic accident, and I hope that never
18 happens -- but how many injuries, like if you
19 had -- you know, did we do an assessment, if there
20 were 10 injuries or 20 injuries, at what point
21 would the local health services be overwhelmed
22 and, therefore, that impact would become
23 significant?

24 MR. BOHLKEN: Well, to answer that
25 question, we looked at the average, and I'm going

1 to get the information in a second, but we
2 considered the information on heavy construction
3 injury rates and we multiplied that by the size of
4 the workforce to calculate an estimated injury
5 rate. And this would be, again, it was in the
6 order of magnitude of, well, not -- fairly low,
7 and much lower than would result in any change in
8 effects on community health services.

9 MR. BEDDOME: If I could follow up
10 with that. You were taking a look at average
11 rates of injury in the heavy construction
12 industry, looking at the number of employees, and
13 you were getting a determination that way, which
14 would get you an average; correct?

15 MR. BOHLKEN: Well, that would get us
16 the -- again, based on average construction rate
17 injury rate, so it's, again, based on broad
18 statistical basis for construction activity in
19 Manitoba.

20 MR. BEDDOME: And I hear you on that,
21 that's the average. And my question is, what if
22 the numbers came in well above the average? And
23 you know, I don't want to foreshadow anything
24 terrible, but let's say you're doing a helicopter
25 delivery and a number of people get injured,

1 something completely catastrophic that none of us
2 would hope for, then the averages are probably
3 going to be skewed, especially with a small
4 workforce. So at what point, how much above the
5 average do we have to go at which point that
6 effect becomes significant?

7 MR. BOHLKEN: I'm just going to again
8 read from the significance threshold that we're
9 using here.

10 MR. BEDDOME: Can you just give me a
11 page reference when you refer to it, just so I can
12 go back and look at it later? Thank you.

13 MR. BOHLKEN: Okay. So the first part
14 of the significance threshold is that the project
15 results in exceedance of available capacity or a
16 substantial decrease in quality of healthcare
17 services, health infrastructure or services.

18 In this hypothetical situation, there
19 again considering that, as I mentioned earlier,
20 the maximum size of the workforce is 175 persons
21 of which 80 would be employed on the transmission
22 line, the new transmission line right-of-way. In
23 consideration that in the scenario you mentioned
24 that there are, first of all, multiple health
25 services available in reasonable proximity to the

1 project, including those in Winnipeg, there would
2 be provisions for emergency evacuation as part of
3 the emergency response plan. So yes, the
4 significance conclusion would still hold in that
5 scenario.

6 And the reference was at the bottom of
7 1921 of the EIS for the significance threshold.

8 MR. BEDDOME: Okay. And thank you for
9 that. Just if I understood you correctly, so
10 let's take it one step further, this is almost
11 unlikely, would probably never happen, but all 80
12 people employed on the transmission line get
13 injured, you figured still it would not be
14 significant because there's enough health services
15 that could absorb all 80 of those injuries?

16 MR. BOHLKEN: Highly unlikely
17 scenario, we would feel that the health services
18 within, again, proximity to the project would
19 still be able to handle, you know, the response.

20 MR. BEDDOME: Thank you. I appreciate
21 that. I think I have one more question for you
22 and then I'll probably be turning over largely to
23 Dr. Leece. Maybe two more, I'm a typical lawyer.

24 The first one is just, how do you --
25 you talked a bit about aesthetic impact. How do

1 you quantitatively measure or define aesthetic
2 impact?

3 MR. BOHLKEN: It's a good question.
4 Aesthetics is subjective. And what might be of
5 importance to one individual might be different
6 for somebody else.

7 So what we do in the methods that are
8 outlined in the section is we, first of all, we
9 try to characterize what the view is going to look
10 like from a couple of different criteria. One is
11 the visual sensitivity which is composed of, well,
12 what is the view looking at, what is the sort of
13 amount of heterogeneity, what are the aesthetic
14 values, what is the viewer condition, who is
15 there, how frequently would people likely be
16 looking at the view? So we're looking at it from
17 that perspective. We're also looking at it from
18 the extent of built interventions in the
19 landscape, so how has it changed by, for example,
20 infrastructure buildings and so forth?

21 So, through those baseline
22 measurements we're trying to describe the view in
23 a manner that we could then take forth in the
24 assessment and assess how a change that would
25 result from project infrastructure, for example,

1 could affect those aesthetic characteristics.

2 MR. BEDDOME: Thank you for that. I
3 appreciate that. So I gather it's subjective,
4 it's a little bit of beauty is in the eye of the
5 beholder would be a fair way of saying it?

6 MR. BOHLKEN: Again, so what we have
7 done here is we have used methodology that breaks
8 down the view, you know, based on a set of
9 criteria that we could then take forth into an
10 assessment so it is not, you know, purely just a
11 subjective, I like what I see kind of analysis.

12 MR. BEDDOME: And how do you deal with
13 differing views on aesthetics, though? Let's say,
14 you know, one group or one segment says this is
15 beautiful, the other one says it's hideous and
16 vice versa, how do you balance those competing
17 subjective preferences in your model?

18 MR. BOHLKEN: So first of all, the
19 model is -- the analysis is based on a couple of
20 things. There is extensive work done on this in
21 British Columbia by the Ministry of Forests in
22 their visual landscape inventory, and they
23 developed substantive methodology to try to
24 characterize change in views from, for example,
25 clear-cut logging. That type of methodology which

1 is not, there's no equivalent in Manitoba, is
2 based on a number of considerations, including
3 those that came from your preference research.

4 MR. BEDDOME: And in terms of viewer
5 preference research, that includes First Nations,
6 Metis and other indigenous groups; correct?

7 MR. BOHLKEN: Well, that would
8 include, you know, the viewer preference based on
9 feedback that was brought into that development of
10 that methodology.

11 MR. BEDDOME: And there will be
12 continuing opportunities for feedback that will be
13 incorporated into that planning with regard to
14 aesthetics?

15 MR. BOHLKEN: Just excuse me a moment.

16 Yes. So going forward, as I mentioned
17 yesterday in the presentation, that there are
18 opportunities for, for example, tower spotting to
19 make changes in placing the towers that could be
20 informed by ongoing engagement with First Nations,
21 Metis and the public.

22 MR. BEDDOME: Thank you very much.

23 This next one is kind of a general
24 question for the panel, but it's probably
25 particularly important for Mr. McLeod and

1 Dr. Leece, but perhaps others can respond.

2 Ms. Pastora addressed this, the famous quote by
3 Donald Rumsfeld. We'll see if I can do a terrible
4 job reading it too.

5 "There are known knowns, these are
6 things we know that we know. There
7 are known unknowns. That is to say
8 these are things that we know we don't
9 know, but there are also unknown
10 unknowns. There are things we don't
11 know we don't know."

12 Would you all agree with that as sort of an
13 accurate statement of uncertainty and risk in the
14 three categories thereof?

15 DR. LEECE: Yes. There certainly are
16 uncertainties in the risk assessment process.
17 That's why it uses what's called the precautionary
18 principle and is deliberately designed to
19 overestimate exposures, thereby overestimating
20 risks. And it's designed to do that so that you
21 don't underestimate risks. Saying you've got a
22 problem when you don't is okay. Saying you don't
23 have a problem when you do is not.

24 MR. BEDDOME: Thank you very much,
25 Dr. Leece. Just a quick follow-up on that. But

1 there is also the challenges out there of the
2 unknown unknowns, the things we don't know we
3 don't know, and there's almost no way of
4 controlling for that; correct?

5 DR. LEECE: No, that's not correct.
6 In a risk assessment process there are ways of
7 controlling for that. You can assume that country
8 food consumption rates are far higher than they
9 possibly could be. There are a number of other
10 things that you can do to deliberately
11 overestimate. And that's why the process is
12 designed the way it is.

13 MR. BEDDOME: Okay. And Mr. McLeod,
14 probably you'll be lucky, this is the only
15 question I'll have for you today. I'll have more
16 for you tomorrow, further to comments earlier
17 today. But would you agree with that sort of
18 statement of uncertainty and risk, as put out by
19 Mr. Rumsfeld?

20 MR. MCLEOD: In my presentation I did
21 say there is the potential for unknown heritage
22 resources. But we have procedures in place, let's
23 say, to address those unknown through examination
24 of tower locations and then actually going to look
25 at that area, and the CHRPP program that's set up

1 as part of the monitoring.

2 MR. BEDDOME: Fair enough. Thank you
3 very much.

4 Dr. Leece, you have your Ph.D. from
5 Guelph University; correct?

6 DR. LEECE: That's correct.

7 MR. BEDDOME: And bear with me. And
8 before that you got a Bachelor in Science Honours,
9 also at the University of Guelph?

10 DR. LEECE: That's correct.

11 MR. BEDDOME: You graduated in 1986?

12 DR. LEECE: Yes.

13 MR. BEDDOME: You had to think about
14 that.

15 DR. LEECE: It was a while ago.

16 MR. BEDDOME: I was three years old at
17 the time.

18 All right. I also note when I look at
19 your job experience, you do have a considerable
20 amount of job experience. The vast majority of it
21 has been with industry, though, you have been
22 working for mines or a variety of development
23 proponents, generally speaking. Would that not be
24 correct?

25 DR. LEECE: That would be correct for

1 the last several years. My first 11 years was
2 actually spent with the Ontario Ministry of the
3 Environment, working in what was called the
4 Standards Development Branch, actually setting
5 environmental criteria.

6 MR. BEDDOME: Thank you for that.

7 DR. LEECE: I have also worked
8 extensively with government agencies while in
9 consulting, Health Canada being one of them. We
10 have done some tox work, toxicological support
11 work for Health Canada over the years. So
12 recently, yes, recently the experience has been
13 with environmental assessments, but it doesn't
14 categorize accurately my entire work experience.

15 MR. BEDDOME: Thank you very much for
16 that.

17 Now, could I have you turn to page
18 18-34 in the EIS? And actually it might go back
19 to 18-33 as well, but I think 18-34 is the most
20 relevant. Do you have the page?

21 DR. LEECE: I believe I have the
22 pages, yes.

23 MR. BEDDOME: Okay. Now, just to be
24 clear, and some of these questions I'm going to
25 ask are going to deal with herbicides. You are

1 the one who would have been responsible for doing
2 the health and safety impacts with respect to
3 herbicides; correct?

4 DR. LEECE: No, that's not correct.
5 What we did in the Human Health Risk Assessment
6 was evaluate the potential exposures for people,
7 not workers, so for people who would be using the
8 right-of-way and their exposures to herbicides as
9 a result of the vegetation management plan. So it
10 wasn't occupational health and safety work or
11 health and safety.

12 MR. BEDDOME: Sure. Okay. But you
13 analyzed the health risk with respect to the use
14 of herbicides?

15 DR. LEECE: Yeah, for traditional
16 users and for recreational users of the
17 right-of-way.

18 MR. BEDDOME: And that's why I
19 referred you to 18-34. And I'm going to be
20 terrible, I'm not a toxicologist, right, so I'm
21 going to do a terrible job, I'm sure, pronouncing
22 some of these chemicals. But you go through the
23 major pesticides that are expected to be used,
24 that's Garlon XRT, as well as Aspect herbicide.
25 You note the active ingredients in Garlon XRT as

1 triclopyr, I'm probably saying it wrong, and 2,4-D
2 with respect to Aspect herbicide; is that correct?

3 DR. LEECE: That's correct, that's the
4 information we had at the time.

5 MR. BEDDOME: That's the information
6 you had at the time. Thank you. That's
7 important. I do want to return to that.

8 Now, if we go down just above 18.5.32,
9 there's a paragraph, where you summarize some of
10 the health risks with respect to 2,4-D, correct?

11 DR. LEECE: That's correct.

12 MR. BEDDOME: And basically, is it
13 fair to say that the summary of that conclusion
14 is, Health Canada said it's safe, so we think it's
15 safe?

16 DR. LEECE: That's fair. Health
17 Canada does the evaluations and the PMRA provides
18 the regulatory certifications for herbicide use in
19 Canada.

20 MR. BEDDOME: So you entirely rely on
21 Health Canada's studies with respect to health
22 concerns?

23 DR. LEECE: That's correct. All of
24 the federal and provincial agencies rely on Health
25 Canada as well.

1 MR. BEDDOME: Now I want to kind of
2 return back to the known unknowns. Wasn't there a
3 time when the advertising slogan was, DDT is good
4 for me. And then at some point we determine later
5 down the road that, in fact, there are a lot of
6 impacts, both to wildlife, to humans, et cetera,
7 that we weren't aware of at the time. That would
8 be a risk that we would be in line, you referenced
9 the precautionary principle earlier, that would be
10 a fair statement, would you agree with -- I didn't
11 phrase it too well. Let me put it, in the past we
12 have thought certain herbicides or chemicals are
13 safe for use, and subsequently we determine on the
14 basis of further evidence that they are not in
15 fact safe to use.

16 DR. LEECE: That would be an accurate
17 statement for how things were done in the late
18 1960s. It's certainly not an accurate statement
19 for how things are done now. The PMRA goes
20 through some very, very rigorous review of the
21 information on herbicide environmental transport
22 toxicology. They couple that with work that's
23 done with the U.S. EPA. So the assessment of
24 these things, before they are certified for use,
25 is phenomenally more rigorous than it ever was

1 back in the period that you were referring to.

2 MR. BEDDOME: That's a fair point.

3 But it's entirely possible that we could miss
4 something that, you know, there's something that
5 we failed to study or something that we failed to
6 see, and it's entirely possible there could be
7 impacts that we don't know about?

8 DR. LEECE: It's possible. It's
9 highly unlikely, given the rigor that these things
10 go through in terms of their certification
11 process.

12 MR. BEDDOME: With respect to 2,4-D,
13 wouldn't it be fair to say that there is some
14 controversy in the toxicological community in
15 terms of what the impacts of it are or aren't. I
16 know you rely a lot on Health Canada, but there's
17 other research out there that takes the
18 alternative position. Is that not fair to say?

19 DR. LEECE: There certainly is a
20 breadth of opinion on 2,4-D, but what's missing in
21 a lot of that are considerations for application
22 rate and environmental fate. So the later studies
23 spent a lot more time looking at environmental
24 fate and transport. And that's how PMRA comes up
25 with their -- it's part of the deliberation

1 process for them.

2 MR. BEDDOME: And we're talking about
3 unknown unknowns. It's fair to say Manitoba Hydro
4 doesn't even really know how much herbicide it's
5 going to spray, or where or when it's going to
6 spray it? That would be a fair statement? I can
7 refer you to IRs where you pretty much expressly
8 say that, if you need.

9 MS. BRATLAND: I think we've covered
10 that in a previous presentation, and if you'd like
11 to pull up the IR, that would be helpful.

12 MR. BEDDOME: Sure, I can pull up the
13 IR. I was just hoping to save the panel the time,
14 but fair enough. You'll just have to bear with
15 me. I didn't think it would be controversial
16 because as you have said we have established it in
17 the past.

18 But I think if you go to Peguis First
19 Nations IR number 6, in there they make a
20 reference that they're beginning to pile the sites
21 where they wouldn't do any spraying. I think if
22 you look at Manitoba Wildlands IR 50, they
23 acknowledge that, or even CAC number 59 --
24 actually that's probably the best one, CAC IR
25 number 59, why don't we go to that one? I was

1 hoping to avoid this, but --

2 MS. BRATLAND: Okay. We have the IR.

3 MR. BEDDOME: You're faster than me.

4 MS. BRATLAND: So in line 2 of the
5 response?

6 MR. BEDDOME: Yeah. I think line 2 it
7 says:

8 "Manitoba Hydro cannot predict how
9 extensively herbicides will be used
10 for the MMTP at this time."

11 It's right there in the IR. So, you know, all I'm
12 trying to confirm is, you don't know the volume
13 that you're going to be applying, you don't know
14 how extensively, you're not really sure how much
15 you're going to, in fact, apply?

16 MS. BRATLAND: I think the important
17 point to remember is that whatever we do apply
18 will be applied within the permit, the strict
19 requirements of the permit, and that we will
20 follow all of the conditions associated with
21 those.

22 MR. BEDDOME: So as long as you follow
23 the permit, you follow the Health Canada, it's
24 tickety-boo, totally safe, not a concern at all;
25 fair to say?

1 DR. LEECE: Yeah, that would be fair
2 to say. While we may not know the absolute
3 quantities, we know through the vegetation
4 management plan how they are going to be applied.
5 We know they are going to be applied very
6 selectively. So we're not talking about a broad
7 broadcast of herbicide.

8 MR. BEDDOME: Okay. They're going to
9 be applied selectively, but we have also heard
10 certain Manitoba Hydro panels make the argument
11 that, in fact, the right-of-way could be good for
12 traditional harvesting and gathering. Let's say
13 we accept that as true, I'm not sure that my
14 client will be willing to accept that as true, but
15 if there was in fact more harvesting on the line,
16 and I want acknowledgment Manitoba Hydro has made
17 a commitment they are going to work with and
18 notify First Nations, and if there is any
19 harvesting they are not going to be applying any
20 herbicides there, but what happens if pretty much
21 the whole 30 per cent going through Crown lands,
22 First Nations say that's where we're harvesting,
23 don't spray any herbicides?

24 MS. BRATLAND: I really can't comment
25 on something that we haven't heard yet. We will

1 work with communities to understand those
2 locations and manage appropriately based on what's
3 discussed.

4 MR. BEDDOME: Thank you. Just going
5 back. Now, you have done a health assessment here
6 at 18-34, but that's based on, I think it was the
7 Aspect herbicide. But then when I cross-examined
8 Mr. Matthewson -- and I'll note I handed out a
9 couple of material safety data sheets just with
10 the different herbicides that are going to be
11 used, and I circulated them around. So you may
12 wish to refer to them. Although, let's be honest,
13 Dr. Leece, you're going to be more conversant in
14 this than me. But what was interesting was,
15 Mr. Matthewson commented that what they were
16 currently using was ClearView. And you can find
17 that at -- sorry, my numbering is hard to see but
18 it's at page 7 -- trying to save paper, call it
19 frugality, environmental concern, or the fact that
20 we've all had to strain our eyes to save paper
21 through these presentations. But if you go at the
22 very top you'll see Dow AgroSciences, ClearView
23 herbicide. And on number 3 it kind of outlines
24 some of the composition, what's in this ClearView
25 herbicide, and its active ingredient is not 2,4-D.

1 That would be correct to say; right? Halfway
2 through down page 7, it's the start of the Dow
3 AgroSciences material safety data sheet with
4 respect to product name ClearView herbicide.

5 DR. LEECE: I have that, and you are
6 right, 2,4-D is not listed as one of the
7 activities.

8 MR. BEDDOME: Okay. In your
9 assessment, now, triclopyr isn't also one of the
10 active ingredients. Did I say that right,
11 triclopyr? Am I saying that wrong? How do I say
12 that?

13 DR. LEECE: That's close enough.

14 MR. BEDDOME: Okay. I'll take that.
15 That's not listed as an active ingredient in this
16 ClearView?

17 DR. LEECE: No, it's not.

18 MR. BEDDOME: I don't see any of these
19 active ingredients being assessed or noted in this
20 section. Can you explain why that is?

21 DR. LEECE: We assessed the active
22 ingredients that we had. But the important thing
23 to remember here is that any of the herbicides
24 that are used by Manitoba Hydro are all approved
25 and registered for use by the PMRA and licensed

1 for use by the Government of Manitoba. So whether
2 or not these active ingredients are assessed, the
3 basic assessment is the same, that if they're used
4 according to their label directions, they are safe
5 for use.

6 MR. BEDDOME: So your assessment
7 didn't go into the particular active ingredient
8 used whatsoever, you just -- if it was approved it
9 was approved.

10 DR. LEECE: That's correct. We listed
11 the active ingredients for the herbicides that we
12 had information for at the time, but this relies
13 on the detailed work that's done by the PMRA for
14 licensing products for application and use in
15 Canada.

16 MR. BEDDOME: Okay. Because if you go
17 to page 1, there's the new magic formula, which is
18 this Navius VM herbicide. Let's see how bad I can
19 butcher this, its active ingredients are
20 aminocyclopyrachlor and Metsulfuron-methyl. Are
21 you familiar with those active ingredients?

22 DR. LEECE: Not as familiar.

23 MR. BEDDOME: Not as familiar?

24 DR. LEECE: But the response is the
25 same, because these have all been approved by the

1 PMRA, the PMRA will have done all of the analysis.

2 MR. BEDDOME: So even though you are
3 the toxicologist that Manitoba Hydro is putting up
4 here, you are unable to give me any answers about
5 the respective risk with respect to these
6 different active ingredients that I have
7 identified?

8 DR. LEECE: No. What I can tell you
9 is what I have told you already, is that all of
10 the underlying risk assessment work for these
11 products is done by Health Canada, it's Health
12 Canada's responsibility in conjunction with the
13 U.S. EPA. They do all of that work on the
14 proprietary information that comes from Monsanto
15 or Bayer or DuPont or whomever, and they make the
16 recommendations and they define the application
17 rates. And those application rates are set so
18 that environmental effects do not occur.

19 MR. BEDDOME: Fair enough. So you
20 could comment, so if I was to say that this Navius
21 VM herbicide was first used in 2010, would you be
22 able to confirm or deny that?

23 DR. LEECE: No.

24 MR. BEDDOME: Okay. Do you know if
25 it's recently registered, it's a more new product

1 or an older product?

2 DR. LEECE: I don't know.

3 MR. BEDDOME: Don't know. Okay. In
4 1834 you talk a bit about the two major ones, and
5 in this case you are referring to Garlon and
6 Aspect, but you say Garlon was registered in 1989
7 and Aspect was registered in 2014. If I was to
8 submit to you that Navius has been more recently
9 approved, somewhere in the 2000s rather than back
10 in the late '80s, would that be a fair assumption?

11 DR. LEECE: I can't speculate on this.

12 MR. BEDDOME: Okay. No, fair enough.
13 The reason I ask is just that if a product has
14 been approved for longer, then more than likely
15 it's been used for longer, and then it would be
16 more likely that we would have data that would
17 give us answers with respect to risks that may or
18 may not materialize, and particularly, those
19 unknown unknowns. Would that be a fair statement?

20 DR. LEECE: I'm not sure that I can
21 really respond to that appropriately.

22 MR. BEDDOME: Okay. Fair enough. I
23 appreciate your attempts to respond, and I
24 appreciate you -- I'm not a toxicologist, so I
25 really appreciate this opportunity to

1 cross-examine you and get some of this information
2 into the record.

3 The only other question I had is, it
4 would be quite probable that Manitoba Hydro may
5 change the herbicide of choice, or that it uses in
6 other situations, at some point in the future;
7 right? I mean, you assessed it on one product and
8 they have since changed between 2015 and 2016. So
9 it would be a fair assumption that the product
10 type might change again; correct?

11 MS. BRATLAND: I don't think Dr. Leece
12 can comment on the herbicide choice of Manitoba
13 Hydro. If changes were to be made to the products
14 that we use, as Dr. Leece has stated, it would be
15 only to the use of those products that are
16 permitted to be applied in Manitoba.

17 MR. BEDDOME: So if you change the
18 chemical or the active ingredients you use,
19 there's no need to do a new health assessment?

20 MS. BRATLAND: That's not what I said.

21 MR. BEDDOME: Okay. Now, maybe this
22 isn't the right panel. So if it is, then fair
23 enough. But does Manitoba Hydro use the same
24 chemical formulas or herbicides on right-of-ways
25 that are in the City of Winnipeg that they use

1 elsewhere?

2 MS. BRATLAND: I'm sorry, I think that
3 question is out of scope for this project. We are
4 not constructing within the City of Winnipeg.

5 MR. BEDDOME: Okay. Well, how about
6 the ones on the edge of the City of Winnipeg,
7 corridors running sort of around the perimeter?

8 MS. BRATLAND: In those areas,
9 herbicide application shouldn't be required
10 because it's primarily agricultural landscape.

11 MR. BEDDOME: And I think you might
12 say that I'm out of scope but I'll ask it anyway.
13 What if you're using herbicides near schools,
14 daycare centres, senior residences, do you change
15 your practices?

16 MS. BRATLAND: There are no schools or
17 daycare centres within the final preferred route.
18 And if there is a sensitive site identified, we
19 have outlined our practices associated with those.

20 MR. BEDDOME: It would be the same for
21 villages, towns, residences, shopping malls, you
22 have the same answer for that?

23 MS. BRATLAND: None of those occur
24 within the final preferred route for the project.

25 MR. BEDDOME: That's all my questions.

1 I thank you very much for your time, thank you
2 very much to the panel, thank you very much
3 Mr. Chairman and the rest of the panel.

4 THE CHAIRMAN: Thank you for those
5 questions and the responses. Give me a minute
6 here on the order. Is Peguis First Nation ready
7 to go? All right. That will be Mr. Dennis
8 Valdron.

9 MR. VALDRON: Well, good morning. All
10 right. First up I note that it's 12:10.
11 Typically we break about 12:20. I suspect I'm not
12 going to finish my cross-examination by 12:20, so
13 we'll either split my cross-examination, or we'll
14 go long, or we could possibly just break for lunch
15 now and come back?

16 THE CHAIRMAN: Normally we break at
17 12:30, and my watch, it's just a couple of minutes
18 after 12:00. So why don't we start and we'll go
19 as far as we can. Somewhere near 12:30 I'll ask
20 you roughly how much you've got, and if there's
21 still significant questioning, we'll delay it
22 until after lunch.

23 MR. VALDRON: All right. Sounds good.

24 All right. Good morning. For the
25 monitor, my name is Den Valdron representing

1 Peguis First Nation. And I've got very few
2 questions. They should be simple,
3 straightforward, you should have no difficulty
4 answering them. And hopefully, we'll be able to
5 get this all wrapped up.

6 Now, just fair warning, I've been
7 working a bit on the cross-examination, it may be
8 that some of my questions relate to biophysical
9 rather than this category. If they relate to
10 biophysical, you feel it should be dealt with in
11 the next panel, you just say so, we'll move on,
12 I'll go to town on that one tomorrow.

13 Are we ready? All right. First up,
14 I'm curious, I have seen regional RAA, regional
15 assessment area. I've also seen PDA. What's the
16 difference? Is it just the same thing used in
17 different context? Easy question I thought, you
18 know.

19 MR. BOHLKEN: So the project
20 development area is the area that the project,
21 basically would be the project's footprint, the
22 area of clearing and construction. The regional
23 assessment area, there's three spatial areas, the
24 local assessment area is the area to which there
25 would be a reasonable expectation that there could

1 be direct project effects. The regional
2 assessment area is used for two purposes. One, it
3 establishes context, broader context for which to
4 assess significance; and two, is the area within
5 which cumulative effects are likely to occur.

6 MR. VALDRON: All right. I have also
7 noticed, when going through the various powerpoint
8 presentations, there seemed to be different
9 depictions of the RAA on maps. For instance,
10 we've got that one up there, but I've also seen
11 maps which seem to depict the RAA as 15 kilometre
12 corridor on either side. Is the RAA different for
13 different purposes? I looked at Heritage
14 Resources -- seemed to cover the whole area.

15 MR. BOHLKEN: Okay. So the RAA may be
16 different between the different valued components.
17 Again, it's going back to the area within which
18 cumulative effects are likely to occur, as well as
19 an area that could be used to establish context
20 for significance determination. And that can vary
21 between valued components.

22 MR. VALDRON: All right. Thank you.
23 Okay. Now, moving on a little bit, I found myself
24 interested in some discussion of, some mentions of
25 shelterbelts. So I hadn't come across the

1 references to shelterbelts there. Can you tell me
2 a little bit more about this, just trying to frame
3 it out for me? Where are these shelterbelts going
4 to be? What are you going to be planting? Will
5 this have possible effects on wildlife or
6 traditional use?

7 MS. BRATLAND: It would help us in
8 answering your question if you could tell us which
9 presentation it refers to?

10 MR. VALDRON: Land and resource use,
11 it comes up at box 18.

12 MR. BOHLKEN: Okay. So the questions
13 were where the shelterbelts would be, what would
14 be planted, and how that could affect wildlife?
15 Is that correct?

16 MR. VALDRON: Yeah. Well, you know
17 what, start with the first one and we'll go down
18 to the rest.

19 MR. BOHLKEN: Okay. So shelterbelts
20 are located, for example, around the borders of
21 agricultural property to protect it from the wind
22 or for aesthetic values. That's an example of
23 where they may be found. If the project is going
24 across the shelterbelt, it would -- because there
25 are trees, the shelterbelt would need to be

1 removed.

2 The second question was on planting?

3 MR. VALDRON: Yeah, what are you going
4 to be planting in the shelterbelts?

5 MR. BOHLKEN: Okay. Yeah, that would
6 be discussed with landowners and, of course, with
7 consideration of what could be planted, depending
8 on where the shelterbelt is. If it's in the
9 right-of-way, that would not include, for example,
10 tall growing vegetation.

11 MR. VALDRON: All right. Would there
12 be shelterbelts planted in or around Crown lands
13 or traditional use lands?

14 MS. BRATLAND: The discussion around
15 shelterbelts pertains to private lands. So if
16 clearing of shelterbelts on private agricultural
17 lands occurs because of the location of the
18 right-of-way, we would work with landowners to
19 replace those shelterbelts in an area where it
20 wouldn't cause interaction with a power line. So,
21 no, that discussion does not refer to Crown lands.

22 MR. VALDRON: Okay. Now, on land and
23 resources in box 22, if you're looking at it, it
24 says there's a small area for hunting and trapping
25 affected overall. Now, I note that small can have

1 different meanings. This is a substantially
2 diminished area of Crown lands already,
3 historically. That's been established. So a
4 little bit here, a little bit there. I think
5 eventually we might be coming up to a threshold
6 for various species, for traditional activities.
7 Has this been evaluated? Have there been studies
8 as to the viability of activities like hunting,
9 fishing, trapping, in these areas, and gathering?
10 Has there been assessment of the impacts of
11 fragmentation? It's one thing to say, well, small
12 areas, but sometimes small changes have big
13 impacts.

14 MR. BOHLKEN: So I think that, part of
15 your questions here, I think, would be more
16 appropriately deferred to the biophysical panel,
17 where they will be speaking specifically on issues
18 related to habitat, direct effects on vegetation
19 and wildlife.

20 MR. VALDRON: All right. Then we'll
21 move this one over to biophysical.

22 Now, in terms of the small area
23 affected, what's your understanding of land use
24 through the ATKs? Do Aboriginal or Metis families
25 have specific preferred areas? Is there a lot of

1 specificity in where they choose to practice? I
2 mean, because sometimes, you know, we look at
3 agricultural land, it's all the one thing. And
4 then we look at say Crown lands or wildlands, and
5 there's a tendency, maybe by default, sort of like
6 looking in as a block of cheese, it's all that one
7 big thing, but actually there's a quite a lot of
8 diversity within. And one plot of land or one
9 patch is not necessarily the same as another. So
10 in terms of families' resource use, in terms of
11 indigenous resource use, are there areas of
12 preference? How does this get divided up? Does
13 everybody just go to the same berry patches, or is
14 it allocated, informally or formally, by families,
15 by groups? That seems that that would have an
16 impact.

17 MR. AMUNDSON: My understanding from
18 the Aboriginal traditional knowledge studies
19 example, would be the Peguis study, is that
20 there's been a very good job done there of mapping
21 locations of traditional land use, specific
22 activities, plus areas of preferred activity.

23 MR. VALDRON: Okay. Does that break
24 down in terms of what constituencies use specific
25 areas, or is it just we're identifying areas that

1 are being used, but we don't know if, for
2 instance, particular families or particular
3 lineages use certain areas? How specific does it
4 get?

5 MR. AMUNDSON: The ATK studies that we
6 have access to don't get to that level of
7 specificity.

8 MR. VALDRON: Okay. So, for instance,
9 if you're going through a particular area and
10 you're affecting a fishing ground or a gathering
11 ground, you don't necessarily know which specific
12 groups within a community will be affected by
13 that?

14 MR. AMUNDSON: At this point we
15 wouldn't know who in the community.

16 MR. VALDRON: Okay. Now, with respect
17 to the land use and lands and resources, after the
18 project, what are the monitoring of expectations
19 in mitigation? I mean, what kind of monitoring is
20 going to be done with respect to traditional land
21 use in those areas that are affected by the Hydro
22 project?

23 MS. BRATLAND: I think that's a
24 question to defer to the monitoring panel, and
25 after the traditional land and resource use

1 presentation that will be tomorrow.

2 MR. VALDRON: Thank you. Has there
3 been any discussions with the government about
4 replacement habitat for lands being affected or
5 lost due to the project?

6 MS. BRATLAND: No, there has not.

7 MR. VALDRON: Okay. My next question
8 was going to be biophysical so I'm just skipping
9 past that. So you'll excuse me if sometimes I
10 seem distracted.

11 All right. Now, moving onto
12 agriculture. I recognize the presentation was
13 entirely on the subject of agriculture, which by
14 definition excludes traditional land resource use.
15 But there were some things that came out of that
16 that I found interesting and I wanted to ask about
17 in context of Crown lands and wildlands. And in
18 particular, I was interested in the issue of soil
19 compaction that had been discussed with respect to
20 agriculture, soil compaction, Rutting, which had
21 the effect of compacting local soils and making
22 them unusable.

23 So I wonder if there was any
24 examination of the impacts of soil compaction or
25 rutting in areas of traditional land use?

1 MR. WHETTER: As part of the
2 agriculture VC, we did not specifically examine
3 that issue in terms of compaction on traditional
4 lands.

5 MR. VALDRON: In the context of lands
6 and resources, was there any discussion or
7 examination of the impact of rutting or soil
8 compaction?

9 MR. BOHLKEN: No.

10 MS. BRATLAND: Just to build on that
11 and pull in some information from the mitigation
12 presentations earlier, the type of mitigation that
13 we'd be using when constructing on natural
14 landscapes would be a way to mitigate concerns
15 around soil compaction and impact in those
16 landscapes, such as considering construction in
17 wintertime periods in wetlands or areas with wet
18 soils, and timing windows.

19 MR. VALDRON: So you've ruled out soil
20 compaction and rutting altogether in these areas?

21 MS. BRATLAND: No, that's not what I
22 said.

23 MR. VALDRON: Okay.

24 MS. BRATLAND: I just said that the
25 mitigation measures that we would be applying, if

1 soil compaction or rutting were a concern to the
2 ability of those landscapes to thrive, that would
3 be one way to manage that. And if you'd like
4 further information about that, stay tuned
5 tomorrow.

6 MR. VALDRON: So that's also
7 biophysical, you figure? All right. So I'll just
8 make a note and cross-examine on that then.

9 Now, box 18 of agriculture noted
10 compaction risk is an important consideration, 67
11 per cent of the PDA is rated as high. Is that
12 correct? It's not a typo or anything?

13 MR. WHETTER: We'll just wait for
14 Ms. Bratland to pull that up.

15 MR. VALDRON: There it is right there
16 at the bottom.

17 MR. WHETTER: Yeah, that number is
18 correct, it considers the PDA.

19 MR. VALDRON: Okay. And just remind
20 me again, because I'm vague this morning, PDA is
21 project...

22 MR. WHETTER: PDA is the project
23 development area. In this instance it includes
24 the right-of-way for the existing corridor and the
25 new right-of-way.

1 MR. VALDRON: Okay. That 67 per cent
2 basically includes only the agricultural land?

3 MR. WHETTER: No. Actually, just to
4 clarify -- that's a good question -- the 67
5 per cent in this case actually refers to the
6 entire right-of-way. So that includes, that is
7 baseline information on both agricultural and
8 non-agricultural areas.

9 MR. VALDRON: So the whole thing, 67
10 per cent, that includes the Crown land as well?

11 MR. WHETTER: That is correct, yeah.

12 MR. VALDRON: Okay.

13 Now, I was interested to hear about
14 the discussion of EMF and audible noise with
15 respect to livestock. And I thought, well,
16 obviously I'm representing Peguis, so I sort of
17 tried to apply these thoughts to the traditional
18 land use areas. You indicated noise was about
19 22 decibels and that it didn't seem to be
20 discouraging livestock. The thing I notice about
21 livestock is they don't have a lot of choice on
22 where they want to go. They are sort of, you
23 know, there in the farmer's field and it's not
24 like, if it's too loud or too annoying, they can
25 just, you know, move to fields on the other side

1 of the town.

2 So with respect to the lands and
3 resources, has there been any consideration of the
4 impact of audible noise on game and birds and
5 hunting activities in those areas?

6 MS. BRATLAND: Mr. Bailey, in his
7 presentation to us yesterday, indicated that there
8 was no demonstrable effect on wildlife, I believe.
9 And the question of effects on wildlife from the
10 project is best put to the biophysical panel
11 tomorrow.

12 MR. VALDRON: All right.

13 And what about gathering activities in
14 the region? I've heard some people say they would
15 rather not gather blueberries, for instance, in an
16 area where the transmission lines are just humming
17 away. Has there been any assessment of that?

18 MR. AMUNDSON: In the traditional land
19 and resource use assessment, we acknowledge that
20 there could be an alteration of the experience of
21 traditional activities and that might result in
22 people avoiding the PDA, and that could extend
23 into the LAA.

24 MR. VALDRON: All right.

25 Now, I believe box 27 said the route

1 avoids the elk area in Manitoba. How do you
2 determine the elk area?

3 MS. BRATLAND: Okay. With the help of
4 our biophysical team.

5 MR. VALDRON: And was that in
6 conjunction with the Province of Manitoba?

7 MS. BRATLAND: Absolutely.

8 MR. VALDRON: All right. Was this in
9 consultation with First Nation hunters about elk?

10 MS. BRATLAND: Again, we are delving
11 into the biophysical team's territory here, but I
12 will say that we did have First Nation-Metis
13 engagement programs. And if information was
14 received about elk, that would have been included
15 and considered.

16 MR. VALDRON: All right. I've got a
17 whole bunch more questions about elk, but if you'd
18 prefer to deal with it biophysical, I'll just kind
19 of move on there. I will come back to it.

20 Okay. Moving onto the visual aspect.
21 Box 24 referred to ongoing engagement with First
22 Nations, Metis and the public. So what exactly
23 was the engagement on visual quality with First
24 Nations? What was the impact on visual quality in
25 traditional land use resource areas? Yeah, I

1 butchered that acronym, sorry.

2 MS. BRATLAND: That's okay, there's a
3 lot of them.

4 Throughout our public and First Nation
5 and Metis engagement processes, we held
6 discussions and received feedback about what those
7 communities and individuals valued. If values
8 were shared related to the visual quality of an
9 area, that was communicated back to our assessment
10 team and considered. One of the things that we
11 have heard on this and past projects is the
12 importance of the character of the area, the
13 overall landscape character that they experienced.

14 MR. VALDRON: Yeah. Thank you.

15 I noticed, reading through the
16 powerpoints and listening, that although there was
17 a lot of photographs and a lot of discussion
18 dealing with impacts on developed areas, there was
19 no discussion of impacts on the undeveloped areas,
20 the Crown lands and the traditional resource
21 areas.

22 Now, I believe somewhere in the EIS
23 statement it did say, humans prefer natural views.
24 I would assume that people out in the state of
25 nature, in traditional activities, would prefer

1 natural views. What are the specifics of the
2 visual impacts in Crown lands areas? I'm assuming
3 towers, lines, there's removal of vegetation in an
4 unnatural fashion, change of contours and change
5 of vegetation. Would that be correct?

6 MR. BOHLKEN: Well, I agree that there
7 would be removal of vegetation. I am not sure
8 that there would be change of contours.

9 MR. VALDRON: Well, you are just kind
10 of like driving a swath through the transmission
11 line area, so I think that would cut across the
12 natural contours of the biology, wouldn't it?

13 MR. BOHLKEN: I'm really not familiar
14 with the term natural contours of biology.

15 MR. VALDRON: Okay. I just made that
16 up.

17 Well, I'm assuming that when you're
18 out in the state of nature and Crown lands,
19 there's trees, there's different types of trees,
20 there's meadows, there's hills, there's streams
21 and all of that, and all of it tends to go, you
22 know, its own direction. But if you're driving a
23 transmission line through that, it leaves a pretty
24 noticeable mark. Would you agree with that?

25 MR. BOHLKEN: So I believe you're

1 talking about, correct me if I'm wrong, clearing a
2 right-of-way in a forest, and that because there's
3 a change of vegetation patterns, depending on your
4 orientation to that right-of-way, looking down the
5 right-of-way you would see a change in vegetation
6 patterns. Is that what you're asking about?

7 MR. VALDRON: Or coming across it in
8 your wanderings? I mean, once you are in and
9 around it, I would say it would become pretty
10 visible, wouldn't it?

11 MR. BOHLKEN: Yes. If you're in a
12 forest that, as you leave a forest and enter into
13 a right-of-way, it would no longer look like a
14 forest.

15 MR. VALDRON: Okay. And what's the
16 aesthetic reaction to that? Is this negative? Do
17 people find this troublesome? Do First Nations
18 people find this troublesome?

19 MR. BOHLKEN: So, we talked a little
20 bit earlier about preference research and how that
21 informs like visual sensitivity class. And
22 preference research that I've seen that is
23 reflected in those visual sensitivity scorings is
24 that people tend to prefer natural environments.
25 That's not excluding the possibility there are

1 attractive environments that have built features.
2 But yes, the preference research has demonstrated
3 a preference for natural environments, natural
4 view-scapes I should say.

5 MR. VALDRON: All right. And did this
6 preference research extend to First Nations people
7 with respect to their specific traditional
8 resource areas?

9 MS. BRATLAND: I believe that question
10 was asked and answered by a previous intervenor.

11 MR. VALDRON: Okay. Must have missed
12 that one, sorry. I was so busy making my notes.

13 Getting close to the end here. With
14 respect to human health risk, was there any
15 assessment of mental health effects of the impacts
16 on traditional land resource use?

17 MR. BOHLKEN: Would you please repeat
18 the question?

19 MR. VALDRON: Any assessment of mental
20 health impacts with respect to First Nations and
21 impacts of the project on traditional land
22 resource use?

23 MR. BOHLKEN: Okay. So effects on
24 traditional resources will be discussed tomorrow
25 in that panel. The effects on mental health

1 generally with respect to -- is addressed in the
2 assessment of potential effects on stress and
3 annoyance.

4 MR. VALDRON: All right. Well, thank
5 you, I think that's about it for me.

6 As I have noted, I'm probably going to
7 be asking a bunch of questions on biophysical and
8 environment mitigation based on this, but I don't
9 want to take up too much of your time today so I
10 thank you.

11 MS. BRATLAND: Thank you.

12 MR. VALDRON: And I was right on time.

13 THE CHAIRMAN: You were exactly on
14 time. Thank you very much. We are now going to
15 break for lunch and we'll be back here at 1:30.
16 Are there any miscellaneous or filings to do? No?
17 Okay. Back here at 1:30. Thank you.

18 (Recessed at 12:30 p.m. to 1:30 p.m.)

19

20 THE CHAIRMAN: All right. Good
21 afternoon, everyone.

22 I just wanted to make one small remark
23 before we start here. I've been reminded, again,
24 that I should be referring to all the groups at
25 the table here as "participants". I think I've

1 used interchangeably three or four different words
2 to describe the -- all positive, I hope.

3 The next participant, or the
4 continuing participant, although you might notice
5 a difference at the table, but anyhow, we are now
6 on to the continuation of the participants,
7 plural, and we are on to the Consumers'
8 Association of Canada.

9 MR. WILLIAMS: Yes, and good
10 afternoon, members of the panel. I'm the newbie
11 to the hearing; my name is Byron Williams. It is
12 a pleasure to be back before the Commission.

13 Just with, hopefully, the permission
14 of the Chairperson, on behalf of our clients, we
15 did want to acknowledge the passing of former
16 board member Yee, Edwin Yee, who we had the great
17 pleasure to appear before on a number of
18 proceedings related to Manitoba Hydro. It was
19 always nerve-wracking because he asked some
20 pressing questions and brought a gifted insight
21 into science to the regulatory process. So we do
22 wish to acknowledge his passing and his loss.

23 THE CHAIRMAN: Thank you for that.

24 MR. WILLIAMS: To the Manitoba Hydro
25 panel -- and most of my questions probably will be

1 directed both to -- Mr. Bohlken?

2 MR. BOLHKEN: That's right.

3 THE CHAIRMAN: And perhaps to
4 Ms. Bratland, one or two. I'm going to focus on
5 economic impact assessment and the modeling
6 associated with it, just for a few minutes. But
7 before we do, I just want to get a bit more
8 certainty in terms of the costs of the project,
9 the estimated costs, and I want to direct your
10 attention to the response to SCO IR 28(e).

11 And we are hoping it is a typo, but we
12 see that response suggesting that the updated
13 total project cost estimate is \$453.2 million.

14 Does the Hydro panel see that
15 reference?

16 MS. BRATLAND: I see it.

17 MR. WILLIAMS: And is that your
18 panel's understanding of the updated cost
19 estimates?

20 MS. MAYOR: I believe project cost was
21 covered in another -- at the beginning -- panel,
22 but I believe this is the correct answer.

23 MR. WILLIAMS: And the reason we are
24 asking, of course, this is from your response in
25 April of 2017; agreed?

1 MS. BRATLAND: Yes, the date is
2 April 12th, 2017.

3 MR. WILLIAMS: And you will recall
4 that when Manitoba Hydro submitted its application
5 for approval in September of 2015, the estimated
6 project cost was in the range of \$350 million;
7 agreed?

8 MS. BRATLAND: Agreed.

9 MR. WILLIAMS: So in the time period
10 between September 2015 and April 2017, the
11 estimated costs have risen by \$100 million, give
12 or take a couple of mill?

13 MS. BRATLAND: The estimate provided
14 in the response to this IR is roughly \$100 million
15 more.

16 MR. WILLIAMS: And percentagewise, if
17 you can accept this -- subject to check; my math
18 is usually pretty good -- if we took that
19 \$100 million and divided it by the base of
20 350 million, you will accept, subject to check,
21 that is roughly a 28 per cent increase in the
22 last -- since September 2015; agreed?

23 MS. BRATLAND: Subject to check, yes.
24 The time period, however, I would just say that
25 the estimate was provided in this IR response on

1 that date.

2 MR. WILLIAMS: Are you suggesting it
3 has changed upwards or downwards since that date?

4 MS. BRATLAND: No, I just can't
5 comment on time period associated when estimates
6 are made, as this team is not involved in
7 estimating project costs.

8 MR. WILLIAMS: Mr. Bohlken, in terms
9 of the -- we will get into the nuts and bolts in a
10 bit about the economic impact analysis, but in
11 undertaking that analysis, Manitoba Hydro is using
12 as an input the direct expenditures associated
13 with on-site construction. Agreed?

14 MR. BOLHKEN: So, yeah, they would be
15 using expenditures for construction, if you are
16 looking -- if we are talking about construction
17 economic impacts.

18 MR. WILLIAMS: Exactly. And if you
19 need a reference, sir, it would be in your
20 Economic Impact Paper V, but we can work through
21 it without that.

22 Let's leave aside the cost inflation
23 up to \$450 million for a second; let's just start
24 with that \$350 million. For the purposes of your
25 economic analysis, it was estimated that direct

1 project expenditures for materials and services
2 during construction phase were estimated to be
3 about \$211.8 million. Agreed? That's in 2014
4 dollars?

5 MR. BOHLKEN: What page are we
6 referring to? So that we can just ...

7 MR. WILLIAMS: Sir, if you go to your
8 economic impact analysis, Roman numeral five, it
9 would certainly appear on that page.

10 MR. BOLHKEN: Bear with us. We are
11 going to look at that.

12 MR. WILLIAMS: Just so you are clear
13 what I'm suggesting to you, we are not looking at
14 the 450 yet; we are focusing on the 350.

15 MR. BOLHKEN: Right. And we've
16 already agreed --

17 MR. WILLIAMS: Well, we will take a
18 look. But we are talking about the breakdown of
19 expenditures.

20 MR. WILLIAMS: Exactly. And I'm
21 looking at the direct expenditures related to
22 construction, because that's what you put into
23 your input/output model. Correct?

24 MR. BOLHKEN: That's what would have
25 been put into the input/output model, yes.

1 MR. WILLIAMS: Are we still waiting
2 for someone to join you, or ... ?

3 MS. BRATLAND: We are just waiting for
4 the reference document. You're welcome to
5 continue with your questions until we get it.

6 THE CHAIRMAN: Serge Scrafield, the
7 Chair.

8 Just by way of explanation,
9 Mr. Williams, I have asked -- to keep us moving,
10 I've asked if Hydro, when it takes longer to
11 produce an answer, if we could move on with the
12 questions; and then when the answer's ready, they
13 will bring it, and then you are free to go back to
14 it, of course.

15 MR. WILLIAMS: I am always happy to do
16 that, sir. I would have expected these were
17 pretty straightforward answers, and there is a
18 logic to the --

19 THE CHAIRMAN: Fine.

20 MR. WILLIAMS: So I will be mindful of
21 that advice, but if we could -- I see they have
22 the document near them, so if we could ...

23 THE CHAIRMAN: I assume they are close
24 to finding it?

25 MS. BRATLAND: Just finding the

1 correct page.

2 You said it was Roman numeral five?

3 MR. WILLIAMS: If you look towards the
4 second-last paragraph in Roman numeral five,
5 Mr. Bohlken.

6 Do you have that, sir?

7 MR. BOLHKEN: Okay. So for clarity, I
8 think we are talking about the third paragraph,
9 Roman numeral five. And in here, the economic
10 impact assessment was based on the direct
11 expenditures; it is not including expenditures to
12 date. It doesn't include interest or some other
13 items which would make up the \$350 million.

14 I think that's what is stated in that
15 paragraph.

16 MR. WILLIAMS: So let's just back up
17 for a second.

18 So of the 350 million, roughly
19 211.8 million are associated with direct project
20 expenditures. Agreed? For construction.

21 MR. BOLHKEN: 211.8 million are
22 on-site construction costs.

23 MR. WILLIAMS: Exactly. And that's
24 what goes into your input/output analysis.

25 Agreed?

1 MR. BOLHKEN: That's correct.

2 MR. WILLIAMS: And of the remainder,
3 roughly 138 million, sir, that's associated with
4 costs such as interest and escalation,
5 contingency, and planning and design. Agreed?

6 MR. BOLHKEN: Well, some of those
7 items are mentioned in the bottom of the
8 paragraph. I don't believe it states
9 "contingency", although that could be a category.

10 MR. WILLIAMS: I'm confident it is,
11 but we will move on; it is not material.

12 So just, sir, recognizing what appears
13 to be a 20 per cent cost overrun with the project,
14 as compared to the \$350 million estimate, have you
15 done any subsequent analysis in terms of the
16 direct project expenditures for materials and
17 services during construction?

18 MR. BOLHKEN: No.

19 MR. WILLIAMS: So that analysis wasn't
20 undertaken?

21 MR. BOLHKEN: That's correct.

22 MR. WILLIAMS: Okay. Let's go to the
23 economic impact analysis, which you will agree
24 with me, sir, is canvassed extensively both in the
25 impact -- economic impact paper as well as

1 chapter 14 of your -- of the Hydro EIS filing?

2 MR. BOLHKEN: That's correct.

3 MR. WILLIAMS: And if we are thinking
4 big picture in terms of economic impact analysis,
5 one of the objectives is to achieve an estimate of
6 the total employment impacts of the project.
7 Agreed?

8 MR. BOLHKEN: That would be one of the
9 outputs of the Manitoba Bureau of Statistics, the
10 input/output model which was used.

11 MR. WILLIAMS: And that would give us
12 a sense to the employment impacts both in Manitoba
13 and the rest Canada. Correct?

14 MR. BOLHKEN: Yeah, that's right.

15 MR. WILLIAMS: And another output of
16 the model would be an estimate of the total gross
17 domestic product associated with the project
18 expenditure. Agreed?

19 MR. BOLHKEN: That's correct.

20 MR. WILLIAMS: And others would be tax
21 revenue impacts and labour income. Correct?

22 MR. BOLHKEN: Also correct.

23 MR. WILLIAMS: So what you are trying
24 to do is estimate the impacts of construction and
25 operation of the project, estimating both direct

1 expenditures that would be made within Canada and
2 Manitoba as well as the secondary impacts from
3 those expenditures?

4 MR. BOLHKEN: That's right. The way
5 that an input/output model works is that it takes
6 statistical information, and it produces, based
7 on -- again, basically a statistical breakdown of
8 the economy. It will estimate direct effects,
9 which is the actual expenditures, broken down by
10 those expenditure categories; it also estimates
11 indirect effects, which are effects from suppliers
12 to the -- you know, the primary expenditures, and
13 also induced effects. Induced effects are the
14 effects related to household consumption
15 associated with employment income.

16 MR. WILLIAMS: Thank you.

17 And you mentioned already that the
18 model employed is the Manitoba Bureau of
19 Statistics input/output model. Agreed?

20 MR. BOLHKEN: Yes.

21 MR. WILLIAMS: And basically that
22 model is based on statistical information about
23 the flow of goods and services among various
24 sectors of the economy. Correct?

25 MR. BOLHKEN: Correct.

1 MR. WILLIAMS: It allows you to trace
2 the demand placed on one industry resulting from
3 increased activity in another. Agreed?

4 MR. BOLHKEN: Yes.

5 I wouldn't say "demand", really. I
6 would say -- because it's not -- sorry, I want to
7 clarify my answer.

8 It is not -- it is not deriving
9 demand. What it is doing is deriving the economic
10 impact of the expenditure.

11 MR. WILLIAMS: So in essence, you're
12 looking in this case at the injection of funds
13 into the transmission project?

14 MR. BOLHKEN: Well, it is called an
15 economic -- yeah, it would be an exogenous input
16 into the economy.

17 MR. WILLIAMS: Yeah, and that
18 exogenous input is the direct construction
19 expenditure and how that feeds into the overall
20 implications for goods and services in the
21 economy. Correct?

22 MR. BOLHKEN: Well, I'm not sure that
23 "implications", again, is the right term. But it
24 does produce the economic impact based on those
25 parameters that you just identified.

1 MR. WILLIAMS: Okay, thanks.

2 In terms of the data, the exogenous
3 data that you fed into the model, sir, one element
4 of that would be an estimate of the number of
5 person-years of employment expressed in full-time
6 job equivalents. Agreed?

7 MR. BOLHKEN: Those would be outputs
8 of the model.

9 MR. WILLIAMS: Outputs; okay. And
10 other outputs would include the income earned by
11 workers as a result of the project? That would be
12 another one?

13 MR. BOLHKEN: That's correct.

14 MR. WILLIAMS: Now, we shared with
15 you, prior to this examination, an excerpt from
16 the transcript, sir, from the opening statement of
17 Manitoba Hydro on or about May 8th.

18 Sir, that was shared with you?

19 MR. BOLHKEN: Yes. I have it in front
20 of me.

21 MR. WILLIAMS: Just for the panel's
22 reference, it is transcript page 25, lines 12
23 to 18. My friend -- my learned friend,
24 Mr. Bedford.

25 And without going into the

1 line-by-line repetition of that, Mr. Bohlken, you
2 will agree with me that Mr. Bedford was outlining
3 here the challenging times at Manitoba Hydro,
4 including job eliminations, challenges in managing
5 the costs of projects underway, and also having to
6 ask for significant rate increases.

7 Ms. Bratland, you were there for that;
8 you are familiar with that testimony?

9 MS. BRATLAND: Yes, we were here for
10 that moment. Mr. Bedford as well.

11 MR. WILLIAMS: Sorry, and I withdraw
12 the word "testimony", although it kind of sounded
13 like it. I will -- I believe my learned friend
14 was asking the panel to take judicial notice of
15 the reality.

16 And Ms. Bratland, as an employee of
17 Manitoba Hydro, without meaning to dig into
18 details, you are aware that it is up to
19 900 positions that are estimated to be lost?

20 MS. BRATLAND: I am aware.

21 MR. WILLIAMS: And in terms of rate
22 increases, you are aware the corporation has
23 indicated that it intends to seek 7.9 per cent
24 annual rate increases for each of the next five
25 years?

1 MS. BRATLAND: I'm aware we have an
2 application that has been submitted. I'm not
3 fully aware of the details of the application.

4 MR. WILLIAMS: You are aware that the
5 corporation has asked for very significant rate
6 increases, and had projected significant rate
7 increases out five years. Correct?

8 MS. BRATLAND: I'm aware that they are
9 rate increases.

10 MR. WILLIAMS: Mr. Bohlken, just in
11 terms of your input/output analysis, it would not
12 have addressed or considered the impact, if any,
13 of higher Hydro rates on Provincial gross domestic
14 product?

15 MR. BOHLKEN: No.

16 MR. WILLIAMS: And again, not in any
17 way intending to be pejorative about your
18 analysis, you simply looked at the injection of
19 funds into the transmission line and how those
20 feed into goods and services in the economy using
21 the Bureau of Statistics model?

22 MR. BOLHKEN: Yes, that's correct.

23 MR. WILLIAMS: And, sir, if memory
24 serves me right, when you earned your master's
25 degree in natural resources management at Simon

1 Fraser, you had a specialization in energy
2 economics. Correct?

3 MR. BOLHKEN: Yes, that's correct.

4 MR. WILLIAMS: And without stressing
5 to too much degree either your expertise or mine,
6 you would agree that standard or neoclassical
7 economic theory would suggest that all other
8 things being equal, price increases would tend to
9 dampen demand for a commodity?

10 MR. BOLHKEN: Well, that was the
11 conclusion of Adam Smith.

12 MR. WILLIAMS: And Mr. Smith, being a
13 pretty smart fellow, would have also suggested, as
14 would modern neoclassical economic theory, that
15 dramatically higher prices, in the rate-shock
16 range, over an extended five-year period, would
17 tend to have a sharper impact on consumption of a
18 commodity. Agreed?

19 MR. BOLHKEN: That would depend on the
20 price elasticity of the commodity in question.

21 MR. WILLIAMS: All of that being said,
22 sir, if there are higher rate increases, and over
23 an extended period of time, we would expect a
24 price demand response. Agreed?

25 MR. BOLHKEN: Again, this is really

1 out of scope of the economic assessment that was
2 undertaken for the project, so -- and again, it
3 really depends, as I mentioned, on the specific
4 commodity that we are talking about, the price
5 elasticities and so forth. It is not a simple
6 answer that I can give you.

7 MR. WILLIAMS: Sir, your point being
8 that the assessment itself didn't look at the
9 chilling or dampening effect on the economy of
10 price increases?

11 MR. BOLHKEN: That's correct.

12 MR. WILLIAMS: Thank you, Mr. Chair,
13 and members of the panel. I have no further
14 questions.

15 THE CHAIRMAN: Does that conclude the
16 questions for CAC?

17 MR. WILLIAMS: Yes, it does.

18 THE CHAIRMAN: I believe now, just
19 before you start, there was a switch between the
20 Consumers' Association -- I've got this right --
21 and the MMF. So that's all been -- that's all
22 happened. So then we are on to -- yes, Southeast
23 Stakeholders Coalition.

24 Mr. Toyne.

25 MR. TOYNE: Thank you, Mr. Chair.

1 Mr. Toyne for the Coalition. And I
2 apologize in advance if I'm not quite as
3 entertaining as the friend of mine that just
4 concluded his questioning.

5 All right. So I've tried to organize
6 my questions in the order of the different
7 presentations that were done.

8 So, Mr. Bohlken, I apologize; I will
9 come back and forth to you a couple of times. But
10 I promise, no questions about Adam Smith.

11 So we can start off with your land and
12 resource use presentation.

13 So when you were talking about the
14 content of your Slide Number 12, that's the one
15 that talks about development potential -- that's
16 the one. Yep, that's the one there.

17 You had made a comment, and I made a
18 note of it, and I didn't think to check the
19 transcript, but at least my note indicates that
20 you said that one thing that could impact
21 development potential would be a loss of interest
22 in buying properties near the proposed
23 right-of-way. And I'm wondering if you could talk
24 about -- at least, based on your knowledge and
25 experience -- what would cause that loss of

1 interest.

2 MR. BOLHKEN: From a development
3 potential, it could be that if there was a
4 potential for -- for example, you wanted to build
5 a larger subdivision, and you didn't want it to be
6 transected by, for example, a transmission line,
7 that might be a factor in your consideration.

8 MR. TOYNE: All right. So it would be
9 more an issue of larger -- sort of property
10 developers buying large plots of land to turn into
11 subdivisions that would lose interest, as opposed
12 to individual home buyers?

13 MR. BOLHKEN: Right. This topic is
14 development potential, so that's the context that
15 we were using it in.

16 MR. TOYNE: All right. But you would
17 agree with me that individual home buyers may also
18 lose interest in buying properties near a
19 right-of-way for a hydro transmission line?

20 MR. BOLHKEN: I couldn't tell you,
21 honestly. I don't have information to support an
22 answer on that one.

23 MR. TOYNE: If you could go to the
24 second set of the slides that you had, the ones
25 with the different maps and the geospatial data on

1 them. And if you could go to Slide 14, this is
2 the one about productive forest land.

3 All right. So I've got two questions
4 about this. The first is, could you provide a
5 little bit more detail about what exactly
6 productive forest land means in this context?

7 And then there is a particular spot on
8 the map I'm going to ask you a question about.

9 MR. BOLHKEN: Okay, just a second.

10 On the first question, we are going
11 to -- we are just going to do a little bit of
12 digging to make sure we get a clear answer as to
13 what is being specifically referred as productive
14 forest land, combination of, say, private and
15 Crown. We just want to get accurate and then
16 answer.

17 MR. TOYNE: All right. So while
18 someone is digging that up, the part of the map I
19 want to ask you a question about -- and we'll see
20 how well I can do describing it.

21 Right -- so it looks like there is one
22 of those purple boxes just to the east of the
23 Watson Davidson Wildlife Management Area. So it
24 would be sort of -- yeah, that one right there.

25 So the map isn't at quite the right

1 scale to show exactly where it is, but can you
2 confirm that that particular box there represents
3 productive forest lands -- whatever that phrase
4 may mean -- immediately to the east of that
5 particular wildlife management area?

6 MS. BRATLAND: I think that's going to
7 fall into the same category as -- we will look
8 that up and confirm for you.

9 MR. BOLHKEN: We should have a
10 larger-scale map that we can look at, so we will
11 be able to answer that question once we've opened
12 that up.

13 MR. TOYNE: If it turns out that's one
14 of the maps that's already in the EIS, I'm very
15 sorry. But why don't we move on.

16 So maybe I will give Mr. Bohlken and
17 his back-row colleagues a break and ask a couple
18 of questions about the agriculture part of the
19 presentation of Mr. Whetter.

20 Sir, one of the items that you talked
21 about was a buffer around hog barn operations.
22 And this one I did go back and check, and the
23 transcript discloses that you had made reference
24 to a -- was it a -- a three-mile buffer from hog
25 barns?

1 And I just wanted to confirm what the
2 precise buffer is, because typically, A, we have
3 been using the metric system; but also, just given
4 some of the maps I've seen, I would be surprised
5 if it was a three-kilometre or a three-mile
6 buffer.

7 MR. WHETTER: No, the reference you
8 mention is correct. It was a three-mile buffer
9 that was applied to hog operations as part the
10 alternate route evaluation model. Miles are often
11 used as the distance measurement standard in
12 agriculture, hence that reference.

13 MR. TOYNE: All right. Do you know if
14 a similar buffer to that was used in the
15 Bipole III project? I don't recall if you
16 actually said that you were involved in that, so
17 you may not know the answer.

18 MR. WHETTER: No, I wasn't involved
19 in --

20 MR. TOYNE: Okay.

21 MR. WHETTER: -- the Bipole III, so I
22 can't comment on that. I should just add that
23 that three-mile buffer was applied to hog
24 operations related to liquid manure application by
25 dragline.

1 MR. TOYNE: Right. And was the
2 three-mile buffer with respect to all different
3 types of hog barns, or was it just, say, for
4 finishing, or other ones along the production
5 cycle?

6 MR. WHETTER: The three-mile buffer
7 was applied to any hog operations identified by
8 Manitoba Pork, which is the agency whose data we
9 relied upon for that criteria.

10 MR. TOYNE: And were buffers used for
11 any type of animal operations, say cattle,
12 chickens, anything else, to your knowledge?

13 MR. WHETTER: Are we still speaking
14 about the alternate route evaluation model?

15 MR. TOYNE: If that's what you were
16 referring to during your presentation, then yes.

17 MR. WHETTER: I guess the -- all
18 livestock operations were considered under the
19 alternate route evaluation model, if that's what
20 we are speaking about. They were included under
21 the buildings layer, and I would have to confer on
22 that buffer on those.

23 MR. TOYNE: Okay.

24 And then when you were talking
25 about -- or when you were referring to Slide 25 in

1 your presentation, and Slide 26, this is conflict
2 and mitigation with respect to livestock health.

3 There was reference made to stray
4 voltage effects on dairy cows, and a reference to
5 ongoing engagement with producers. Can you
6 provide a little bit more detail about the ongoing
7 engagement with producers about stray voltage
8 concerns?

9 MS. BRATLAND: I think I would be
10 better suited to answer that question, as I'm
11 involved in this ongoing engagement.

12 The concern around stray voltage is
13 something that we hear quite often from dairy
14 producers, and we work with them to understand
15 what those concerns are, and can help work with
16 them to study what the sources of that stray
17 voltage would be, and provide advice on how to
18 correct that.

19 So it is an individual engagement with
20 landowners, based on what specific concerns they
21 may have.

22 MR. TOYNE: All right. And the
23 corrective steps that can be taken to address
24 that, are those steps taken by Hydro? Or are
25 those steps that are then taken by the landowners

1 themselves?

2 MS. BRATLAND: It really depends on
3 what is causing the issue. Generally, stray
4 voltage or tingle voltage isn't caused by a
5 high-voltage transmission line; it is usually
6 related to grounding in the barn itself.

7 So Manitoba Hydro can work with the
8 producer to understand what the issue is, and if
9 it is something related to a Manitoba Hydro piece
10 of infrastructure or faulty equipment, we would
11 certainly rectify that.

12 MR. TOYNE: All right. Just so I'm
13 clear, the protocol is, if a cattle operation has
14 concerns about stray voltage, they will raise
15 those concerns with Manitoba Hydro; Manitoba Hydro
16 will work with them to try to identify the source
17 of the concern and to try to identify corrective
18 steps that can be taken to address the concern?

19 MS. BRATLAND: Yes.

20 MR. TOYNE: And if those corrective
21 steps require Hydro to take action, I take it,
22 then, Hydro will consider what actions can be
23 taken within some range of appropriateness and
24 cost?

25 MS. BRATLAND: Yes.

1 MR. TOYNE: Okay.

2 So I have a question on visual quality
3 for Mr. Bohlken.

4 Do you have a update on the forest
5 questions yet, before we ask about visual quality?

6 MR. BOLHKEN: Yes. So you asked what
7 the green polygons were in the map that we showed,
8 and these are productive forest lands in Forest
9 Management Units 1 and 24.

10 MR. TOYNE: All right. Can we bring
11 that map back up, if that's possible, whoever is
12 controlling the maps? It was Slide 14, I think.

13 MR. BOLHKEN: We might be able to do
14 better than that. The map that the PowerPoint
15 figure came out from, that was map series 16-100.
16 Map 16-104 zooms into the area of interest that
17 you've ...

18 MR. TOYNE: All right. So the green
19 areas are productive forest land. Is that forest
20 land that is capable of being used for commercial
21 purposes, or land that is actually being used for
22 commercial purposes?

23 MR. BOLHKEN: So it would be capable
24 of being used for forestry purposes.

25 MR. TOYNE: Do you know what extent

1 the green area that's to the east of the Watson
2 Davidson Wildlife Management Area is actually
3 being used for commercial forestry purposes? Or
4 is that something that the next panel can answer?

5 MR. BOLHKEN: I think this is the
6 right panel, but we do not have that information.
7 So if that is being sought, we would have to have
8 an undertaking to try to find that information, if
9 it is available.

10 MR. TOYNE: Do you know if that type
11 of information is generally available? I don't
12 like asking people to agree to get an answer that
13 may not be possible to get; it is wasteful.

14 MR. BOLHKEN: Yeah, I think we might
15 be able to provide partial information, but I
16 think it would be better if, again, if we took
17 that as an undertaking so that we could get that
18 information back to you.

19 (UNDERTAKING # MH-7: Advise if east of the Watson
20 Davidson Wildlife Management Area is being used
21 for commercial forestry purposes)

22 MR. TOYNE: If you are going to offer
23 to do it, I won't say no.

24 MR. BOLHKEN: It is not a -- because
25 you are asking for a specific area, so we don't

1 have that, you know, at hand.

2 MR. TOYNE: Okay.

3 MS. BRATLAND: Just give us two
4 seconds; I will see ...

5 MR. TOYNE: Yep. Sure.

6 MR. BOLHKEN: Okay. So the purple
7 boxes, the purple polygons that we are seeing on
8 the -- well, both screens here, those are timber
9 sales under the 2010-to-2015 timber sales plan.

10 MR. TOYNE: All right. And I take it,
11 then, that what those boxes represent are areas
12 where commercial forestry neither has, is, or can
13 occur?

14 MR. BOLHKEN: That's correct.

15 MR. TOYNE: All right. And on the
16 right-hand screen, the purple box that's visible
17 in the upper left-hand corner of the map, that's
18 immediately adjacent to the eastern boundary of
19 the Watson Davidson Wildlife Management Area?

20 MR. BOLHKEN: Okay. Yeah, I see that
21 one, right beside -- yep.

22 MR. TOYNE: All right.

23 You know what, I've got another
24 question or two about that particular area, but I
25 think they relate to other aspects of the

1 presentation, so I will come back to that, sir.

2 MR. BOLHKEN: Okay.

3 MR. TOYNE: So just to go back to the
4 visual quality part of the presentation, we've
5 heard a little bit of talk about coronas, and I'm
6 wondering if there is any visual impact if a --
7 and I'm not sure if it is the line that goes
8 corona, or the tower that goes corona, but if that
9 happens, is there any visual impact that you are
10 aware of?

11 MR. BOLHKEN: I'm not aware of any
12 corona impact. But also I'm not informed on
13 whether there may or may not be.

14 MR. TOYNE: All right. So if there
15 is, it is not something that you took into account
16 in the visual quality aspect of your analysis?

17 MR. BOLHKEN: That's correct.

18 MR. TOYNE: Okay.

19 Does anyone else on the panel know if
20 there is a visual aspect of corona?

21 MS. BRATLAND: No, we are not
22 technical engineers.

23 MR. TOYNE: All right.

24 So now I've got a small number of
25 questions for Dr. Leece.

1 Sir, in your presentation, you had --
2 just let me find it here.

3 Slide 31 on your presentation, sir,
4 the one about ongoing engagement. Do you have
5 that there?

6 MR. LEECE: Yes, I do.

7 MR. TOYNE: All right. So the second
8 part of the slide -- and I don't know if anyone is
9 able to pull it up, but the second part of the
10 slide says:

11 "With respect to EMF, Manitoba Hydro
12 will continue to monitor EMF studies and will make
13 the information available to the public."

14 Now, the question I've got about this,
15 sir, is: There was a reference in some of the
16 materials to something called perceived health
17 effects. You are familiar with that term?

18 MR. LEECE: Yes.

19 MR. TOYNE: All right. And one of
20 the -- I'm going to suggest to you that one of the
21 reasons why Manitoba Hydro is doing this is
22 because of the perceived health effects of
23 electromagnetic fields. Is that a fair statement?

24 MS. BRATLAND: I think I will answer
25 that, speaking on behalf Manitoba Hydro.

1 The reason that we continue to study
2 electromagnetic fields and provide information on
3 that study is multifaceted. Part of it is the
4 concerns that we hear from residents that live in
5 and around, or work in around electromagnetic
6 devices, such as transmission lines. Part of that
7 is to maintain abreast on the science. And
8 due-diligence stuff, as a utility.

9 MR. TOYNE: All right. And with
10 respect to making the information available to the
11 public from Manitoba Hydro's EMF study-monitoring
12 activities, how is Hydro going to make that
13 information available to the public?

14 MS. BRATLAND: We have various
15 mechanisms in which we make it available. We make
16 research available on our website, links to those
17 sources of information, such as the World Health
18 Organization and Health Canada. We also do
19 individual communication with groups or
20 individuals who are concerned. Hold public
21 information sessions.

22 Really, in our adaptive ongoing
23 engagement, we try to make it available in the
24 most useful way possible.

25 MR. TOYNE: Is there any impediment,

1 either technical or financial, to Manitoba Hydro
2 directly providing that information to individuals
3 who reside along or near the right-of-way?
4 Directly providing it to them?

5 MS. BRATLAND: Could you clarify what
6 you mean by "directly providing"?

7 MR. TOYNE: Say, sending it to them by
8 mail, by email, as opposed to some sort of an open
9 house; actually -- the same type of contacts you
10 are doing to -- say, for example, get easement
11 agreements signed.

12 MS. BRATLAND: We certainly let
13 individuals know what that material is, and we can
14 certainly provide it directly, if it is requested.

15 MR. TOYNE: All right. So taking the
16 question a little bit further, there would be no
17 technical or financial impediment to Manitoba
18 Hydro complying with a licence condition that
19 would require information about the ongoing
20 monitoring of the EMF studies being directly
21 provided to landowners along or near the
22 right-of-way?

23 MS. BRATLAND: If Manitoba Hydro is
24 directed to do so, we would certainly carry it
25 out.

1 MR. TOYNE: So if I can go back to
2 Dr. Leece.

3 So the perceived health effects with
4 respect to EMFs, the reason they are called
5 "perceived health effects" is because they are
6 inconsistent with the scientific consensus on the
7 safety of EMFs. Is that a fair statement?

8 MR. LEECE: I think they are called
9 "perceived risks" because, as Dr. Bailey made
10 clear yesterday in his presentation, at this point
11 there is no causal link between exposure to EMF
12 and health effects. There is a perception that
13 that link is there, and it is certainly being
14 investigated, which is part of the ongoing studies
15 that Ms. Bratland was talking about.

16 MR. TOYNE: Right. And earlier you
17 had made reference to the precautionary principle.
18 So, given the possibility that the current
19 scientific consensus on EMFs may be similar to the
20 scientific consensus that existed a number of
21 decades ago that smoking doesn't cause lung
22 cancer, shouldn't we be perhaps doing a little bit
23 more to keep transmission lines further away from
24 residences and people than we currently are?

25 MS. BRATLAND: Mr. Bailey's

1 presentation yesterday outlined extensive research
2 that has been undertaken and has established that
3 there is currently no causal link between health
4 and the low-frequency electromagnetic fields
5 associated with transmission lines of this nature.

6 Manitoba Hydro, and many utilities
7 around the world, have developed transmission
8 lines in populated areas for the purpose that they
9 serve those populated areas, and there really is
10 no need to take extra steps beyond the current
11 design, and meeting the guidelines that exist that
12 Mr. Bailey outlined.

13 MR. TOYNE: Right. I take your point.
14 But if it turns out that this scientific consensus
15 is similar to the one that supported statements
16 like "Smoking is good for you", wouldn't the
17 precautionary principle tell us that we should be
18 putting these transmission lines further away from
19 residences and people than we currently are?

20 MR. LEECE: I'm not aware of any
21 scientific statements that have ever said smoking
22 is good for you; I would be very interested to see
23 them. There certainly were statements in the past
24 that it is not a health problem; there has never
25 been anything that said it is good for you.

1 MR. TOYNE: All right. So, with that
2 proviso to the question that I asked, would you
3 agree with me that the precautionary principle
4 suggests that these lines should be further away
5 from people and residences than they currently
6 are?

7 MR. LEECE: No. I don't agree that
8 that would in fact would be the case.

9 MR. TOYNE: So then the review and
10 analysis that you've done doesn't take into
11 account the possibility that the current
12 scientific consensus may be wrong, and
13 dramatically so?

14 MR. LEECE: The amount of evidence
15 that's available now suggests that while it might
16 change, there would not be a dramatic change in
17 that interpretation.

18 So no, I don't agree with that.

19 MR. TOYNE: All right.

20 Is there any way to pull up that
21 picture that Mr. Mills had referred to earlier?
22 Or has it disappeared?

23 MS. BRATLAND: I will see if it is
24 still in the computer.

25 MR. TOYNE: All right.

1 So just to build a little bit on the
2 line of questioning, sir, that Mr. Mills had for
3 you, so my understanding of your evidence was --
4 is that you didn't take the potential health risks
5 of this type of scenario into account during your
6 analysis. Is that a correct sort of understanding
7 of what you said earlier?

8 MR. LEECE: The air quality assessment
9 did not include an assessment of potential changes
10 that related to slash burning. That's correct.

11 MR. TOYNE: And you would agree with
12 me that individuals who are in the vicinity of
13 slash burning could experience health impacts,
14 whether short, medium, or long term?

15 MR. LEECE: Individuals in the close
16 vicinity of this would be expected to experience
17 short-term health effects if they were in very
18 close proximity. But those would be short, and
19 they would not be medium or long term.

20 MR. TOYNE: All right. To your
21 knowledge, is there anything that's present in the
22 vegetation along the part of the proposed
23 right-of-way that would require or potentially
24 require this type of clearing that could pose an
25 additional health risk to an individual who is

1 exposed to these conditions?

2 MS. BRATLAND: Is that -- sorry, are
3 you asking him what type of vegetation would be
4 cleared, and whether the burning of that different
5 type of vegetation could have an effect?

6 MR. TOYNE: That's not quite what I'm
7 asking him. But that's what I will ask him now.

8 MS. BRATLAND: Then I will say that he
9 is not the appropriate person to answer the
10 specific types of vegetation that would be
11 cleared, as he did not conduct the vegetation
12 analysis of the right-of-way.

13 MR. TOYNE: Maybe a different way to
14 ask it then, sir, is: To your knowledge, is there
15 any particular type of vegetation that, when
16 burned, can be particularly problematic from a
17 human health perspective?

18 MR. LEECE: I'm not aware of any
19 particular vegetation that would generate that
20 kind of concern.

21 MR. TOYNE: Is that something that
22 you've investigated or studied before?

23 MR. LEECE: Not in detail, but we
24 certainly have looked at inhalation health risks
25 associated with burning.

1 MR. TOYNE: And are there precautions
2 that -- say, for example, the workers who would be
3 involved in this would take to protect themselves
4 from those short-term health risks?

5 MR. LEECE: That really is related to
6 occupational health and and safety, which is not
7 something that I was involved with.

8 MR. TOYNE: But just in general, are
9 there precautions that someone can take to avoid
10 the health impacts of being exposed to this type
11 of smoke?

12 MR. LEECE: I think the simplest
13 answer to that is, don't stand in the plume.

14 MR. TOYNE: What happens if the
15 government doesn't give you that choice?

16 So, for example, the government allows
17 Manitoba Hydro to expropriate your property, and
18 this is what happens on the land that's been
19 expropriated? You don't have that choice, do you,
20 sir? So then what?

21 MS. BRATLAND: I think we are speaking
22 in a hypothetical. I believe we've established
23 that Manitoba Hydro, in ongoing communication with
24 landowners, would be working with them to
25 understand what steps and -- operational steps or

1 construction steps we are undertaking, and ensure
2 that those are done in sensitivity to any specific
3 concerns of the landowner.

4 MR. TOYNE: And, sir, you would agree
5 with me that there are certain individuals that
6 can be particularly sensitive to the health
7 impacts of smoke like this?

8 MR. LEECE: In any population, there
9 are variations in sensitivity to chemical
10 exposures, yes. Right.

11 MR. TOYNE: And does Manitoba Hydro
12 take any particular precautions to ensure that
13 those individuals who may be particularly
14 susceptible to this type of health risk get
15 additional notice? There's extra precautions
16 taken, anything like that?

17 MS. BRATLAND: As I just noted if we
18 are aware of any additional sensitivity to someone
19 in proximity to one of these activities, we would
20 certainly seek to undertake our activities with
21 due sensitivity to that.

22 MR. TOYNE: Is that something that
23 Manitoba Hydro actively seeks out? You know, for
24 example, all of the time and effort you put into,
25 say, getting easement agreements, do you put that

1 same time and effort into finding out how many
2 people along the proposed right-of-way may have
3 respiratory issues? Or is this something where
4 they have to come to you to make sure that you
5 don't harm them?

6 MS. BRATLAND: We are working actively
7 through our ongoing engagement program, and with
8 the efforts of our dedicated liaisons, to
9 understand all of the interests and concerns of
10 our landowners that are traversed by this project.

11 So I would say that we are actively
12 engaged in relationships to understand any concern
13 that they might bring forward.

14 MR. TOYNE: So the liaisons, like
15 Mr. Joyal, they are informing landowners along the
16 route that they may be exposed to situations like
17 this, so that they can then disclose to you what
18 their health issues might be?

19 MS. BRATLAND: The liaisons are
20 engaged with conversations with landowners to help
21 them keep abreast in terms of where the project is
22 at, which includes the regulatory process; and as
23 we move into the construction period, it will
24 include steps that we are undertaking for
25 construction.

1 Those liaisons have the opportunity,
2 through those discussions, to identify any
3 sensitivities or specific concerns related to the
4 land holdings or the people using those land
5 holdings.

6 MR. TOYNE: So maybe another way to
7 ask it is: Risks like this aren't disclosed to
8 landowners when you are trying to get them to sign
9 easement agreements, but they are disclosed after
10 you have already got the right to do something
11 like this in close proximity to their homes?

12 MS. BRATLAND: Manitoba Hydro seeks to
13 openly share information about the project with
14 all interested individuals, including landowners.
15 Project activities are characterized to the best
16 of our ability. We answer any questions that are
17 brought forward, and try to help and work with
18 landowners to understand the activities that will
19 be undertaken on the project and in proximity to
20 them.

21 MR. TOYNE: Of the 126 landowners that
22 have private holdings on the current proposed
23 right-of-way, how many have been informed by these
24 project liaisons that they may be exposed to smoke
25 from slash burning like this in close proximity to

1 their residences?

2 MS. BRATLAND: I'm not privy to the
3 specific details of all the conversations that
4 have been held.

5 MR. TOYNE: Right. I'm going to
6 suggest to you that even if you were, the answer
7 is zero. Do you agree?

8 MS. BRATLAND: No, I do not, because I
9 do not know.

10 MR. TOYNE: And would you agree with
11 me that if Manitoba Hydro was disclosing the -- a
12 prospect of this type of activity in the vicinity
13 of people's homes, the number of people that were
14 signing easement agreements would be significantly
15 less than it is right now?

16 MS. BRATLAND: I would like to correct
17 the premise of part of your statement. You are
18 assuming that this specific activity will be
19 occurring close to people's homes, and I believe
20 we've established that it would not.

21 MR. TOYNE: So back to Mr. Bohlken for
22 a minute or two.

23 During your community health
24 presentation, you had talked about -- on Slide 13,
25 if we can pull that up.

1 You had talked a bit about the impact
2 that the -- impacts that projects like this can
3 have on Crown land, can have impacts on
4 traditional land users. Is there a metric that's
5 available to measure these impacts, so that for
6 example, for every hectare of land that's affected
7 or every hectare of land that's cleared for the
8 right-of-way, that there is a measurable impact?
9 Or is it something that's really site-specific and
10 difficult to measure, in the way that I initially
11 described?

12 MR. BOLHKEN: So the metric that we
13 used was the area of clearing. I would suggest
14 that that's a conservative metric, because that's
15 again assuming that that area is going to be
16 affected for harvesting activities, which may or
17 may not be the case.

18 MR. TOYNE: Is there a way to measure
19 the impact based on the area that's going to be
20 cleared? Or does it really depend on the actual
21 specific area itself that's being cleared?

22 MR. BOLHKEN: We can provide a broader
23 context tomorrow in --

24 MR. TOYNE: Okay.

25 MR. BOLHKEN: -- our presentation

1 on --

2 MR. TOYNE: All right.

3 MR. BOLHKEN: -- traditional land
4 resource use.

5 MR. TOYNE: I will ask them.

6 Just one final series of questions,
7 Mr. Chair, to take us into the break.

8 So last, and definitely not least,
9 some questions for Mr. McLeod.

10 So, sir, you had talked about the
11 Centennial Farm during your presentation?

12 MR. MCLEOD: That is correct.

13 MR. TOYNE: And that's what I've
14 referred to earlier in these proceedings as the
15 Fournier farm, named after the family that owns
16 it.

17 MR. MCLEOD: Correct.

18 MR. TOYNE: Just so my series of
19 questions is in perspective, you will agree with
20 me, sitting here today, that the Fournier farm is
21 a Centennial Farm?

22 MR. MCLEOD: That is correct.

23 MR. TOYNE: You will also agree with
24 me that from at least April 2016 until mid-April
25 2017, Manitoba Hydro took the position that it was

1 not a Centennial Farm?

2 MR. MCLEOD: They came back to me with
3 that question. I went to my original database,
4 and I've already said that that data point was
5 missing. So that is the answer that I supplied
6 back to Manitoba Hydro.

7 MR. TOYNE: All right. I want to
8 unpack that a little bit.

9 So you were the one who was originally
10 responsible for reviewing that data from the
11 Province and saying that the Fournier farm was not
12 a Centennial Farm?

13 MR. MCLEOD: I was the one that was
14 analyzing the data I received, and since it wasn't
15 in that data package, that was what my answer was
16 based on.

17 MR. TOYNE: Okay. So the data package
18 you received from the Province does not include
19 the Fournier farm as a Centennial Farm?

20 MR. MCLEOD: At that point in time,
21 yes.

22 MR. TOYNE: And that was sometime in
23 2014, 2015, when you received that information?
24 2016?

25 MR. MCLEOD: 2014 is when I began

1 amassing the database.

2 MR. TOYNE: Okay. And then at some
3 point after you began working with that database,
4 it came to Manitoba Hydro's attention that the
5 Fourniers were saying that it was a Centennial
6 Farm?

7 MR. MCLEOD: That is correct.

8 MR. TOYNE: And were you immediately
9 informed of that?

10 MR. MCLEOD: They informed me that
11 there was a question about whether that was a
12 Centennial Farm. So yes, I was informed.

13 MR. TOYNE: All right. And do you
14 remember approximately when that was?

15 MR. MCLEOD: That would be -- I would
16 have to defer to Ms. Bratland, who was in on the
17 original consultation.

18 MS. BRATLAND: I can get back to you
19 with a specific date, but I was involved in that
20 discussion myself.

21 MR. TOYNE: All right.

22 So there was a document that is
23 referenced in SSC IR 217, and it looks like it is
24 an earlier form of IR, from The Ministry of
25 Conservation and Water Stewardship, from late

1 April 2016. Is that the time frame that we are
2 talking here?

3 MR. MCLEOD: Could you give that IR
4 reference again, please?

5 MR. TOYNE: So the IR reference in
6 this proceeding is Coalition IR 217, and it refers
7 to an earlier document that's posted -- I think on
8 the public registry -- from late April 2016 about
9 the Fournier farm.

10 MS. BRATLAND: Mr. Toyne, are you
11 following up on your question to me about timing?
12 Because I will get back to you with the time that
13 we heard about the Centennial Farm. The IR that
14 you are referring to, MCWSMHI-007?

15 MR. TOYNE: Yes.

16 MS. BRATLAND: So that would have been
17 filed on April 29, 2016?

18 MR. TOYNE: Yes.

19 So while we wait to hear back from
20 Ms. Bratland on her information, I will keep
21 asking Mr. McLeod about his.

22 Sir, does that help refresh your
23 memory on when you became aware that there was an
24 issue with the Fournier farm's characterization?

25 MR. MCLEOD: That is correct.

1 MR. TOYNE: Okay. So when you were
2 told that there was an issue with how that farm
3 had been characterized, what did you do?

4 MR. MCLEOD: I went back to my
5 original data set, as I had mentioned, to see if I
6 had missed it in that data set. So I re-examined
7 the data set. It wasn't there.

8 MR. TOYNE: All right. And then I
9 take it, after you went back and looked at the
10 data set, you reached out to the family to get
11 their information?

12 MR. MCLEOD: I initially went back to
13 Manitoba Hydro, because they were doing a
14 consultation to check to see if maybe it wasn't a
15 Century Farm. But then the response was no, it is
16 a Centennial Farm.

17 MR. TOYNE: That was Manitoba Hydro's
18 response? Or that was the family's response,
19 relayed to you by Manitoba Hydro?

20 MS. BRATLAND: In my conversation with
21 the family, they indicated that they had
22 documentation indicating that it was a Centennial
23 Farm. Our subsequent steps were to make it known
24 to the person who undertook that assessment. So
25 we went back to the data source, clarified that

1 there was a data point missing, and we confirmed
2 that as per what the Fourniers indicated was the
3 status of their farm, that it is indeed a
4 Centennial Farm.

5 MR. TOYNE: I understand that you've
6 just described a process that took Manitoba Hydro
7 a year. What I'm trying to do is find out when
8 during that year these different steps occurred.

9 MS. BRATLAND: I didn't indicate that
10 that process took a year. We had -- I had a
11 meeting with the Fourniers in early 2016.

12 MR. TOYNE: All right. At what point
13 did Manitoba Hydro officially confirm or
14 acknowledge that this particular property was a
15 Centennial Farm?

16 MS. BRATLAND: I don't want to say
17 that I didn't acknowledge, because when the
18 Fourniers showed me their paperwork and it clearly
19 indicated it was a Centennial Farm, we
20 acknowledged that there appeared to be a
21 discrepancy with the data that we were provided by
22 Heritage Resources Branch and what they were
23 clearly indicating to us was the status of their
24 land.

25 So we acknowledged it to them, in that

1 moment, and committed to follow up on that
2 information. Then that was brought back to then
3 investigate further, to make sure that the HRB
4 data could accurately reflect the status of that
5 farm, and to find out where that data anomaly
6 happened.

7 MR. TOYNE: All right.

8 And, sir, you are aware that there is
9 a publicly accessible list of Centennial Farms on
10 the Internet?

11 MR. MCLEOD: Through the Manitoba
12 Historical Society.

13 MR. TOYNE: Yes.

14 MR. MCLEOD: The Manitoba Historical
15 Society sends that data to the Heritage --
16 Historic Resources Branch. The Historic Resources
17 Branch then has a data point, so that's the
18 information that I relied on from the Branch, to
19 get a georeference point.

20 MR. TOYNE: Right. So the Historical
21 Society gives data to the Province; the Province
22 gives data to you. Somewhere between the
23 Historical Society giving it to the Province and
24 you getting it from the Province, that data point
25 goes missing, gets deleted, something happens to

1 it, and you don't get it?

2 MR. MCLEOD: That is correct.

3 MR. TOYNE: And when this issue first
4 came up -- whenever it was, 2015, 2016 -- you
5 would agree with me that it would have been
6 relatively easy for you to check that list on the
7 Historical Society's website?

8 MR. MCLEOD: I went back to my
9 original data set that I had acquired from the
10 Historic Resources Branch.

11 MR. TOYNE: Right. You've already
12 said that. The question I asked was a little bit
13 different.

14 It would have been easy for you to go
15 and check the publicly available list on the
16 Historical Society's website?

17 MR. MCLEOD: Yes.

18 MR. TOYNE: All right. And that's
19 something that you did not do?

20 MR. MCLEOD: That is correct, because
21 I was again relying on the georeference data.

22 MR. TOYNE: Now, this is a slightly
23 broader question. But if a concern or a question
24 is raised about some of the data that you've been
25 provided with, and particularly that some of the

1 data may not be accurate, is it standard practice
2 for you to simply go back and look at the data,
3 without doing any other verification? Or in the
4 normal course, do you take steps to try to verify
5 what the issue might be with other sources?

6 MR. MCLEOD: I generally go back to my
7 original data set and re-examine it.

8 MR. TOYNE: All right. So if someone
9 tells you that there is an issue with your data
10 set, the way that you check to see if there is an
11 issue is to look at your data set?

12 MR. MCLEOD: If someone tells me that
13 there is the potential for something missing, yes,
14 I do go back to the original data set.

15 MR. TOYNE: Now, the Centennial Farm
16 designation, that's for the building and for the
17 property that's farmed; correct?

18 MR. MCLEOD: It was explained to me by
19 Historic Resources is they make a point in the
20 centre of the buildings, and that is the reference
21 point.

22 MR. TOYNE: Interesting. I will ask
23 my question again: So the Centennial Farm
24 designation, that's the buildings and the land.
25 Correct?

1 MR. MCLEOD: No, it is just a point on
2 the map where the buildings are located. I have
3 no control over how they mark where it is. So I'm
4 as much at sea on how that is determined as you.

5 MR. TOYNE: So your understanding is
6 that what this designation is is a dot on a map?

7 MR. MCLEOD: Actually, if we want to
8 get technical, it is really not a designation. A
9 designated site is something that's legally
10 protected under the Heritage Resources Act.

11 MR. TOYNE: Right. And given what we
12 know about the right-of-way, this site is
13 definitely not protected. So what I'm trying to
14 establish is whether or not, if something is a
15 Centennial Farm, if it is just the buildings, or
16 if it is the buildings and the land. And from
17 what you are telling me is you don't know.

18 MR. MCLEOD: That is correct.

19 MR. TOYNE: Okay.

20 MR. MCLEOD: I should point out, just
21 to -- not to flog a dead horse here, but to point
22 out that our assessment recognized change to the
23 number of heritage sites. That Centennial Farm
24 will remain a Centennial Farm. If this project is
25 approved, and the final preferred route goes

1 through, it will still be a Centennial Farm.

2 MR. TOYNE: Right. No, I understand
3 that point.

4 So there's some statements in the EIS
5 that relate to the absence of Centennial Farms
6 along the proposed right-of-way. Are you familiar
7 with those statements? Were you the author of
8 them?

9 MR. MCLEOD: Is this in chapter 12?

10 MR. TOYNE: Yes, there is one in
11 chapter 6 and there is one in chapter 12. They
12 both say basically the same thing, that there is
13 no Centennial Farms within the proposed
14 right-of-way or the local assessment area.

15 MR. MCLEOD: That is correct. That is
16 true.

17 MR. TOYNE: And this goes back to the
18 question I had. So this particular location, the
19 Fournier Centennial Farm, the farm buildings
20 themselves, you will agree with me, are just to
21 the west of the local assessment area for the
22 right-of-way?

23 MR. MCLEOD: Correct. They are
24 outside or west of the local assessment area.

25 MR. TOYNE: Right. But the actual --

1 but some of the actual farm property of the
2 Fournier Centennial Farm does fall within the
3 local assessment area?

4 MR. MCLEOD: Not according to the way
5 the data was presented to me by Historic Resources
6 Branch, in terms of how they look at where that
7 data point is.

8 MR. TOYNE: Right. So I take your
9 point that the information you were provided with,
10 there is some sort of a dot in the middle of the
11 buildings that tells you where this property might
12 be. But I'm asking you, in the real world, the
13 buildings are just outside the local assessment
14 area, but the land that's being farmed on that
15 Centennial Farm is within the local assessment
16 area. Correct?

17 MR. MCLEOD: The land that is being
18 farmed, yes. And I also said in my presentation
19 for mitigation, if there is a tower that is going
20 to be placed on that property, it can be examined
21 to make sure that there is no heritage resources
22 relating to that Fournier farm present.

23 MR. TOYNE: Right. So the statement
24 in section 12.4 of the EIS is that no Centennial
25 Farms are located within the existing corridor,

1 and the final preferred route PDA or local
2 assessment area. So, sir, given that some of the
3 Centennial Farm property falls squarely within the
4 local assessment area, you'd agree with me that
5 that statement is just not true?

6 MR. MCLEOD: No, I would disagree,
7 based on how the Historic Resources Branch deals
8 with the data that the Manitoba Historical Society
9 forwards to them, and how that data is in turn
10 sent to archeologists.

11 MR. TOYNE: Mr. Whetter, given your
12 extensive experience with agriculture, is a farm
13 just buildings, or does a farm also include land?

14 MR. WHETTER: I guess we don't have a
15 definition, to begin with, of a farm, per se. We
16 define, in the agricultural value component,
17 things like livestock operations.

18 Farmyard -- or a farm consists of
19 different components, generally speaking. A
20 typical farm in Southern Manitoba would consist of
21 buildings -- you know, that will be buildings to
22 support the farming operation. And depending on
23 the type of operation, there may be additional
24 land associated with that operation for things
25 like cropping. It could be additional land for

1 things like supporting a livestock operation. In
2 some cases, there is a residence associated with
3 that farming operation; in other cases not.

4 MR. TOYNE: All right. So it is fair
5 to say that for all farms in Manitoba that you are
6 familiar with, they consist of land and buildings?
7 Or is that stating the proposition too generally?

8 MR. WHETTER: It is stating it fairly
9 generally, I guess, even when you have -- to have
10 a farming operation, there has to be something on
11 the landscape. Even if you have a barn, there is
12 land, I guess, technically, under that barn.

13 So I guess, in that regard, there is
14 always land associated with a farming operation.

15 MR. TOYNE: All right. So back to
16 you, Mr. McLeod.

17 Given Mr. Whetter's views that more
18 often than not, farms tend to include land, would
19 you agree with me that the statement "No
20 Centennial farms are located within the existing
21 corridor on the final preferred route, PDA, or
22 LAA" -- that that statement, sir, is incorrect?

23 MR. MCLEOD: No, I'm still saying
24 that's correct.

25 MR. TOYNE: All right. And the reason

1 you are saying it is correct is because the farm
2 buildings are outside of the LAA?

3 MR. MCLEOD: That is correct.

4 MR. TOYNE: And I take it that if the
5 farm buildings were inside the LAA, you would
6 agree with me that that statement is incorrect?

7 MR. MCLEOD: If the farm buildings
8 were inside, then yes, they would be inside the
9 LAA.

10 MR. TOYNE: Now, for the rest of the
11 analysis that you did, did you take this sort of
12 narrow, technical, restrictive approach? Because
13 if you did, it strikes me that a lot of the work
14 that you did has really been undermined and not
15 particularly useful. Or is this just the one time
16 that you did this?

17 MS. BRATLAND: I think Mr. McLeod
18 covered in a fair bit of detail in his
19 presentation the nature of his analysis, the
20 predictive modeling that was undertaken and the
21 considerations that went into his analysis. So I
22 believe that was plainly put forward.

23 MR. TOYNE: Right. So I'm not
24 questioning the methodology; I'm questioning, I
25 guess, the way different factors and impacts are

1 actually labeled and defined.

2 So were there any other aspects of
3 your assessment where you applied such a
4 technical, narrow, restrictive approach to define
5 something, so that the obvious risks and effects
6 and impacts are intentionally excluded from your
7 analysis? Or again, was this just the one time
8 you did that?

9 MR. MCLEOD: No.

10 MR. TOYNE: Okay.

11 And for the rest of the members on the
12 panel, did any of you employ this sort of a
13 narrow, restrictive, technical approach to
14 intentionally exclude risks and impacts from your
15 analysis, to make it seem like there is no impacts
16 from this particular development? Or is this a
17 one-off?

18 MS. BRATLAND: I believe the panel has
19 established that a conservative approach was
20 generally taken in our assessment, both in the
21 consideration of risk and in the overall approach
22 to assessment.

23 MR. TOYNE: Mr. McLeod, would you
24 agree with me that the approach you took here,
25 this narrow, technical, restrictive approach, that

1 that's representative of the rest of the work that
2 you and the other Stantec consultants did?

3 MR. AMUNDSON: I would like to build
4 on what my colleague has been saying. The effect
5 of a project on a heritage resource is solely on
6 the footprint of the disturbance of the ground.
7 And so that's what our concerns are, is that
8 objects, structures, and features don't get
9 disturbed by the ground disturbance of any kind of
10 project.

11 In the case of a transmission line, it
12 would be the installation of a tower. And there
13 is no towers being built outside the LAA.

14 MR. TOYNE: Well, I guess that depends
15 on how you define "LAA", and "towers".

16 No further questions for this panel,
17 Mr. Chair. Thank you.

18 THE CHAIRMAN: Thank you, Mr. Toyne.
19 Thank you for the answers, panel.

20 Okay. Given my chart, all
21 participants have had their opportunity to
22 question, so thank you all.

23 So we are at 10 to 3:00. Normally we
24 would break at 3:00. Is it more logical to break
25 now and then start the next presentation?

1 MS. MAYOR: Yes, if there is no
2 further questions from the Commission for this
3 panel, we will dismiss them, and we'll bring up
4 the biophysical panel right now.

5 THE CHAIRMAN: Okay.

6 So, I'm sorry, I should have gone to
7 that first; we do have one question. Thanks for
8 helping me with my job.

9 MR. GILLIES: This is Ian Gillies. I
10 have a question just to kind of gauge the capacity
11 of local health services to handle any demand
12 created by the Manitoba-Minnesota Project.

13 Can you give us a rough estimate of
14 how many health incidents were referred to local
15 regional health authorities in the Bipole III
16 project?

17 MR. BOLHKEN: That would require an
18 undertaking, if you need to have that information.
19 We don't have that at hand.

20 MR. GILLIES: Would you accept it as
21 an undertaking?

22 MS. MAYOR: We will certainly make the
23 inquiries and see if we can look at that
24 information for you.

25 MR. GILLIES: Thank you.

1 (UNDERTAKING # MH-8: Provide a rough estimate of
2 how many health incidents were referred to local
3 regional health authorities in the Bipole III
4 project)

5 THE CHAIRMAN: All right. Any more
6 questions from the panel?

7 All right. We will reconvene at 10
8 after 3:00 with the next presentation. Thank you.

9 (Recessed at 2:55 p.m. to 3:10 p.m.)

10 THE CHAIRMAN: We'll move on to the
11 next presentation from Manitoba Hydro. And
12 according to my schedule, that should be the
13 biophysical component.

14 I should add one more thing, and that
15 is that we will go until 5:00 o'clock today.
16 Thank you.

17 MS. JOHNSON: Could you please state
18 your names for the record. I know, Ms. Coughlin,
19 you've already been sworn in.

20 MS. COUGHLIN: My name is Sarah
21 Coughlin.

22 MR. BLOCK: My name is Dave Block.

23 MR. DE CARLO: My name is Nick De
24 Carlo.

25 MR. GAHBAUER: My name is Marcel

1 Gahbauer.

2 MR. AMUNDSON: My name is Leslie Butch
3 Amundson.

4 (Biophysical Panel sworn)

5 MS. COUGHLIN: Hello.

6 So I notice, on our list of
7 presentations, we are second-last on the list
8 here, so I don't know if that's good news for some
9 or sad for others, but today this panel is going
10 to present the biophysical environment.

11 And joining me today on my panel is
12 David Block. He is a fisheries biologist; he
13 works for Manitoba Hydro.

14 We have Nick De Carlo. Nick is a
15 senior vegetation ecologist, and he works for
16 Stantec.

17 We have Marcel Gahbauer. He is a
18 senior wildlife biologist and regional technical
19 lead in wildlife and wildlife habitat at Stantec.

20 We have Butch Amundson. He is
21 principal and technical lead of Aboriginal affairs
22 and heritage resources at Stantec.

23 And myself. And in the back row, we
24 have Leanne Weinberg, she is senior wildlife
25 biologist at Stantec.

1 And Mike Shaw; he is a greenhouse gas
2 analysis engineer at Manitoba Hydro.

3 And Kristina Koenig; she is the
4 section head of hydrological and hydroclimate
5 studies here at Manitoba Hydro.

6 So the biophysical team also includes
7 a group of specialists who prepared reports on
8 specific physical environment topics, including
9 air, groundwater, noise, terrain, and soils.

10 The biophysical chapters drew upon
11 information provided in self-directed studies
12 prepared by Swan Lake, Long Plain, Black River,
13 and Roseau River Anishinabe First Nations, and a
14 draft report prepared by Peguis First Nation, as
15 well as understandings shared during engagement
16 activities.

17 So I would like to provide some
18 context to the environment we are working within.
19 The biophysical context is quite different,
20 depending on where you are in the existing
21 transmission corridor or the new right-of-way.

22 As the project leaves the Dorsey
23 Station and extends through the RMs of Rosser and
24 Headingley, and through the South Loop
25 Transmission Corridor and the Riel-to-Vivian

1 Corridor, it traverses primarily developed
2 agricultural lands.

3 Much of this portion of the project,
4 or approximately 92 kilometres, will be located
5 within an existing or planned transmission
6 corridor.

7 So as the project extends south of the
8 Anola area and traverses an area characterized by
9 some hay land and rural residential land, and
10 areas dotted with aspen stands. Then, as the
11 project heads further south, it traverses more
12 intact areas of forested lands, as well as
13 peatland bogs closer to the U.S. border. So in
14 fact, much of the forested landscape exists in the
15 new right-of-way portion of the project.

16 Because of this varying landscape,
17 wildlife habitat varies across the project region.
18 So grasslands, pastures, and croplands provide
19 staging areas for large numbers of waterfowl,
20 gulls, shore birds, and cranes, during migration
21 periods. And wetlands support a diversity and
22 abundance of wildlife, including amphibians and
23 water birds. The project also crosses
24 75 watercourses, including such rivers as the
25 Assiniboine, LaSalle, the Red, the Seine, and the

1 Rat Rivers.

2 Overall, the southeast portion of the
3 project area supports a greater concentration of
4 undeveloped land, intact forest, and wetlands,
5 supporting a variety of species which also support
6 traditional and culturally important activities.
7 Many of the biophysical effects that will be
8 described today will be occurring in this area,
9 due to these natural conditions.

10 This project is also located within
11 Treaty 1 territory, and is in the traditional
12 territories of the Anishinabe, Cree, and Dakota
13 people, and is within the homeland of the Metis
14 Nation. So there is historical and current day
15 use of the area. And the southeast part of the
16 province is understood to be important to First
17 Nations and Dakota people and the Metis people, as
18 it is one of the few remaining portions of Crown
19 land in this part of the province.

20 One of the recommendations from the
21 Bipole III CEC hearing panel report were concerns
22 related to valued component selection. So a
23 concern about both the type and the number of VCs,
24 or valued components, was shared. So in this
25 assessment, higher-level VCs were selected, such

1 as vegetation and wetlands, where ecosystem level
2 metrics such as intactness and fragmentation could
3 be considered.

4 Focal species included represent
5 species of concern, and species that were
6 particularly sensitive to linear developments,
7 like transmission lines.

8 Manitoba Hydro has had recent
9 experience building other projects recently in a
10 very similar landscape type. So lessons learned
11 and relationships formed from these experiences
12 have helped in planning relevant, effective
13 mitigation measures for MMTP.

14 And we are also lucky enough to have a
15 similarly sized transmission line in relatively
16 close proximity to the final preferred route, so
17 this allowed us to set up field programs aimed at
18 understanding how a right-of-way in this
19 particular landscape may be used by local
20 wildlife.

21 So, for example, we set up wildlife
22 cameras along M602F and R49R to gather information
23 about the abundance and distribution of
24 white-tailed deer and black bear, and about other
25 fur-bearers along the alternative route segments

1 and aerial track surveys, as well as bird
2 mortality monitoring surveys.

3 So some of the key engagement feedback
4 that we've received, and some of what you've heard
5 in earlier presentations during this hearing, is
6 that everything is connected. And we've heard
7 that phrased in different ways throughout this
8 hearing.

9 As you move further east, there is
10 more potential for heritage and cultural impacts.
11 There are few areas to practice traditional use in
12 Southern Manitoba, and there is value to fish and
13 wildlife and the habitat that supports them. And
14 that's been expressed substantially in
15 self-directed studies that we have received for
16 this project.

17 So the nature of the route is such
18 that the areas of traditional importance to First
19 Nations located around the Marchand area are
20 avoided. Tall-grass and mixed-grass prairie are
21 avoided; grouse leks and the Vita elk herd core
22 are essentially avoided.

23 Some key mitigation measures that are
24 relevant to this panel. So detailed mitigation
25 measures will be shared by each discipline lead,

1 but overall, key measures include routing, so by
2 making use of 92 kilometres of existing --
3 Manitoba Hydro existing transmission corridor,
4 effects to the biophysical environment are
5 reduced.

6 Construction in sensitive areas, such
7 as wetlands and stream crossings, will be done in
8 frozen-ground conditions, when there is less
9 potential for rutting and many species have
10 migrated south.

11 Existing access will be used wherever
12 possible. There is also going to be a detailed
13 environmental protection plan created, which will
14 map environmentally sensitive sites and have
15 information describing buffers around sensitive
16 areas, and a closely managed access management
17 plan.

18 So, the value components discussed
19 today include fish and fish habitat, vegetation
20 and wetlands, wildlife and wildlife habitat,
21 traditional lands and resource use.

22 Fish and fish habitat was selected as
23 a valued component, as fish play a fundamental
24 role in the functioning ecosystem, and are a key
25 indicator of aquatic health. Fish are

1 economically and recreationally important to
2 Manitobans, and are valued by First Nations and
3 Metis and the Dakota people.

4 Vegetation and wetlands was selected
5 as a VC, as vegetation is important to a natural
6 functioning ecosystem, and vegetation and wetlands
7 help maintain biodiversity, provide wildlife
8 habitat, and support a variety of human
9 activities, from recreational to medicinal.

10 Wildlife and wildlife habitat are a
11 critical part of a functioning ecosystem as well.
12 Wildlife plays a vital role in ecological and
13 biological processes, and are indicators of a
14 healthy ecosystem, as key biological processes
15 must be in place for some key species to exist.
16 Wildlife is also important for recreational,
17 social, cultural, and sustenance reasons for
18 people in Manitoba.

19 Traditional land and resource use is
20 included as VCs in the project because it
21 potentially affects valued traditional activities
22 and practices and sites and resources that are of
23 cultural importance to First Nations and Metis.

24 I'm just going to talk a little bit
25 about this roadmap each of the discipline leads

1 will be sharing as they go through their
2 presentation. Each one will provide an overview.
3 They will describe what they've heard through
4 engagement, what they assessed, their key
5 findings. They will describe mitigation
6 monitoring and followup, as well as conclusions
7 that they've reached in the assessment.

8 I'm going to pass it on to Dave Block
9 next.

10 MR. BLOCK: Okay, good afternoon. As
11 Sarah mentioned, my name is Dave Block, and I'll
12 be presenting on the environmental assessment of
13 fish and fish habitat.

14 So the first thing I want to cover is
15 the placement of the final infrastructure when we
16 are done.

17 So if you can go to the next one.

18 So on -- sorry, on the left-hand
19 screen, we've got -- that's the Assiniboine River
20 crossing, an overhead view of the Assiniboine
21 River crossing. That's the South Loop
22 Transmission Corridor, so the two existing towers
23 are shown there. And we have kind of graphically
24 superimposed the towers for this project.

25 Now, this is not to scale, and all of

1 those disclaimers on that; this is just for an
2 idea of where the final towers are going to be.

3 And the other one just shows the
4 planned view of that. So this tower is going to
5 be 42 metres from the ordinary high-water mark of
6 the Assiniboine River, and this is the closest
7 that any permanent infrastructure will be to any
8 water body along the project route. So please
9 keep that in mind as I move along here.

10 For regulatory guidance, we have the
11 Fisheries Act, which prohibits serious harm to
12 fish, as well as the deposit of deleterious
13 substances, and that's kind of our benchmark when
14 we're doing the assessment; any project activity
15 that would cause serious harm to fish or cause the
16 deposit of deleterious substance could be
17 considered an effect.

18 We also considered the Species at Risk
19 Act, which protects species at risk and their
20 habitat, and of course we used the National Energy
21 Board Electricity Filing Manual, as well as
22 various other documents.

23 So the key issue in the assessments,,
24 as well as the key issue that I'm going to discuss
25 in my presentation today, is a change in fish

1 habitat, and that's mainly through the clearing of
2 the right right-of-way, the clearing of riparian
3 vegetation.

4 We also considered some other aspects,
5 and I will go over those briefly, but this will be
6 the key issue that I will cover today, because
7 that was the main issue with respect to this
8 project.

9 So during the public engagement and
10 First Nation and Metis engagement processes, we
11 had various input on fish and fish habitat, and
12 the main concerns were related to clearing of
13 riparian vegetation, as well as the use of
14 herbicides. And we did consider both of those
15 during the assessment, and I will discuss each of
16 those later, relating to the assessment of effects
17 on fish and fish habitat.

18 Hopefully these acronyms were
19 familiar; I believe they were covered yesterday,
20 as a general description, so I'm going to go over
21 these in relation to fish and fish habitat.

22 The regional assessment area is shown
23 on the left screen there; that's the seven
24 sub-watersheds that were crossed by the project.

25 The local assessment area for the Red

1 and Assiniboine Rivers was 200 metres upstream,
2 600 metres downstream, and 30 metres up-bank from
3 the right-of-way. And for all other crossings, it
4 was 100 metres upstream, 300 metres downstream,
5 and 30 metres up-bank. And this was based on
6 information related to the -- kind of flow of
7 water and sediment, should it enter the stream; it
8 was based on how far this could potentially travel
9 downstream, and potential extent of local effects.
10 And of course the project development area is the
11 project footprint, the right-of-way width.

12 We also had temporal scope, which
13 included construction, which is scheduled for two
14 years. So the potential effects during
15 construction were considered, as well as potential
16 effects during operation, which was assumed at
17 around 100 years as the expected life span of the
18 project.

19 We also considered different life
20 cycles of fish species, as potential effects could
21 change, depending on the life cycle. Short-lived
22 species' reproduction rates, effects could be
23 different, compared to longer-lived fish species
24 who maybe don't reproduce as often, so the
25 potential effects could change, depending on the

1 fish species present. So we did consider that as
2 well.

3 Okay. So the final preferred route
4 crosses 75 watercourses, and that included some
5 major water bodies, like the Assiniboine River and
6 the LaSalle and Red River south of the city, as
7 well as the Rat River, and further south, Pine
8 Creek, which is actually just north of the border.

9 And we also have a potential for
10 75 fish species within those 75 watercourses, and
11 those include many of the sport fish that many
12 people probably recognize, pike and walleye, as
13 well as some small-bodied species, such as the
14 brook stickleback and -- obviously many others.
15 There are 75; I didn't want to run through the
16 whole list, but a few examples of what we looked
17 at.

18 The 75 watercourses were initially
19 categorized based on Fisheries and Oceans Canada
20 information. We had 29 that were direct fish
21 habitat and 46 that were indirect fish habitat. I
22 will go into the definition of those in just a
23 second.

24 So the 29 that were direct fish
25 habitat were carried forward to the assessment,

1 and the other 46 were not. However, standard
2 mitigation -- actually, flip to the next one.

3 Standard mitigation, which will be
4 discussed tomorrow in the environmental protection
5 plan, there is a fair number of mitigation
6 measures that will apply to these crossings that
7 are covered in the environmental protection plan;
8 we still consider those, but as far as potential
9 effects, we just looked at the 29 that are direct
10 fish habitat.

11 Switch to the next one.

12 So, a quick definition of what we mean
13 by direct and indirect fish habitat. On the left
14 screen there, the red line is the Rat River. So
15 direct fish habitat refers to areas where fish
16 actually exist, so areas that have enough water
17 that they can carry out some part of their life
18 cycle. That's direct fish habitat.

19 So indirect is a little more -- maybe
20 a little more unfamiliar. So the green lines on
21 this map are indirect fish habitat. So those are
22 swales and fields, or roadside ditches. So when
23 it rains, those will fill up; in a day or two,
24 they are dry. So they don't hold water long
25 enough to support fish, but we call it indirect

1 fish habitat because that water eventually flows
2 into water that contains fish. So there are still
3 potential impacts on water quality. So any
4 deposit of sediment or contaminants into this
5 indirect fish habitat could end up in water that
6 contains fish, and that's why we still have the
7 standard mitigation measures.

8 To determine existing conditions, we
9 did a desktop review of available literature. We
10 looked at government documents and scientific
11 publications. It is a fairly well-known area, so
12 there was a fair bit of information available as
13 far as species present and distribution.

14 We did field surveys on 23 of the
15 watercourse crossings, and at those we did
16 assessment of riparian vegetation, bank stability.
17 We did some water quality measurements, as well as
18 some in-stream habitat features. And we also
19 reviewed the First Nation and Metis and public
20 engagement information we had available at the
21 time to help with this type of information; again,
22 species distribution, recreational, Aboriginal
23 fishing, that sort of thing. So we used all this
24 information to determine existing conditions in
25 the area.

1 The 29 stream crossings, direct fish
2 habitat, we did an assessment -- sorry, we
3 classified the land cover, the riparian land
4 cover, based on the vegetation information, which
5 Nick will get to next. And we used that
6 information to categorize the riparian habitat
7 within the right-of-way and 30 metres up-bank from
8 the ordinary high-water mark.

9 And we classified those into these
10 five categories: Agriculture, being pasture,
11 croplands; developed, being roads or rail or any
12 kind of human development within that area. And
13 then we also had wetlands, grassland, shrubland,
14 and forest.

15 And the main one to consider here is
16 forest, as I move along in the presentation. This
17 is -- our greatest potential for effect is in
18 areas that are forested, because this is where we
19 need to clear. So I will get into that in a few
20 minutes, but that's kind of why we categorize
21 these, and separated out forest from maybe some of
22 the other natural areas.

23 So I will quickly run through one
24 example of -- sorry, two examples of this riparian
25 land cover.

1 This is Sturgeon Creek, just west of
2 the city. So when we look at the riparian land
3 cover there, we have -- this is per cent of the
4 area within that. Forty-one per cent agriculture,
5 almost 44 per cent developed. And again, to note
6 here, the forested area is zero. So when we look
7 at that, when we go to clear the right-of-way, in
8 this case, basically we don't need to do any
9 clearing, so there is no change in fish habitat.

10 So the counter to that would be, as an
11 example, the LaSalle River. So if we look at
12 that, it is 79 per cent forested, so when we are
13 doing right-of-way clearing, there is a potential
14 change to fish habitat, because 79 per cent of
15 that area is forested, so there will be a change
16 there.

17 So of the 29 crossings that we looked
18 at, we found that 15 were primarily agricultural
19 or developed, and 14 of them had at least some
20 forested riparian habitat.

21 And that's shown on the -- it's
22 probably hard to tell, but that's shown on the map
23 here, the distribution of those.

24 So as I mentioned earlier, for the
25 environmental assessment, our primary factor was

1 the change in fish habitat. We did also consider
2 a change in fish mortality; I will go into that
3 one briefly, but I will cover change in fish
4 habitat in a little more detail.

5 Fisheries and Oceans Canada developed
6 pathways of effects diagrams, and so we used those
7 as our assessment tool, and those were developed
8 by Fisheries and Oceans. There was habitat
9 biologists, engineers, and scientists from across
10 the country that developed these, and they
11 describe the pathway, the cause-and-effect
12 relationship of various activities leading to the
13 ultimate potential effect on fish habitat.

14 And as I discussed in my opening
15 slide, there are no in-water activities planned,
16 so none of those applied. And there were two
17 land-based activities that applied to this
18 project, being use of industrial equipment and
19 vegetation clearing.

20 So this is a fairly -- very
21 streamlined version of the pathways of effects
22 diagrams. There is quite a few pathways that they
23 describe, how vegetation clearing can lead to
24 decrease in shade, increase in erosion. Leaf
25 litter inputs -- there is various inputs that

1 vegetation has, and by removing it, we are
2 altering the fish habitat in that way, and the
3 main effect being -- or potential effect being a
4 change in water quality through increased sediment
5 and erosion, contaminants, herbicides, or the use
6 of industrial equipment that leaks, spills;
7 petroleum products and that sort of thing.

8 So we looked at all of the various
9 pathways. And the next step was to apply
10 mitigation to each of these pathways. So on the
11 left-hand screen I have a diagram of one of the
12 mitigation measures, and that is the riparian
13 buffer.

14 So it is generally 30 metres. It
15 increases with slope. And within that, there is a
16 seven-metre machine-free zone. So within that
17 area, trees that have the potential to affect the
18 operation of the line are selectively removed.
19 The other vegetation is left in place, and the
20 seven-metre machine-free zone is what it sounds
21 like: Machines don't encroach on the stream
22 within seven metres. Trees within that area are
23 either removed by chainsaw or by reaching in with
24 the equipment.

25 There is various other mitigation

1 measures listed there. Pesticide use permits,
2 which controls the use of herbicides in the area.
3 We have erosion control measures, emergency
4 response plans.

5 And after the application of all of
6 these mitigation measures, we looked at the
7 residual change in fish habitat and determined
8 that there should be no measurable change in water
9 quality, and a reduced change in riparian
10 vegetation.

11 So we did a similar process for change
12 in fish mortality. Most of the pathways overlap.
13 The one that didn't, that I didn't cover here, is
14 access. So by increasing access, there is the
15 potential to open up new areas and increase
16 fishing -- fishing pressure, which could alter
17 fish populations. But I think it is going to be
18 discussed tomorrow with the access management
19 plan, where the majority of areas are very
20 accessible, and there should be no increased
21 fishing pressure and no change in fish populations
22 based on that.

23 So, the assessment on fish and fish
24 habitat concluded that there will be negligible
25 effects to fish and fish habitat, and based on

1 that, a cumulative effects assessment was not
2 conducted on fish and fish habitat.

3 Monitoring and followup will be done
4 primarily through environmental inspections.
5 There will be environmental inspectors on site
6 during construction. They will look for the --
7 they will monitor the implementation of mitigation
8 measures. They will ensure that the riparian
9 buffer widths are maintained, any mitigation
10 measures are properly applied and are working
11 effectively.

12 In addition to that, there is the plan
13 for annual monitoring, during construction and
14 when you are post-construction, and that will look
15 at the same thing, to ensure that the riparian
16 buffers were maintained, make sure that the
17 mitigation measures were applied properly and were
18 effective.

19 The key findings, I will summarize
20 quickly. We crossed 75 -- or, sorry, we will
21 cross 75 watercourses. Forty-six of those were
22 determined to be indirect fish habitat; however,
23 we will still apply our standard mitigation
24 measures to those where required. Twenty-nine of
25 those were direct fish habitat, and we assessed

1 potential effects to that -- sorry, to those
2 crossings.

3 Of those 29, 15 were primarily
4 agricultural or developed, so there should be no
5 change in fish habitat based on our project.

6 Fourteen of those did contain forested
7 habitat, so there will be a change in fish
8 habitat. And that will be the selective removal
9 of trees that have the potential to affect the
10 operation of the line.

11 And based on that, our conclusion was
12 that the project will alter fish habitat primarily
13 through the selective removal of riparian
14 vegetation; and based on that, the residual
15 effects on fish and fish habitat were predicted to
16 be not significant.

17 MS. COUGHLIN: Okay. Thanks, Dave.

18 Did you want to bring up your
19 presentation now? Sure.

20 Okay. Nick De Carlo is going to
21 present on vegetation and wetlands.

22 MR. DE CARLO: Hello. Nick De Carlo.
23 I'm going to present on the vegetation and
24 wetlands.

25 So, first, why vegetation and

1 wetlands? As Ms. Coughlin mentioned briefly, it
2 has values covering a range of concerns for both
3 nature and the public.

4 First, it is important for the healthy
5 natural ecosystems. Effects to vegetation and
6 wetlands can alter other aspects of an ecosystem,
7 such as nutrient cycling, floods, climate, and
8 soils.

9 They sustain other elements of
10 biodiversity, such as wildlife and wildlife
11 habitat. They support valued human activities,
12 including hunting, camping, birding, and other
13 recreational activities. And they are valued for
14 indigenous use and collection, including
15 collection of food, medicine, building material.
16 And they have social and spiritual value.

17 And there is potential for the project
18 to affect vegetation and wetlands, be it from
19 clearing of vegetation or movement of equipment
20 and vehicles, for example.

21 Regulatory guidance that was used to
22 help direct the assessment included the Species at
23 Risk Act. This includes measures to protect
24 plants that are listed as endangered, threatened,
25 or of special concern, and any habitat that is

1 identified as critical habitat.

2 There is also Provincial legislation,
3 Manitoba's -- the Endangered Species and
4 Ecosystems Act. This is similar to the federal
5 Species at Risk Act. It includes some of -- many
6 of the same species, but does include additional
7 species; and unlike the Federal Species at Risk
8 Act, applies to both Crown land and public land
9 for species. It also provides protection for two
10 ecological communities: Alvars and tall-grass
11 prairie. And those are protected on Crown land.

12 There is also the Noxious Weed Act,
13 and this identifies plant species that need to be
14 either controlled or eradicated.

15 So I will give you an overview of
16 conditions in the region of the project. The
17 project crosses both prairie and boreal ecozones,
18 and as we've heard before, includes both
19 agricultural land and native upland and wetlands.

20 Three species at risk, protected under
21 the Federal Species at Risk Act, have previously
22 been identified in the region. And two plants
23 have been previously identified that are
24 provincially listed as rare plants. These are not
25 protected under the Manitoba Endangered Species

1 Ecosystems Act or the Federal Act, but they are
2 still species of concern, and are considered rare
3 in Manitoba.

4 And no plant species at risk with
5 critical habitat has been identified in the
6 region.

7 Just before I move on, the species
8 protected under the Federal Species at Risk Act
9 that have been identified within the region are
10 the Great Plains ladies' tresses, Riddell's
11 goldenrod, rough purple false foxglove. And the
12 provincial rare plants are arethusa, or
13 also called dragon's mouth, and ram's head lady's
14 slipper.

15 In the engagement process, we heard
16 several concerns related to vegetation and
17 wetlands. These included herbicide use,
18 specifically changes in the health of plants,
19 inadvertent loss of native plants, and safety for
20 eating.

21 Conservation and protected areas,
22 including areas of special interest, conservation
23 easements, and the desire that these areas be
24 avoided.

25 Also concern about rare plants and the

1 desire to see effects avoided for rare plants,
2 particularly of orchids.

3 And concern for landscape
4 fragmentation, concern for breaking apart large
5 patches of native prairie, or native vegetation in
6 general, habitat loss, and degradation of native
7 vegetation, regardless of size, particularly on
8 Crown land, and traditional use plants and
9 collecting sites.

10 So effects to traditional use plant
11 health, changes in abundance, uses of preferred
12 sites. And these last three items are items that
13 we received more consistent feedback on, and are
14 items that I will discuss further under key
15 issues.

16 Some of the issues could have been
17 addressed through routing, particularly areas of
18 large, intact native vegetation, including areas
19 of special interest, and these were largely
20 avoided.

21 Private and publicly owned managed
22 tall-grass prairie, which was avoided, and this
23 was partially done through project routing and
24 routing the project parallel to existing linear
25 features, taking advantage of existing

1 disturbances and not creating new disturbance
2 where there was none.

3 Going on to what we assessed, we used
4 three assessment areas -- you have heard some of
5 this before.

6 For vegetation, specifically, we used
7 the PDA, or the project development area, and this
8 is the immediate area of the project footprint, so
9 the immediate area of disturbance.

10 We can see this on the second screen.
11 This is the centre-most line.

12 Next we used an LAA, or local
13 assessment area. This is a one-kilometre buffer
14 either side of the PDA. And this was used to put
15 project effects into local context and determine
16 what are the local effects.

17 Then we also used an RAA, or regional
18 assessment area, and this was a 15-kilometre
19 buffer either side of the PDA, and this was used
20 to assess cumulative effects.

21 Okay. We used a biodiversity approach
22 in the assessment, looking at three levels of
23 diversity.

24 Change in landscape diversity,
25 landscape being broad patterns of interacting

1 ecosystem, such as uplands and wetlands.

2 The next level was the change in
3 community diversity, which is a finer scale of
4 resolution, and this is patterns of vegetation
5 species, such as deciduous forest, mixed-wood
6 forest, or grassland..

7 And then, finally, changing species
8 diversity. What are the changes to individual
9 plants; for example, effects to rare plants.

10 We will move to the next.

11 And attributes that we used to look at
12 these levels of diversity included landscape
13 intactness; this was at the landscape diversity
14 level. Native upland vegetation and wetland
15 cover, so the community level diversity.

16 And then at the species level
17 diversity, we looked at rare plant species,
18 traditional use plant species, and invasive plant
19 species.

20 And at those levels, where
21 appropriate, we looked at changes in abundance,
22 distribution, and structure.

23 So on the slide to your left, that
24 graph there, abundance can be the number of items,
25 so the number of patches of large upland areas,

1 and we can look at -- how did the number of these
2 large patches change from before the project and
3 with the project.

4 Distribution refers to the
5 geographical spatial distribution. And are large
6 patches or cover types of deciduous forest widely
7 distributed in the study areas, or are they
8 clumped at one area?

9 And then structure, as the photo shows
10 there, refers to the different layers within
11 vegetation communities. So some communities will
12 have a tree layer, shrub layers, and then Forbes
13 and grass layers.

14 Depending on the layers present, there
15 may be different effects to different communities.
16 Some communities will require removal of
17 structures, and other communities may not.

18 Our methods for the assessment
19 consisted of a desktop review. We used
20 peer-reviewed scientific journals, government
21 publications, and reports prepared for other
22 projects that are in the public domain. And with
23 this information, we were able to map vegetation
24 cover, native uplands, wetlands, large patches.
25 Identify plant status, so which species are

1 considered rare. What information do we have of
2 those species within the regions, study areas that
3 were examined.

4 And then, are there any plants that we
5 know of that have been identified previously as
6 traditional use plants?

7 We also conducted key person
8 interviews, such as with Provincial biologists,
9 get their input on issues that are of concern to
10 them, attributes that they would like to see
11 included or not required within the assessment.

12 Other stakeholders, also public
13 engagement, getting the feedback from the public
14 of their concerns. Traditional knowledge, both
15 First Nation and Metis engagement process and
16 self-directed study. And we also conducted field
17 surveys, specifically for wetlands and rare
18 plants.

19 The second screen there, on your
20 right, shows the location of survey sites. Not
21 all of our survey sites occur on the final
22 preferred route, as the initial focus for surveys
23 was not purely on the final preferred route, but
24 was also done to help support alternative routes.

25 As part of the wetland surveys and

1 rare plant surveys, we also collected information
2 on traditional use plants, and invasive plants,
3 when they were observed.

4 With this information, we conducted
5 the effects assessment.

6 So the first key issue, landscape
7 intactness. This refers to large intact patches
8 of native vegetation, both uplands and wetlands,
9 and clearing from the project could fragment --
10 break these patches apart, and make them smaller.

11 Large patches are important because
12 they help support wildlife populations and
13 maintain important functions, such as fire.

14 It may seem odd that we use wildlife
15 to define the large patches here. That's done
16 because more is known about wildlife and their
17 dependency on large patches and vegetation, and
18 what is known indicates that they are more
19 sensitive to the patch size. So as a conservative
20 approach, we've used wildlife requirements.

21 And in this case, it is 200 hectares,
22 and that comes from a report done by Environment
23 Canada.

24 So, like I indicated, right-of-way
25 clearing will be required. This has potential to

1 break patches, particularly forested areas, which
2 will result in fragmentation, and this
3 fragmentation could result in fewer large intact
4 native patches and reduced number of species that
5 require these large intact patches.

6 On the second screen, there, on your
7 right, you can see the distribution of large
8 patches within the study areas. Anything that is
9 hatched is a large patch, so greater than
10 200 hectares. I believe the blue are wetland, and
11 the red are patches that are intersected.

12 The key findings from the assessment
13 is that there is a net change in the number of
14 patches, but the net change is small, and no patch
15 size category is lost, including patches greater
16 than 200 hectares in size.

17 Twenty-two patches out of 202 larger
18 than 200 hectares will be affected, and the
19 effects are mainly to upland native vegetation.

20 And we can see this in the graph here.
21 This is the existing corridor, so we split the
22 assessment into the existing corridor and the new
23 right-of-way, recognizing differences in past use
24 of the area, and abundance of native patches.

25 So on the existing corridor, there

1 will be a reduction in one patch larger than
2 200 hectares, and most of the effects are patches
3 smaller than 2 hectares, or between 5 and 20, and
4 20 to 100.

5 In the new right-of-way, there is a
6 similar pattern. We don't lose any patches
7 greater than 200 hectares. It is actually an
8 increase in the number, and this is due to very
9 large patches, greater than 200 hectares, being
10 intersected by the project. So instead of one,
11 you may get two. But the two remaining patches
12 are still greater than 200 hectares. The
13 remaining effect is still largely to patches less
14 than 2 hectares, or between 5 and 20, and 20 to
15 100.

16 The next key issue, native vegetation
17 cover. Native vegetation cover in this case
18 refers to both uplands, including grassland,
19 shrubland, deciduous areas, mixed-wood and
20 coniferous forest.

21 Thirty-three per cent of the local
22 assessment area and 33 per cent of the regional
23 assessment area is composed of these cover types,
24 and it also includes wetlands, types such as bogs,
25 fens, swamps, and marshes.

1 Four per cent of the local assessment
2 area and 5 per cent of the regional assessment
3 area is composed of these wetland types.

4 The project could affect these through
5 right-of-way clearing, tower construction,
6 mobilizing and demobilizing of equipment and
7 vehicles, and weed control, specifically the use
8 of herbicides.

9 And these activities could result in
10 vegetation removal, the introduction or spread of
11 non-native species or weeds, or native species
12 loss. And those outcomes, together, could alter
13 the community distribution, reduce the community
14 abundance, and also reduce native species
15 abundance.

16 Key findings from the assessment were
17 that less than 5 per cent of grassland, shrubland,
18 and forest will be affected in the local
19 assessment area, and less than 5 per cent of
20 wetland will be affected in the local assessment
21 area.

22 And the project is not routed through
23 managed tall-grass prairie parcels, and we can see
24 that illustrated on the screen to your right.

25 Managed tall-grass prairie parcels

1 occur largely to the east of the final preferred
2 route, although there is one to the west. And all
3 of them have been avoided by the final preferred
4 route.

5 The next issue; traditional use plant
6 species. More than 300 species were identified
7 through First Nation and Metis engagement. This
8 includes plants that are gathered for construction
9 purposes, such as bur oak; medicines, such as
10 sweetgrass; and berries, such as cranberry.

11 Traditional collection areas do occur
12 in the final preferred route right-of-way. The
13 majority of the areas, though, identified from the
14 self-directed studies and the Manitoba Metis
15 Federation final report, are located east of the
16 final preferred route right-of-way, and 39 species
17 that were identified through the engagement
18 process as traditional use plant species were
19 observed during wetland and rare plant surveys
20 along the final preferred route right-of-way.

21 And we can see those here.

22 Most of the sites recorded berry
23 plants, but other plants were recorded at other
24 sites as well.

25 As with native vegetation clearing,

1 our native vegetation issues, effects to
2 traditional use plants, include right-of-way
3 clearing, tower construction, mobilizing and
4 demobilization of equipment and vehicles, and weed
5 control -- again, specifically the use of
6 herbicides -- basically result in vegetation
7 removal, non-native invasive weed introduction and
8 spread, and native species lost.

9 And for traditional use plant species,
10 this could result in a loss of plant collection
11 sites, reduced plant vigour, so plants are not as
12 tall; they may not produce as many berries. Or
13 also just reduce plant abundance, so just fewer
14 plants that are used for traditional use purposes.

15 Key findings of the assessment were
16 that the project avoids many known traditional use
17 plant collection sites.

18 Vegetation cover classes; those
19 supporting traditional use plant species will be
20 reduced, and traditional use plant species and
21 supporting cover classes are expected to persist,
22 including on the final preferred route
23 right-of-way.

24 Now, these -- the assessment and the
25 approach to these last two bullets is based on the

1 ranking of traditional use plant species in
2 Manitoba. The majority of the species are common
3 species; only five species are considered species
4 of conservation concern within the province, and
5 they are associated with cover, common cover
6 community types. So if the cover community types
7 are maintained, the species that they are
8 associated with are expected to be maintained.

9 Moving on to key mitigation measures,
10 five key mitigation measures are being used for
11 vegetation and wetlands.

12 First, clearing and construction when
13 ground is frozen or dry. This is important
14 because when the ground is frozen or dry, there is
15 less likelihood for erosion and rutting, so less
16 potential for disturbing the soils that the plants
17 rely on, so changing the conditions, and less
18 vegetation removal.

19 Vehicle and equipment is restricted to
20 established roads and trails, so managing the
21 disturbance to what is predicted, not having
22 inadvertent disturbance, carefully controlling the
23 disturbances.

24 Existing access routes used where
25 possible, so being efficient with how areas are

1 accessed, and making use of existing disturbance,
2 as opposed to creating new disturbance where it is
3 not needed.

4 Equipment is clean and free of debris.
5 So when equipment arrives to site, it's clean; it
6 doesn't have mud or plant material that could
7 contain seeds or plant fragments of weeds and
8 invasive plant species from other areas. This
9 will help reduce the spread of weeds and invasive
10 plants, and will help limit the introduction of
11 these species to new areas.

12 Disturbed areas will be rehabilitated
13 where appropriate, and weed control conducted at
14 access points. So weeds are good at exploiting
15 disturbance, bare ground. Rehabilitating these
16 areas will help limit the potential for their
17 introduction and establishment.

18 And conducting control at access point
19 will help check vehicles, that they are clean and
20 free of debris, and will also help identify areas
21 with invasive plants or weeds, where vehicles may
22 be traveling through when they are accessing the
23 right-of-way, identifying them before the vehicles
24 get onto the access right-of-way, and further help
25 limiting the spread of those species.

1 Now, our findings and conclusions, I'm
2 going to talk about cumulative effects first.

3 The RAA, as we've seen in other talks,
4 has been altered by agricultural conversion and
5 development. A lot of this happened in the late
6 1800s and early 1900s.

7 Forty-eight per cent of agricultural
8 land is composed -- in the RAA is composed of
9 agricultural land, and 13 per cent of the RAA is
10 composed of developed land.

11 Project contribution; the project will
12 have a contribution to cumulative effects, and
13 incremental, but the effect is small, with less
14 than 1 per cent of native upland and wetland
15 within the regional assessment area affected.

16 There is potential for interactions
17 with future projects, but a review of future
18 projects indicates that they will largely be
19 situated in developed areas. However, there is
20 some uncertainty with future projects.

21 And the project will not affect the
22 long-term persistence or viability of landscape,
23 community, or species diversity. By this I mean
24 it is not expected to change the status of a
25 species or community, so make species or community

1 threatened or endangered when it isn't, or result
2 in a loss of community or species.

3 Monitoring and followup is planned to
4 check the conclusion of the assessment. So,
5 further surveys will be done, including for rare
6 plants and invasive plant species. So identify
7 other locations that rare plants may occur along
8 the route, where there is potential for them, and
9 help identify where mitigation is required.

10 And consultation with Manitoba Fish
11 and Wildlife Branch of Manitoba Sustainable
12 Development to see if there is anything further
13 they would like since the date of the assessment
14 and the original surveys were completed.

15 Further wetland intersect
16 preconstruction surveys will also be done. So
17 there are opportunities in some locations for
18 adjustment in the final tower placement, and
19 surveys will be done to help confirm and refine
20 mapping and identify where there are opportunities
21 to locate towers either closer to the edge of
22 wetland, and possibly fully avoid wetlands.

23 And postconstruction monitoring
24 surveys will be done to evaluate the effectiveness
25 of mitigation, identify areas that require further

1 mitigation, identify what is working and what is
2 not working.

3 Key findings and overall conclusions
4 of the assessment are that the number of patches
5 of large -- number of patches, in general, of
6 vegetation will increase and will be affected,
7 including large patches.

8 But the next change, particularly with
9 large patches, is small, and no patch size
10 category is lost. Less than 10 per cent of upland
11 and less than 5 per cent of the wetland is
12 expected to be affected.

13 Areas of special interest are largely
14 avoided, although not completely. And no
15 traditional use plant species are expected to be
16 lost from the local assessment area, or the
17 regional assessment area, due to the project.

18 As a result project residual effects
19 are considered to not be significant.

20 Thank you.

21 MS. COUGHLIN: So I guess we will keep
22 going.

23 So this is Dr. Marcel Gahbauer; he is
24 going to talk to us about wildlife and wildlife
25 habitat.

1 MR. GAHBAUER: Good afternoon.

2 I will be speaking about wildlife, and
3 why we picked wildlife as a VC, similar to what
4 Mr. De Carlo indicated for vegetation and
5 wetlands, we have wildlife being a critical
6 component and indicator of healthy ecosystems.

7 We've certainly heard that wildlife
8 are important to First Nations and Metis culture
9 and sustenance, and we also recognize that
10 wildlife have the potential to be affected by a
11 transmission project.

12 The regulatory guidance that applies
13 to wildlife is, again, similar to what you've
14 heard from the previous speakers. The Species at
15 Risk Act applies, again. In addition, for birds,
16 the Migratory Birds Convention Act is relevant in
17 terms of protecting birds and their nests.

18 The Manitoba Endangered Species and
19 Ecosystems Act again applies, as it does to
20 vegetation and wetlands, as does the Manitoba
21 Wildlife Act.

22 So the key issues for wildlife are
23 change in habitat availability for species and
24 individuals; disturbance to individual wildlife,
25 particularly during the construction phase; and

1 potential for mortality during both construction
2 and operation.

3 The wildlife assessment areas are the
4 same as were described before, so I won't belabour
5 the point. But again, just to refresh everyone's
6 memory, the PDA is the right-of-way itself; the
7 LAA, or the local assessment area, is a
8 one-kilometre buffer around the PDA, and the
9 regional assessment area, or RAA, is a
10 15-kilometre buffer around the PDA, and is used
11 primarily for setting a context for understanding
12 of cumulative effects.

13 What we heard from public
14 consultation, and from the First Nations and Metis
15 engagement process, were several concerns.
16 Certainly there was a concern over potential to
17 fragment protected areas, or other large existing
18 tracts of habitat, primarily forest and large
19 wetlands, that clearly support wildlife and our
20 wildlife habitat.

21 There were concerns expressed about
22 potential for disturbance of the elk heard that
23 centred around Vita. Also mention about the fact
24 that the route passes through some areas that have
25 been designated under the Species at Risk Act as

1 being critical habitat for a threatened species
2 under the Species at Risk Act, that being the
3 golden-winged warbler.

4 Some concerns about how changes in
5 access could result in differences in predation
6 pressure on certain wildlife, or hunting pressure.

7 And lastly, concerns were expressed
8 regarding potential for mortality specific to bird
9 collisions with the transmission lines during
10 operation.

11 Some of these issues were addressed
12 through routing. So the routing has gone outside
13 of the wildlife management areas and other
14 protected lands, and the routing is such that
15 additional fragmentation of the landscape is
16 limited.

17 The landscape is already severely
18 fragmented over much of the RAA, but as you can
19 see on the inset on the left, this is an example
20 of where the route, the PDA, or the right-of-way,
21 as it is shown there, is largely skirting the edge
22 or just crossing through a corner of some of the
23 larger patches, to reduce the extent of
24 fragmentation.

25 The final preferred route is more than

1 500 metres away from sharp-tailed grouse leks,
2 that being a distance at which the grouse are
3 considered to be sensitive to disturbance. And
4 the routing is also away from the core of the Vita
5 elk herd.

6 So what we assessed was principally
7 two areas: the change in habitat for wildlife,
8 which takes into consideration fragmentation; and
9 also mortality risk, which is throughout the whole
10 process, from construction, including collision
11 risk during operation, and also considers changes
12 that may be in relation to differences in
13 predation and hunting during operation.

14 To undertake this assessment, we took
15 an ecosystem approach, and we did, though, look
16 particularly at certain focal species or groups to
17 help guide our assessment.

18 So we broke it down first into
19 mammals, birds, and amphibians and reptiles, and
20 within each of those groups, we identified a few
21 specific -- well, at least within mammals and
22 birds, we identified some specific focal species
23 and groups.

24 So for mammals, we looked in
25 particular at how elk, moose, deer, black bear,

1 fur-bearers, and bats might be affected by the
2 project.

3 For birds, we took more of a
4 habitat-based assessment, considering the effects
5 on interior forest birds, open forest birds,
6 grassland birds, and wetland birds.

7 And then amphibians and reptiles, we
8 looked at largely as a group. We did look at
9 upland and wetland, but there was a minor
10 distinction there, so we will be discussing them
11 as a group here.

12 The approach we took was to begin with
13 a desktop review, where we looked at the status of
14 species that may occur within the RAA, and their
15 distribution within it, and then to consider the
16 availability of habitat for these species, given
17 their needs.

18 We undertook the key person
19 interviews, where we spoke with Provincial
20 biologists with Manitoba Sustainable Development,
21 with faculty from University of Winnipeg, and with
22 a variety of other stakeholders. We considered
23 input from the First Nations and Metis engagement
24 process.

25 And then, with these first three

1 points in mind, we identified gaps that we needed
2 to investigate further or supplement with our
3 field studies. So we undertook a variety of
4 surveys for mammals, birds, reptiles, and
5 amphibians, and the map on the right screen here
6 shows an overview of the field programs and their
7 locations.

8 As with the comment that Mr. De Carlo
9 made previously, some of these are a fair distance
10 away from the PDA; that reflects, in part, again,
11 that some of these were undertaken at a time when
12 multiple routes were under consideration. But
13 also some of these are reflective of our
14 intentional surveys along existing transmission
15 lines, specifically M602F and R49R, which we used
16 as proxy areas to understand some of the existing
17 conditions along right-of-way habitat that might
18 give us an indication of what the future
19 conditions would be like along this project.

20 And with the field data, then,
21 collected and analyzed as well, we then undertook
22 the effects assessment.

23 So what I will do here is go over some
24 of the key findings in relation to the focal
25 species and groups that I identified previously.

1 With mammals, I will begin with elk.
2 Elk are a generalist herbivore. They use forest
3 edges, grassland habitats. Within Manitoba, the
4 population is a bit fragmented, but within the
5 RAA, we are limited to having a population that's
6 known as the Vita herd, roughly based around Vita,
7 and crossing the border back and forth to
8 Minnesota different times of year.

9 The population of that herd is around
10 100 to 250 individuals. We did not, through our
11 field studies, observe any elk or sign of elk,
12 such as tracks, within the LAA, although there
13 were some within the RAA. And this is further
14 supported by telemetry data from ongoing research
15 that Manitoba Hydro has been supporting, and which
16 will be discussed further in the monitoring
17 presentation tomorrow, likely.

18 So, given the distribution of the elk
19 primarily outside the local assessment area, we
20 see there being negligible potential for
21 interaction with the project.

22 Moose are largely a wetland and
23 forest-edge ungulate. Like many of the other
24 mammals that we looked at, they are traditionally
25 hunted by First Nations and Metis. They were

1 formerly more common in southeast Manitoba, and
2 declined considerably in the 1990s.

3 During our field studies in 2014, we
4 had observations of moose at only three locations.
5 Again, with the population as small as it is now,
6 and also understanding that moose are rather
7 generalists, and are known to use right-of-way
8 habitat, we see there being a negligible
9 interaction of the project with moose.

10 Deer, even more so than the previous
11 two species, are habitat generalists. Unlike the
12 previous two, they are widespread and abundant
13 throughout most of the regional assessment area.
14 As such, there is potential for disturbance of
15 deer, especially during the construction phase.
16 That being said, habitat availability during
17 operation is going to be largely unaffected for a
18 flexible species like this.

19 Black bear is another generalist
20 species, largely forest and edges. One of the
21 distinct aspects of black bear biology is that
22 they den; they hibernate over winter. Black bears
23 are widespread in the eastern part of the regional
24 assessment area, and the regional population,
25 according to Provincial biologists, is considered

1 to be stable or increasing.

2 Again, during the construction phase,
3 there is some potential for disturbance of bears,
4 and that will be mitigated by monitoring for bear
5 den locations and responding accordingly if any
6 are discovered. But habitat availability during
7 the operation phase is largely unchanged for this
8 species too.

9 There are a number of species of
10 fur-bearers that occur within the RAA. These
11 include wolf, coyote, fisher, and marten, among
12 others. Some of these species are widespread,
13 such as coyote; others, such as marten, are a
14 little bit more restrictive because of more
15 specific habitat requirements. The marten is
16 mostly in the larger, more mature forest patches
17 in the eastern part of the RAA.

18 With the marten, roughly 2 per cent of
19 its habitat within the local assessment area will
20 be cleared as a result of the project vegetation
21 clearing. Most of the other fur-bearers are
22 actually going to be affected less, because they
23 are more generalist in their habitat usage.

24 And finally among the mammals we've
25 looked at bats. Bats, primarily because there are

1 a couple of species that are considered endangered
2 under the Species at Risk Act, and that
3 designation is largely a function of the
4 white-nosed syndrome disease that's been affecting
5 them over the eastern parts of their range, but
6 hasn't quite yet reached Manitoba.

7 In summer, these bats use maternal
8 roosts in trees. Given the extent of forest
9 habitat, there is not expected to be any
10 limitation on availability of such maternal roost
11 habitat. What restricts them a bit more is their
12 over-wintering sites, their hibernacula; and
13 although there are a number of sites known for
14 over-wintering bats in Manitoba, there are none
15 documented within the RAA, and the habitat and
16 bedrock structure is not considered suitable for
17 there to be such hibernacula present.

18 Given that the bats can actually
19 forage quite effectively along habitat edges --
20 forest edges, specifically -- we don't anticipate
21 any adverse effects for bats.

22 Moving on to birds, the first habitat
23 category that we will look at is the interior
24 forest species, and there's quite a number of
25 birds that fall under this category. The ovenbird

1 is one that is representative of that, because a
2 number of studies have been done on it over the
3 years. The effects on ovenbird and other forest
4 interior birds have largely been mitigated through
5 the process of avoiding many of these larger
6 forest patches.

7 So, for example, the deciduous forest
8 patches that ovenbirds prefer are those that are
9 90 hectares or greater, and these have been
10 avoided by the route. These species are primarily
11 found in the larger habitat patches that remain,
12 mostly north of Richer, east of Marchand, and near
13 Sandilands and Piney.

14 There are also a wide variety of
15 open-forest bird species. Most notable among
16 these is the golden-winged warbler, which as I
17 noted earlier is designated as threatened under
18 the Species at Risk Act.

19 The project does traverse critical
20 habitat, as defined under the Species at Risk Act,
21 and the recovery strategy for the species in the
22 Ste. Genevieve and Richer area, it is worth noting
23 that the fact that it crosses critical habitat is
24 not necessarily in itself a concern, as long as
25 suitable habitat can be maintained or enhanced

1 through other means.

2 So in the case of this project, the
3 suitability of habitat along the future
4 right-of-way can be enhanced in such a way to
5 actually facilitate suitability for this species.

6 We also noticed through our studies of
7 birds along the existing M602F right-of-way that
8 on average, the species diversity was slightly
9 higher there than we had in our samples elsewhere.
10 That reflects the diversity of species that can be
11 found along this right-of-way in future, or we can
12 infer would be the case.

13 So the message there being that during
14 construction, there would be potential for
15 disturbance; but as noted previously, there would
16 be an effort to largely avoid having construction
17 during the breeding bird season, so that would be
18 minimized there, and habitat would largely be
19 suitable for open-forest birds during operation.

20 There are also a number of grassland
21 species that occur in the RAA. The native
22 grassland has been significantly reduced over
23 time, but there are patches still suitable. As
24 with other birds, there is some potential for
25 disturbance during construction, if there are any

1 activities during the breeding season, especially.

2 Unlike for the forest species, there
3 is likely to be very little change during the
4 operational period, since the only real change to
5 the landscape is the presence of the towers, but
6 there's no actual -- except for the tower
7 footprint itself, no actual clearing of habitat or
8 change in habitat structure, so most of the
9 grassland species will be largely unaffected in
10 that way.

11 And then we have wetland species. And
12 although this includes some songbirds as well, we
13 are chiefly concerned here with the water birds,
14 so the ducks, geese, swans, cranes, herons, gulls;
15 others like that. These species, of course, are
16 very concentrated where there is suitable habitat,
17 so primarily that's at the river crossings, large
18 lakes, Deacon Reservoir, and a couple of the
19 larger wetlands.

20 And similar to the grassland birds,
21 there is limited concern in terms of change of
22 habitat, given that it is just the footprint of
23 the towers that's changing. The concern here is
24 more with the collision risk that I alluded to
25 earlier. And it is these larger, heavier wetland

1 birds that have been reported in the literature to
2 be most vulnerable to collisions. And we will be
3 speaking about the mitigation in relation to those
4 in a moment.

5 With amphibians and reptiles, we are
6 largely talking about similar locations. The
7 majority of them are found around the major
8 wetlands and river crossings. Given that the
9 river crossings are spanned and set back --
10 Mr. Block noted earlier that the closest tower is
11 42 metres away from the river, and the others are
12 farther.

13 We have a large degree of avoidance of
14 the areas where these species occur. So there is
15 a little bit of a mortality risk during the
16 construction phase, and that will be mitigated
17 through some additional preconstruction surveys to
18 understand where this risk is greatest, and
19 adaptive management to that. But during
20 operation, again, the transmission line will not
21 have any effect on amphibians and reptiles.

22 So there are a number of mitigation
23 measures for the project, several of which have
24 specific relevance to wildlife and wildlife
25 habitat, so I will just note a few of those.

1 The key one is the integrated
2 vegetation management plan for golden-winged
3 warblers. And I won't go into that in detail
4 here, because that will be presented more fully by
5 the monitoring panel. But the message in relation
6 to my presentation is that as I noted before, we
7 are essentially enhancing future habitat, and
8 having essentially no net loss of habitat,
9 suitable habitat for this species.

10 Equally important is the installation
11 of bird flight diverters. So these, again, will
12 be discussed in some more detail, but these are
13 markers that are put on the overhead lines to
14 increase visibility to birds, to reduce the
15 probability of collisions. And these typically
16 have an effectiveness of about 50 to 80 per cent.

17 And then there is also the access
18 management plan, which addresses some of the
19 concerns about changes in hunting and predation
20 risk. And the main message here is that the
21 majority of access will be along existing roads
22 and trails. There will be very little additional
23 access created.

24 And in terms of the overall increase
25 in fragmentation, we are only looking at about a

1 1 per cent change, so it is really quite a minimal
2 difference there, not likely to have much of an
3 effect there on the hunting and predation.

4 There are also a number of other
5 elements of the environmental protection plan that
6 have direct bearing on wildlife. So this includes
7 some of the items that come out of the
8 preconstruction surveys, such as the mapping of
9 environmentally sensitive sites.

10 As I noted before, the plan to clear
11 land outside of the breeding bird season, that
12 will greatly reduce disturbance to a wide variety
13 of wildlife; birds, primarily, but also some
14 others.

15 More generally, seasonal avoidance of
16 sensitive wildlife periods. If there are active
17 nests or dens, buffers will be established around
18 those to minimize disturbance. Also buffers, as
19 noted previously, around wetlands and riparian
20 corridors.

21 And then some general common practices
22 to maintain voiced control, and not to allow any
23 hunting or harvest by project staff during
24 construction.

25 In terms of cumulative effects, we

1 have a region that -- as others have noted on
2 numerous occasions -- a region that's already
3 substantially altered by agricultural conversion,
4 nearly half of the regional assessment area, as
5 well as by urban and residential development. So
6 we have less than 40 per cent of the RAA that's
7 considered natural habitat.

8 We've identified other existing --
9 that is current or future activities that have
10 direct or indirect effects on wildlife, or the
11 habitat availability of wildlife. So this
12 includes things such as resource use, forestry,
13 quarries, mining, hunting and trapping, the use of
14 ATV and snowmobile trails, and other linear
15 projects; that including roads, pipelines, and
16 other transmission lines.

17 In terms of cumulative effects on
18 habitat, again, we are looking at a landscape
19 where the current distribution and abundance of
20 wildlife habitat, or wildlife, is a function of
21 that cumulative loss of habitat over time.

22 Some of the future activities do
23 overlap to some degree in time and space with
24 parts of this project. That can include the
25 clearing of the right-of-way on other transmission

1 lines, the St. Norbert highway bypass, and some
2 expansion of residential areas.

3 Overall, there certainly is an adverse
4 cumulative effect of habitat loss on wildlife, but
5 the project contributions to that are considered
6 to be incremental and minor.

7 In terms of future projects that could
8 have bearing on mortality of wildlife, there is a
9 number of those. Certainly other transmission
10 lines, again, have the same collision risk issues
11 that this project does. Pipelines, the South End
12 Water Pollution Centre upgrade. There is ongoing
13 collision risk from roads, simply vehicle traffic
14 is a hazard to wildlife, as anyone driving in
15 rural areas knows. There is the expansion
16 proposed for the Piney -- Pine Creek border
17 airport, and again, additional residential
18 development may have some implications for
19 mortality.

20 With respect to the project, again,
21 the bird flight diverters are really the key
22 mitigation; that's the biggest mortality
23 potential. And as I noted before, those have a
24 50 to 80 per cent effectiveness, generally, and
25 those will be targeted at these areas around the

1 wetlands and river crossings that have the higher
2 activity of birds.

3 So, again, there is a cumulative
4 adverse effect of mortality on wildlife, but as
5 with habitat change, the project contributions are
6 incremental and minor.

7 There is a biophysical monitoring plan
8 as part of the environmental protection program,
9 and as I noted before, that will be presented in
10 more detail tomorrow. But just to note here, this
11 will touch on a number of the wildlife focal
12 species that I've discussed, with the intent being
13 to monitor that the -- to monitor the potential
14 effects of the project and adapt mitigation as
15 required.

16 So this will include additional
17 surveys, winter track surveys, aerial ones, to
18 look for ungulate distribution and abundance. The
19 continued use of remote cameras, again, to detect
20 largely the occurrence and use of the area by
21 large mammals. Carcass searches under the
22 transmission lines to really assess mortality
23 rates from bird collisions. Point counts and lek
24 surveys, to get a continued understanding of any
25 effects on bird distribution. Surveys of snake

1 hibernacula and amphibian surveys, again, to
2 detect any changes there.

3 So to summarize the potential changes
4 in habitat for wildlife, there will be a reduction
5 in forest cover within the local assessment area
6 of just under 5 per cent. There will be some
7 creation, accordingly, of new edge habitat. There
8 will also be some indirect loss of habitat,
9 primarily through sensory disturbance during the
10 construction phase, so wildlife that's temporarily
11 avoiding the area, due to noise and light and the
12 general disturbance of the construction process.

13 A large part of that, as previously
14 noted, is going to be avoided through seasonal
15 avoidance at the time of year when most of the
16 wildlife are present and active.

17 And there will be some fragmentation
18 of habitat beyond what is already existing on the
19 landscape, but again, it is only about 1 per cent,
20 so it is quite minor, and involves only a small
21 loss of corridor forest habitat.

22 So, overall, the project residual
23 effects are considered to be non-significant, and
24 the contributions to cumulative effects are minor.

25 And lastly, in terms of the wildlife

1 effects on mortality, we do, during the
2 construction phase, have some potential for
3 collisions with wildlife or destruction of dens or
4 nests. Again, through seasonal avoidance and
5 awareness and environmental monitoring, this can
6 be greatly reduced.

7 The change in access is also quite
8 small, given that the plan is to use largely
9 existing roads and trails. So there is a small
10 potential there for increased hunting pressure
11 where there is new access, but it is limited to
12 only a couple of habitat segments.

13 And there is acknowledged to be a risk
14 of mortality through collision with overhead
15 wires, and this is primarily of concern for the
16 larger wetland birds. But a large part of this
17 has been mitigated through routing, to avoid
18 wetland areas as much as possible, and will be
19 further mitigated through the application of the
20 bird diverters, to make the lines more visible and
21 less likely to result in collisions.

22 So, overall, the residual effects on
23 mortality are also considered to be not
24 significant, and the contribution to cumulative
25 effects are, again, minor.

1 MS. COUGHLIN: We would like to
2 proceed with Butch Amundson's presentation on
3 traditional lands and resource use, if that's
4 okay.

5 Okay. Thank you, Mr. Chair.

6 MR. AMUNDSON: Okay. I would like to
7 talk this afternoon about traditional land and
8 resource use.

9 First of all, I would like to make a
10 note that the photographs that I'm using in this
11 presentation are from the other VCs' field work,
12 and not from the self-directed studies.

13 So, why traditional land and resource
14 use? And I will probably shorten that to TLRU as
15 I speak today, for time considerations.

16 Traditional land and resource use was
17 chosen as a valued component because the project
18 has a potential to adversely affect traditional
19 activities, practices, sites, areas, and resources
20 that are important to First Nations and Metis.

21 Manitoba Hydro's guiding principles
22 are to recognize the diversity of First Nations
23 and Metis cultures and worldviews, to work with
24 First Nations and Metis to better understand these
25 perspectives, to determine approaches for

1 addressing concerns and for building
2 relationships, and to provide First Nations and
3 Metis opportunities to communicate on an ongoing
4 basis and early in the process.

5 The regulatory considerations for
6 traditional land and resource use include the
7 requirements that -- for the EIS that were from
8 the project description. The Federal and
9 Provincial legislation and guidelines for the
10 preparation of this assessment are from the final
11 scoping document, the filing requirements under
12 the National Energy Board Act and guidance for
13 environmental and socioeconomic elements contained
14 therein, and the Canadian Environmental Assessment
15 Act of 2012 and its applicable regulations and
16 guidelines.

17 So I would like to talk about lessons
18 learned from past experience.

19 First of all, traditional knowledge
20 greatly enhances the understanding of species and
21 resources assessed by other VCs. Traditional
22 knowledge contributes a time depth of generations
23 of observation of the ecosystem, its interactions
24 and changes from a holistic point of view. This
25 adds valued knowledge and insight to the

1 assessment of biophysical VCs in the context of a
2 cultural landscape.

3 Secondly, the conservative approach
4 recognizes that DLRU may occur near the project,
5 even if it is not specifically identified by First
6 Nations and Metis.

7 So this presentation follows the same
8 roadmap as previous ones. Beginning with what
9 we've heard, TTLRU interests and concerns
10 addressed in this valued component include plant
11 harvesting for food, medicine, and cultural
12 purposes, especially on Crown land; hunting and
13 trapping for food, economic, and cultural
14 purposes -- again, especially on Crown land;
15 trails and travelways, such as and trail systems,
16 and cultural sites, including burial sites,
17 spiritual sites, and sacred sites and spaces.

18 Continuing with what we assessed, the
19 spatial boundaries chosen for TLRU followed the
20 wildlife VC to be the most inclusive, and captured
21 the broadest area for assessment of effects on
22 harvesting wildlife and vegetation within the
23 context of the environmental assessment.

24 Temporal boundaries consider the
25 current generation that practices traditional land

1 and resource use. Current use incorporates
2 information from traditional land use studies
3 regarding existing conditions.

4 The oral tradition is the shared
5 collective memories of a community passed from
6 generation to generation, that in the context of
7 an EIS, contribute valued insight from ecological,
8 historical, and cultural observations over a very
9 long period of time.

10 Future use refers to the continued
11 availability of and access to lands and resources
12 for traditional purposes for First Nations and
13 Metis beyond the life of the project.

14 The First Nations and Metis engagement
15 process informed the assessment of TLRU. Manitoba
16 Hydro engaged First Nations and Metis through
17 leadership meetings, open houses, field visits,
18 letters, phone calls, and through support for
19 self-directed studies. Through these activities,
20 Manitoba Hydro heard and recorded concerns,
21 constraints, and opportunities. Manitoba Hydro
22 received information regarding existing conditions
23 that was incorporated into the relevant VC
24 sections.

25 Potential project concerns shared

1 during the preliminary routing discussions include
2 exercise of Aboriginal and treaty rights,
3 historical use areas, harvesting berries and
4 plants, gathering places and sites, sacred and
5 sensitive areas, traditional practices in sacred
6 areas, pressure on Treaty land entitlement issues,
7 and pictured here, on the second screen, the
8 medicine line, and the potential for burials
9 there.

10 The United States is on the left of
11 that photograph, and Canada is on the right of
12 that photograph.

13 Issues addressed through routing
14 include limiting the area of the project PDA on
15 Crown land.

16 A specific example of routing
17 addressing a specific concern is that a
18 traditional medicine-gathering area on private
19 land was avoided when segments -- when Segment
20 417, sorry, was replaced by Segment 475, to
21 address this concern. And pictured here is the
22 avoidance that was created by that.

23 The traditional knowledge studies
24 supported by Manitoba Hydro include four studies
25 that were shared before and during the EIS

1 submission, and these include a study prepared by
2 Black River, Long Plain, and Swan Lake First
3 Nations, Peguis First Nation, Roseau River
4 Anishinabe First Nation, and Sagkeeng First
5 Nation. Two were submitted after the EIS was
6 submitted, and these included one from Dakota
7 Plains Wahpeton Oyate First Nation and Manitoba
8 Metis Federation.

9 Our methods included describing
10 existing conditions for TLRU, as documented from
11 self-directed ATK studies and oral histories, the
12 First Nation and Metis engagement process,
13 secondary sources, and the other VC assessments
14 for the project. These were used to identify TLRU
15 activities, including plant harvesting, hunting
16 and trapping, trails and travelways, and cultural
17 sites.

18 Key findings from these sources named
19 above are that First Nations and Metis harvest
20 native plants for food, medicinal, and cultural
21 purposes, and harvest a variety of big game, small
22 mammals, birds, and waterfowl throughout the RAA.

23 Further, First Nations and Metis
24 continue to use long-established trails and
25 travelways that connect communities, harvesting

1 areas, and gathering places in a network of
2 traditional use and cultural patterns, and report
3 cultural sites and areas in the RAA.

4 Some of the places named in the
5 mitigations that I'm going to present here are
6 illustrated in the map on the left screen.

7 Mitigations for TLRU include routing
8 to mitigate potential effects by project design.
9 For example, through engagement, Manitoba Hydro
10 heard that the eastern portion of the route
11 planning area, with more forest and Crown land,
12 was highly valued for hunting and trapping
13 activities. This understanding helped inform
14 route evaluation.

15 Routing addressed a sacred area near
16 Sandilands, a weekis patch -- that's rat root, or
17 sweet flag -- a cedar bog, a plant-harvesting
18 area, concerns for vegetation cover, and a
19 travelway to fishing near Marchand, that includes
20 areas around Pocock Lake Ecological Reserve and
21 Sandilands Provincial Forest, that was identified
22 by Black River, Long Plain, and Swan Lake First
23 Nations.

24 Routing addressed the Sandilands area,
25 the area west of Sundown, and the Marchand area,

1 Spur Woods, Watson P. Davidson Wildlife Management
2 Area, and cultural areas in South Rapids that were
3 identified by Roseau River First Nation.

4 Routing is away from tall-grass
5 prairie areas; routing is away from areas
6 identified by wildlife investigations that are
7 sensitive; routing considered availability of
8 existing access to reduce new access construction.

9 First Nations and Metis will be
10 invited to contribute to the environmental
11 protection program by identifying sensitive sites,
12 and this will include the botanical survey
13 completed by Black River, Long Plain, and Swan
14 Lake First Nations.

15 Herbicides won't be used to clear the
16 right-of-way. Manitoba Hydro will consider
17 non-chemical vegetation management in areas that
18 contain plants important to traditional
19 harvesters, and include these in the integrated
20 vegetation management program.

21 Manitoba Hydro will apply construction
22 techniques that will limit effects on
23 plant-harvesting resources.

24 Preconstruction wildlife surveys will
25 be done to identify areas for setbacks and

1 buffers, and construction will respect the reduced
2 risk timing windows for wildlife.

3 Where appropriate, regional native
4 grass mixtures will be used to assist with
5 revegetation of disturbed areas.

6 The access management plan will be
7 implemented.

8 Identified cultural heritages sites
9 will be marked for protection, and measures for
10 chance discovery during construction are
11 established in the culture and heritage resource
12 protection plan.

13 Monitoring and follow-up: Manitoba
14 Hydro will continue to engage First Nations and
15 Metis to discuss proposed mitigation measures and
16 to consider recommended new mitigation measures.

17 Project residual effects: The
18 residual effects on plant harvesting will include
19 change to the availability of plants gathered for
20 food, medicine, and cultural purposes. Change to
21 availability can include loss of plants, reduced
22 plant vigour, or reduced abundance.

23 There will be change in access to
24 plant-gathering sites, and there will be an
25 alteration to the experience of plant-gathering in

1 the PDA extending to the LAA.

2 Residual effects on hunting and
3 trapping will include a change to the availability
4 of hunted and trapped species, a change in access
5 to hunting and trapping sites and areas, and an
6 alteration of the experience of hunting and
7 trapping in the PDA extending to the RAA.

8 Residual effects on trails and
9 travelways will include a change in availability
10 of, or access to trails and travelways, and an
11 altered experience of traveling for traditional
12 purposes in the PDA extending to the LAA.

13 Residual effects on cultural sites
14 include disruption to or reduction of the use of
15 sites of cultural, spiritual, or sacred value, and
16 an altered experience of traditional activities at
17 these sites.

18 To sum up residual effects on
19 traditional land and resource use, we learned that
20 most plant-harvesting, hunting and trapping,
21 travelways and cultural sites reported in ATK are
22 beyond the LAA. With mitigation, the effects on
23 TLRU are characterized as low to moderate
24 magnitude, extending from the PDA to the LAA.

25 This is because the area of Crown land

1 in the PDA is proportionally small relative to the
2 RAA, and after construction, access to TLRU sites
3 and activities within the project easement will be
4 unrestricted, apart from times and places of
5 maintenance activities.

6 As identified for the other
7 biophysical VCs regarding relevant resources, TLRU
8 has experienced cumulative effects from land
9 conversion to agriculture, resource development,
10 transportation, utility corridors, and residential
11 development.

12 The addition of this project and
13 future projects will incrementally contribute to
14 cumulative effects.

15 Manitoba Hydro will continue to engage
16 First Nations and Metis regarding concerns and
17 recommendations in the planning process.

18 Thank you very much.

19 MS. COUGHLIN: And that concludes our
20 biophysical presentation.

21 THE CHAIRMAN: All right. So I'm
22 assuming, then, there are no more components, at
23 least to the biophysical side of things; is that
24 right?

25 MS. COUGHLIN: That's correct.

1 THE CHAIRMAN: Good.

2 Well, we are just about at five
3 o'clock, so subject to anything that we have to
4 file here, which we will come to in a minute, I'm
5 going to suggest we are adjourning, and we will be
6 back here at 9:30 in the morning to look at --
7 well, first of all to deal with questions on this;
8 then Hydro's next presentation.

9 Anything to file?

10 MS. JOHNSON: Yes, quite a few things
11 today.

12 MH48 is the community health and
13 well-being presentation. Forty-nine is heritage,
14 Part 1. Fifty is heritage part 2. Fifty-one is
15 the introduction to this panel. Fifty-two is fish
16 part 1. Fifty-three is fish part 2. Fifty-four
17 is vegetation part 1, 55 is vegetation part 2.
18 Fifty-six is wildlife part 1. Fifty-seven is
19 wildlife part 2. Fifty-eight is the traditional
20 land use part 1. Fifty-nine is part 2. And SCO
21 number 1 is the safety data sheet and DPW01 is the
22 Bipole III/picture.

23 (EXHIBIT MH-48: Community health and
24 well-being presentation)

25 (EXHIBIT MH-49: Heritage presentation)

1 Part 1)
2 (EXHIBIT MH-50: Heritage presentation
3 Part 2)
4 (EXHIBIT MH-51: Introduction to
5 Biophysical panel)
6 (EXHIBIT MH-52: Fish presentation
7 part 1)
8 (EXHIBIT MH-53: Fish presentation
9 part 2)
10 (EXHIBIT MH-54: Vegetation
11 presentation part 1)
12 (EXHIBIT MH-55: Vegetation
13 presentation part 2)
14 (EXHIBIT MH-56: Wildlife presentation
15 part 1)
16 (EXHIBIT MH-57: Wildlife presentation
17 part 2)
18 (EXHIBIT MH-58: Traditional land use
19 presentation part 1)
20 (EXHIBIT MH-59: Traditional land use
21 presentation part 2)
22 (EXHIBIT SCO-1: Safety data sheet)
23 (EXHIBIT DPW-01: The Bipole
24 III/picture)
25 THE CHAIRMAN: All right. That's it

1 for the filings. Okay. Thank you all and we will
2 see you tomorrow morning at 9:30.

3 (Adjourned at 5:00 p.m.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OFFICIAL EXAMINER'S CERTIFICATE

Cecelia Reid and Debra Kot, duly appointed
Official Examiners in the Province of Manitoba, do
hereby certify the foregoing pages are a true and
correct transcript of our Stenotype notes as taken
by us at the time and place hereinbefore stated to
the best of our skill and ability.

Cecelia Reid
Official Examiner, Q.B.

Debra Kot
Official Examiner Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.
The unregistered version of Win2PDF is for evaluation or non-commercial use only.
This page will not be added after purchasing Win2PDF.