

MANITOBA CLEAN ENVIRONMENT COMMISSION

MANITOBA-MINNESOTA TRANSMISSION PROJECT

VOLUME 8

* * * * *

Transcript of Proceedings
Held at RBC Convention Centre
Winnipeg, Manitoba
THURSDAY, MAY 18, 2017

* * * * *

CLEAN ENVIRONMENT COMMISSION

Serge Scrafield - Chairman
Laurie Streich - Commissioner
Reg Nepinak - Commissioner
Ian Gillies - Commissioner
Cathy Johnson - Commission Secretary
Cheyenne Halcrow - Administrative Assistant
Mike Green - Counsel

DEPARTMENT OF SUSTAINABLE DEVELOPMENT

Elise Dagdick
Tracey Braun

MANITOBA HYDRO

Doug Bedford - Counsel
Janet Mayor - Counsel
Shannon Johnson
Maggie Bratland
Glen Penner
Shane Mailey
Jennifer Moroz

PARTICIPANTS

CONSUMERS ASSOCIATION OF CANADA (Manitoba chapter)

Gloria DeSorcy - Executive Director
Joelle Pastora Sala - Counsel
Max Griffin-Rill

SOUTHERN CHIEFS' ORGANIZATION

James Beddome - Counsel
Grand Chief Daniels

PEGUIS FIRST NATION

Jared Whelan
Wade Sutherland
Den Valdron - Counsel

MANITOBA METIS FEDERATION

Jason Madden - Counsel
Megan Strachan
Marci Riel

MANITOBA WILDLANDS

Gaile Whelan Enns

PARTICIPANTS

SOUTHEAST STAKEHOLDERS COALITION

Kevin Toyne - Counsel

Monique Bedard

Jim Teleglow

DAKOTA PLAINS WAHPETON OYATE

Warren Mills

John Stockwell

Craig Blacksmith

INDEX OF PROCEEDINGS

Biophysical Panel:

Ms. S. Coughlin

Mr. B. Amundson

Mr. N. De Carlo

Mr. M. Gahbauer

Mr. D. Block

Mr. M. Shaw

Questions by Ms. Stachan 1839

Questions by Mr. Beddome 1856

Questions by Mr. Valdron 1887

Questions by Ms. Pastora Sala 1957

Questions by Mr. Mills 1984

Questions by Mr. Toyne 2024

Environmental Protection Program Panel

Presentation

Mr. J. Matthewson 2024

Mr. J. Wiens

INDEX OF EXHIBITS

MH-60	Answers to undertakings	2099
MH-61	Part 1 of Environmental Protection Program Presentation	2099
MH-62	Part 2 of Environmental Protection Program Presentation	2099
CAC-4	Excerpt from the Practitioners Guide	2099

INDEX OF UNDERTAKINGS

NO UNDERTAKINGS

1 THURSDAY, MAY 18, 2017

2 UPON COMMENCING AT 9:30 A.M.

3

4 THE CHAIRMAN: Good morning, everyone,
5 and welcome back to our hearings into the
6 Manitoba-Minnesota Transmission Project. I think
7 before we get into the questioning and answers, is
8 there someone to be sworn in?

9 MS. JOHNSON: Yes. As I understand
10 it, Mr. Shaw has come from the back row and has
11 been promoted to the front table. So we'll have
12 him sworn in.

13 Could you state your name for the
14 record, please?

15 MR. SHAW: Michael Shaw.

16 (Michael Shaw sworn)

17 THE CHAIRMAN: All right. Thanks for
18 that.

19 So we're now going to open up the
20 biophysical presentation for questions, assuming
21 there's nothing to add from Hydro to the
22 presentation?

23 All right. There has been a slight
24 change in the order, as I understand it. Normally
25 we would have started today at the top of the

1 order with the Consumers Association, but they
2 have agreed to swap positions with Manitoba Metis
3 Federation. So we will start with MMF and Megan
4 Strachan.

5 MS. STRACHAN: Good morning,
6 Mr. Chair, commissioners, and members of the
7 panel.

8 So my questions will be primarily for
9 Mr. Amundson, as they relate to chapter 11,
10 Traditional Land and Resource Use. But I would
11 invite Ms. Coughlin to jump in as appropriate,
12 because I know this subject matter is also within
13 her area of expertise.

14 So I'd like to begin with a few higher
15 level methodology questions. I just want to make
16 sure I understand how it was applied to this
17 chapter before I dive into my more substantive
18 questions. So I apologize there. They are fairly
19 basic at the beginning.

20 So I understand that Manitoba Hydro
21 used certain measurable parameters to assess
22 impacts to environmental effects associated with
23 traditional land and resource use. Is that
24 correct?

25 MS. COUGHLIN: That's correct.

1 MS. STRACHAN: And so I read in the
2 EIS, and this is on table 11-15, the potential
3 environmental effects identified related to
4 traditional land and resource use from the project
5 were a change in land and resources used for plant
6 harvesting, a change in land and resources used
7 for hunting and trapping, a change in land and
8 resources used for travel, and a change in
9 cultural sites.

10 So I understand that a change in any
11 one of these environmental effects means that the
12 project has in some way impacted traditional land
13 and resource use. Is that correct?

14 MR. AMUNDSON: It has the potential to
15 affect traditional land and resource use.

16 MS. STRACHAN: Right. Thank you.

17 So I further understand that a
18 measurable parameter is meant to be a quantitative
19 or a qualitative measure of a potential residual
20 project effect. So in plainer terms, a measurable
21 parameter chosen by Hydro in this chapter are
22 meant to show the effects of the project on
23 traditional land and resource use through showing
24 potential impacts on these environmental effects.
25 Is that correct?

1 MR. AMUNDSON: That's correct. We
2 prefer the term effect, though, to impact.

3 MS. STRACHAN: And I note that two
4 measurable parameters for these potential
5 environmental effects were identified, and these
6 were the availability of resources and access to
7 land. Is that correct?

8 MR. AMUNDSON: That's correct.

9 MS. STRACHAN: And these were the only
10 two measurable parameters used in this chapter; is
11 that right?

12 MR. AMUNDSON: That's correct.

13 MS. STRACHAN: And so the EIS, and
14 this is on page 11-13, it states:

15 "It is acknowledged that the scope of
16 these measurable parameters does not
17 reflect the importance of these
18 potential changes to First Nations and
19 Metis."

20 So I understand from this passage that
21 Manitoba Hydro knew that these measurable
22 parameters were in some way not going to be
23 sufficient to present a complete picture of the
24 effects to traditional land and resource use. Is
25 that a fair statement?

1 MR. AMUNDSON: Let me catch up here.

2 Which paragraph was that?

3 MS. STRACHAN: So this is on page

4 11-13 of the EIS.

5 MR. AMUNDSON: That's correct.

6 MS. STRACHAN: Thank you.

7 MR. AMUNDSON: If I could add to that
8 answer? The reason for that is because, as
9 someone doing an assessment of effects of the
10 Indigenous people and the First Nations and Metis,
11 and not being Indigenous person, I don't profess
12 to speak for them.

13 MS. STRACHAN: Thank you. So my next
14 few questions are focusing on a particular passage
15 from the EIS that's on page 11-14. So it might be
16 helpful for you to have that in front of you. So
17 this page states:

18 "Beliefs or perceptions around adverse
19 effects are difficult to quantify and
20 not easily amenable to assessment in
21 the same way as other project effects.
22 Given the subjective nature of this
23 effect pathway and the limited site
24 specific information provided by First
25 Nations regarding beliefs and concerns

1 regarding the project, a full effects
2 characterization was not carried
3 forward."

4 So hypothetically, if you had had
5 better information, or good information on the
6 topic of these beliefs or perceptions, would you
7 have carried forward this effects pathway?

8 MR. AMUNDSON: That would still be a
9 difficult thing to put through a complete effects
10 assessment, simply because it's so subjective and
11 not measurable, and almost entirely qualitative.
12 And again, it would be professing to speak for
13 people. The nature of the information would have
14 to be so complete before I would be able to do
15 that with, you know, with any kind of confidence.
16 So we choose to look at intangible parts of
17 traditional land and resource use more narratively
18 and try to explain it, rather than run it through
19 the process of an effects assessment, because of
20 its nuances.

21 MS. STRACHAN: Right. And when you
22 say it was considered narratively, and I note
23 that's also said on this same page of the EIS, how
24 does a narrative consideration actually factor
25 into how you evaluate effects?

1 MR. AMUNDSON: After evaluating the
2 effects of access to resources and availability to
3 resources, even if our effects assessment suggests
4 that there is not -- the access is not
5 significantly altered or the availability is not
6 significantly changed, we still acknowledge and
7 recognize that the experience of traditional land
8 and resource use is altered by the presence of the
9 project. And that might, on an individual basis
10 for each harvester, each traditional land user,
11 might change their approach to the area of the
12 project, and they may or may not choose to avoid
13 that area. But we can't speak for each individual
14 harvester.

15 MS. STRACHAN: So I believe you
16 alluded to this in the answer to this question,
17 but I'm just going to ask it to be clearer. So
18 the beliefs and concerns referred to in the quote
19 that I read would include whether a Metis person
20 would think that a given tract of land is suitable
21 for traditional use and activities?

22 MR. AMUNDSON: That's correct. In the
23 Metis, the report of 2016 of specific Metis
24 interests, it's described as diminished
25 preference. We call it altered experience.

1 MS. STRACHAN: Thank you.

2 So again I think you have spoken to
3 this on some level. You've said that it's very
4 difficult to assess this because it is so
5 subjective. But from reading other parts of the
6 Environmental Impact Statement, for instance, in
7 the Community Health Assessment, and I recognize
8 this isn't your area of expertise, I note that
9 that assessment included a lot of language around
10 perceived risks. And so when I was reading that I
11 thought, well, this seems rather subjective. And
12 so would you agree that it's possible, at least in
13 some cases, to carry forward an effects pathway or
14 to look at an effect itself that is somewhat
15 subjective?

16 MR. AMUNDSON: Again, I would answer
17 that it's such a subjective matter that rather
18 than attempting to do an effects assessment on it,
19 we recognize that, notwithstanding the effects
20 assessment on access and availability, access to
21 land and availability of resources, that the
22 alteration of the experience will have an adverse
23 effect.

24 MS. STRACHAN: Thank you. And so
25 again, just returning to the passage that I read

1 out, we have already discussed how the
2 subjectivity made it difficult to include. But I
3 also understand from that quote that in Manitoba
4 Hydro's opinion, the lack of site specific data
5 made it difficult to carry this forward. Is that
6 correct?

7 MR. AMUNDSON: I would like to suggest
8 that we did carry it forward. It's simply not a
9 measurable parameter.

10 MS. STRACHAN: I suppose it's
11 difficult for me to figure out, when reading this
12 chapter, there were a few lines about this altered
13 experience, and there was some in the slides in
14 your presentation as well. But it's difficult for
15 me to see as there wasn't actually, it wasn't
16 formally included in the methodology, it's
17 difficult to see how this did or could have had an
18 impact on the significance assessment. And I have
19 some questions on that later on, so maybe it's
20 more appropriately dealt with when I ask those
21 questions.

22 MS. COUGHLIN: Describing how we're
23 going to deal with those kinds of effects is in
24 that front end of the chapter. The methodological
25 section is numbered -- the potential environmental

1 effect pathway. So it's described within the
2 section where we describe how we're handling these
3 pathways. So you're right, it's handled
4 differently, but it's included in a qualitative
5 way, it's discussed as a narrative. It's
6 difficult to put numbers around that kind of
7 thing.

8 MS. STRACHAN: So I would agree with
9 you, it's difficult to put numbers around it, but
10 there weren't really many numbers in this chapter,
11 that I could see. I think I'm going to move onto
12 my next group of questions, I think.

13 So I'd like to look at appendix 4, and
14 this is of chapter 4, which I recognize is the
15 engagement chapter. And I'd like to just ask a
16 few questions about some of the appendices to this
17 chapter because they include several templates
18 that are related to the collection and sharing of
19 Aboriginal traditional knowledge.

20 MS. COUGHLIN: Which appendix did you
21 say?

22 MS. STRACHAN: Appendix 4.

23 MS. COUGHLIN: Which table in appendix
24 4?

25 MS. STRACHAN: So specifically I am

1 looking at the study work plan draft, the draft
2 ATK protocol, and the example table of contents.
3 And I believe that's E, F and G, 4 E, F and G.

4 MS. COUGHLIN: Okay, we don't have
5 them in this copy, but I know what you're talking
6 about, yeah.

7 MS. STRACHAN: Okay. So I understand
8 that some of the templates in the appendix, which
9 is the ATK study work plan draft budget, there was
10 a draft ATK protocol and an example table of
11 contents. So these documents were developed by
12 Manitoba Hydro for use by Indigenous communities
13 in conducting their ATK studies. Is that correct?

14 MS. COUGHLIN: We had a range in
15 diversity of communities that were potentially
16 engaged in the project, and we wanted to provide
17 tools, access to tools if they wanted to use them.
18 Nobody was forced to use them, they were available
19 if they wanted to use them.

20 MS. STRACHAN: Sure, I understand
21 that.

22 And so were these templates developed
23 specifically for this project?

24 MS. COUGHLIN: They've been used in
25 past projects, but I believe they were brought

1 forward and adapted to this project, subject to
2 check.

3 MS. STRACHAN: Thank you.

4 So is it safe to assume that Manitoba
5 Hydro designed these templates, that if the First
6 Nation or Metis community did choose to use them,
7 that these templates would provide Manitoba Hydro
8 with the information that it needed for its
9 Environmental Impact Statement?

10 MS. COUGHLIN: Yeah, we were open to
11 information requests of all sorts, yes.

12 MS. STRACHAN: I'm not completely sure
13 that that answered my question. Maybe I wasn't
14 quite clear.

15 MS. COUGHLIN: We would provide
16 information when asked. So if you're asking would
17 we provide information that's aligned with what
18 was in that template -- or maybe go ahead and ask
19 your question again?

20 MS. STRACHAN: Sorry, maybe I wasn't
21 clear. I asked if these templates were designed
22 by Manitoba Hydro to provide it with the
23 information that Manitoba Hydro thought that it
24 needed in order to be able to conduct its
25 Environmental Impact Statement?

1 MS. COUGHLIN: The information in
2 those templates, I believe, is information that's
3 typically of interest and value to communities
4 engaged in projects, such as a linear project like
5 the transmission line.

6 MS. STRACHAN: So these templates
7 weren't designed specifically to try and provide
8 Manitoba Hydro with the information that it needs?

9 MS. COUGHLIN: Well, I didn't say
10 that. The information that is of interest to
11 communities, information that's valued by
12 communities is of interest to Manitoba Hydro.

13 MS. STRACHAN: Okay. So it is safe to
14 assume that these templates were designed by
15 Manitoba Hydro to provide it with the information
16 that it deems important?

17 MS. COUGHLIN: Yeah, Manitoba Hydro or
18 the communities it's working with.

19 MS. STRACHAN: Okay, thank you.
20 So I'd now like to look specifically
21 at appendix 4F, which is the draft ATK protocol.

22 MS. COUGHLIN: Okay.

23 MS. STRACHAN: And on page 6 of that
24 draft protocol there are:

25 "Examples of information Manitoba

1 Hydro seeks when it wants a community
2 to share ATK with it."

3 And there, there's a list of questions pertaining
4 to a whole range of topics: Animals, vegetation,
5 forestry, rocks and minerals. And so could you
6 tell me, was it suggested in this protocol, or
7 elsewhere in one of these templates, that
8 questions be asked about whether Aboriginal
9 peoples will want to harvest, will continue to
10 harvest, or will enjoy harvesting in the project
11 area, more or less, after the project is built?

12 MS. COUGHLIN: Are you reading from a
13 section in the page here?

14 MS. STRACHAN: No, I'm asking whether,
15 in that protocol or elsewhere in its template, so
16 for instance in this list of questions or
17 somewhere else, was it suggested that questions be
18 asked about whether Aboriginal peoples will want
19 to harvest, will continue to harvest, or will
20 enjoy harvesting in the project area, more or
21 less, after the project is built?

22 MS. COUGHLIN: No. The kinds of
23 questions included in this questionnaire aren't
24 asking that specifically. Well, wait a second,
25 other than hunting and trapping -- I don't want to

1 miss something, so just give me a moment.

2 MS. STRACHAN: Sure.

3 MS. COUGHLIN: Yeah. They're not of
4 the nature that I think you are talking about,
5 would you use the area after the project was
6 built, they are more about sort of characterizing
7 use.

8 MS. STRACHAN: Thank you.

9 And in your opinion, would it have
10 been helpful for you to know, for example, whether
11 a harvester would be more or less likely to hunt
12 on or near the right-of-way, for instance, after
13 the project was built?

14 MS. COUGHLIN: Yes, but this isn't the
15 only mechanism in which we ask those kind of
16 questions. We have had a three and a half year
17 engagement program where we asked all sorts of
18 questions, during the First Nations and Metis
19 engagement process, including the one you have
20 asked.

21 MS. STRACHAN: So my last series of
22 questions relates to the assessment of the
23 significance of residual environmental effects.
24 And so my understanding from this and other
25 presentations is that there was no specific

1 significance threshold established for traditional
2 land and resource use, or the associated potential
3 environmental effects. Is that correct?

4 MR. AMUNDSON: As it states in section
5 11.7 of the EIS, there's no generally accepted way
6 to come up with thresholds for effects on TLRU,
7 because of its subjective nature. So truly the
8 reason that we assign significance is because it's
9 a regulatory requirement of NEB and CEAA 2012.

10 MS. STRACHAN: And was this the only
11 VC for which significance thresholds were not set?

12 MS. COUGHLIN: Yes, I believe so,
13 yeah.

14 MS. STRACHAN: And so could you
15 clarify for me then, the significance assessment
16 was based on a weighing of the residual effects
17 criteria? Is that how it was made?

18 MR. AMUNDSON: The approach to
19 assigning significance is, in the work that we
20 have done on traditional land and resource use is
21 based on, partially on relying on the effects
22 assessments from other relevant VCs that deal with
23 the lands and resources that are the subject of
24 traditional land and resource use, and simply
25 looking at what the effects are on access and

1 availability of lands, and then professional
2 judgment comes into it as well.

3 MS. STRACHAN: I'm sorry, I'm still
4 not completely clear on how the significance
5 determination was made. It seems like it was sort
6 of a multi-factorial weighing process that really,
7 at the end of the day, was left up to the expert
8 judgment of the people conducting the assessment.
9 Is that correct?

10 MR. AMUNDSON: Yes, it draws on the
11 work done by much of the biophysical and
12 socio-economic, and First Nations and Metis
13 engagement process, the ATK studies we had
14 available at the time, and of course the fact that
15 the right-of-way will still be unrestricted access
16 after construction is complete, with the exception
17 of maintenance.

18 MS. STRACHAN: Just to be clear, I'm
19 sorry, it's still a little murky to me. So before
20 this assessment was made there was no, I guess,
21 agreed upon matrix of criteria that would mean
22 that an effect was significant? So it wasn't the
23 case that if the direction was adverse and the
24 magnitude was moderate and the duration was
25 permanent, there was no sort of combination of

1 those residual effects criteria that together
2 would mean an effect was significant?

3 MR. AMUNDSON: Again, because of the
4 subjectivity of the subject matter, it would be
5 difficult to come up with that based on checked
6 boxes.

7 MS. STRACHAN: Thank you.

8 So I do have one final question, and
9 it does relate to monitoring but it's very high
10 level, so I'm hopeful that this panel will be able
11 to answer it, as monitoring was mentioned in the
12 presentation.

13 And so that question is just, do you
14 intend in any of your monitoring programs, at this
15 point, to keep track of whether traditional land
16 users continue to come back to the LAA or PDA
17 after the project is built?

18 MS. COUGHLIN: We hope to continue to
19 pursue the idea of developing a community
20 monitoring program, and that kind of information
21 would be the kind of thing that we hope or
22 anticipate will be discussed in that kind of
23 group.

24 MS. STRACHAN: Thanks very much.
25 Those are all of my questions.

1 THE CHAIRMAN: Thank you for the
2 questions, and for the responses.

3 All right. We'll now move to the
4 second set of questions for today, and that would
5 be the Southern Chiefs' Organization represented
6 by James Beddome.

7 MR. BEDDOME: Thank you very much,
8 Mr. Chair, thank you very much panelists. James
9 Beddome for the Southern Chiefs' Organization for
10 the record.

11 I guess I have to maybe send it to a
12 couple of panelists. My first question is, tell
13 me how the ATK reports were taken into account
14 when developing the technical data reports with
15 respect to the biophysical wildlife and wildlife
16 habitat, the heritage resources, the greenhouse
17 gas report, and perhaps others as this panel sees
18 as relevant?

19 MS. COUGHLIN: So in those early days,
20 so we began the First Nations and Metis engagement
21 process in August of 2013, and in those early days
22 we began to ask questions about how people wanted
23 to participate, and what they valued, and what
24 people might be interested in knowing about. And
25 understanding learnings from past assessments like

1 the Bipole III project that we have discussed in
2 detail, we knew that broader level VECs were
3 important. And so we also recognized that
4 wildlife continued to be an important value, as
5 well as plants, and we've mentioned that a few
6 times throughout this process. So that, of
7 course, reiterated the focus on wildlife and
8 wildlife habitat, vegetation and wetlands. So we
9 had quite a robust, fulsome field program that
10 Marcel and Nick described yesterday.

11 MR. BEDDOME: Just for clarification,
12 I guess what I'm specifically trying to
13 understand, so maybe I'll direct one to be more
14 precise here. So I'll direct this one to
15 Dr. Gahbauer. So Dr. Gahbauer, when were you
16 first engaged to, commissioned to put together
17 your technical data report with respect to
18 wildlife and wildlife habitat?

19 DR. GAHBAUER: Well, to clarify, I was
20 part of the team doing this, so I wasn't the sole
21 author of the report, but I've been involved with
22 it since 2014.

23 MR. BEDDOME: In 2014, so that's
24 when -- you were part of the team from the
25 beginning?

1 DR. GAHBAUER: From close to the
2 beginning. I don't think it was right from the
3 very first stage, but early on, yes.

4 MR. BEDDOME: So the team might have
5 started earlier. Do you know when the team might
6 have roughly started?

7 MS. COUGHLIN: One of the team members
8 that began from the beginning is Leanne. She's in
9 the back table there.

10 MR. BEDDOME: Okay. I'm just trying
11 to find a date when your technical data report
12 process started with the team. You're saying I
13 think 2014, maybe Leanne might have been involved
14 a little bit earlier?

15 DR. GAHBAUER: It probably would have
16 been early 2014 as well. The bulk of our field
17 studies were done in 2014, and those were, as I
18 described in the presentation, really the
19 follow-up to some of the other data we had already
20 gleaned. So subject to check, probably the
21 process began in late 2013 and continued from
22 there.

23 MR. BEDDOME: Okay.

24 MS. COUGHLIN: Leanne's searching for
25 a date.

1 MR. BEDDOME: I mean, it doesn't have
2 to be precise, like late 2013 is fine. I'm trying
3 to go through the process here.

4 And so, Dr. Gahbauer, were you ever
5 provided with a summary or any of the ATK reports
6 that appear in appendix A of the EIS at any point
7 in, you know, late 2013, early 2014? Or you or
8 your team, I guess, to be clear?

9 DR. GAHBAUER: At that stage those
10 reports weren't produced and available to us yet.

11 MR. BEDDOME: They weren't available.
12 Was any information coming from the ATK engagement
13 process available to you?

14 DR. GAHBAUER: Although we didn't have
15 the reports available at that time, the engagement
16 process was underway, and we had some high level
17 information that was available to us at the time.

18 MR. BEDDOME: Help me understand high
19 level information. You know, I get a sense, so
20 like something is coming through from the
21 engagement process, as you're out there engaging,
22 you're getting some concerns and this is coming
23 through. But can you further define high level
24 information?

25 MS. COUGHLIN: Well, I can, because

1 I'm the one that heard it and passed it onto the
2 team.

3 MR. BEDDOME: Fair enough.

4 MS. COUGHLIN: So I heard that
5 particular, like large game species were valued,
6 and so big game species were passed onto the
7 wildlife team broadly. Also the idea that
8 wildlife and plants are valued, just generally.
9 So we did hear very general information.

10 And I think that speaks to that
11 connectivity that we talked about, how we needed
12 to deal with understanding effects from an
13 ecosystem approach. So that connectivity is
14 included and discussed in both the vegetation and
15 wetlands and the wildlife and wildlife habitat
16 chapters. So we actually did hear quite a bit of
17 broad level input, like wildlife is important.

18 MR. BEDDOME: Sure. And so for the
19 large game, were specific species identified?

20 MS. COUGHLIN: Yeah. I think deer
21 were identified.

22 MR. BEDDOME: Any others?

23 MS. COUGHLIN: I'd have to go check.
24 These would have been good questions for the
25 engagement panel, but I can speak to what I

1 remember.

2 MR. BEDDOME: Well, I guess the reason
3 I'm bringing them is just to see how they inform
4 the wildlife study. Would it be fair to say
5 probably moose?

6 MS. COUGHLIN: I think elk and moose
7 were discussed as well.

8 MR. BEDDOME: Black bear?

9 MS. COUGHLIN: Yes, black bear, yeah.

10 MR. BEDDOME: And you know, I think
11 the plant species, I don't want to rehash
12 everything you went over.

13 MS. COUGHLIN: Rabbits.

14 MR. BEDDOME: Exactly. To be fair,
15 there's a broad variety of wildlife that would be
16 of concern to Indigenous people; that would be a
17 fair statement?

18 MS. COUGHLIN: Yes.

19 MR. BEDDOME: And you talked about
20 inter-connectivity, so did you -- Dr. Gahbauer, in
21 putting your study together, did you try to
22 incorporate the Indigenous worldview into your
23 study?

24 DR. GAHBAUER: Well, I'm not entirely
25 sure what you mean by that. We certainly, in

1 doing our assessment, we took the information
2 available from the First Nation-Metis engagement
3 process, and we valued that, as we did other data
4 we had collected. So in that sense, yes, it was
5 integrated.

6 MR. BEDDOME: Because you would
7 recognize that Indigenous people are closely
8 connected to the land. And it would be a fair
9 statement to say that in biology these days,
10 there's certainly a recognition of that value of
11 that ATK, that there's good biological spotting,
12 siting, and specific information that's valuable
13 to wildlife biologists. Would that not be correct
14 to say?

15 DR. GAHBAUER: Yes, we welcome and use
16 that information.

17 MS. COUGHLIN: We welcome that kind of
18 information from a variety of groups, including
19 Indigenous organizations participating in the
20 First Nation and Metis engagement process.

21 MR. BEDDOME: Now, when you're
22 identifying certain species, though, it would be
23 the regulatory framework more than the Indigenous
24 worldview that would guide perhaps specific
25 species that you might focus in on. Would you not

1 agree with that statement?

2 DR. GAHBAUER: No, not necessarily.

3 In fact, a lot of the mammals that we focused on,
4 the elk and the moose and the deer, are not guided
5 by regulatory framework, they were largely driven,
6 in fact, by the interests we heard from First
7 Nations and Metis.

8 MR. BEDDOME: Fair enough. I'll give
9 you an example. Golden-winged warblers were
10 identified because they're a species of concern.
11 They're identified via COSEWIC. That would be a
12 fair statement, right?

13 DR. GAHBAUER: Golden-winged warbler
14 was listed under SARA, so yes, that was one
15 example that was driven by the regulatory side.

16 MR. BEDDOME: But the other bird
17 species you didn't -- that's one that becomes
18 particularly important because of the regulatory
19 context, but if the Indigenous worldview pointed
20 you towards looking at other bird species, how did
21 you then take that into account as well?

22 DR. GAHBAUER: We didn't receive a lot
23 of specific guidance to particular bird species
24 from that source.

25 MS. COUGHLIN: We have a table, table

1 9-1 of the wildlife and wildlife habitat chapter,
2 that provides a rationale for the selection of the
3 different species and species assemblages that are
4 discussed in the chapter. And a lot of the
5 rationale included, it describes that there was
6 concern passed on from First Nations and Metis
7 engagement process.

8 MR. BEDDOME: So you said chapter 9-1?

9 MS. COUGHLIN: Sorry, table 9-1.

10 MR. BEDDOME: Table 9-1, do you mind
11 if I just go to my table and locate that?

12 MS. COUGHLIN: Sure.

13 MR. BEDDOME: I do appreciate,
14 Mr. Chair, and I want to know what she is
15 referring to and it helps put it into context.
16 Thank you, I appreciate that reference.

17 Now, it's fair to say, and this has, I
18 think, has been well established, that Southern
19 Manitoba and the project study area is one of the
20 most -- you know, granted there's some area to the
21 east, particularly we've heard lots about the
22 Watson WMA and the other areas in the east, but
23 what's clearly been established is it's in a part
24 of the province over the past 150 years that's
25 been heavily impacted by development. That's not

1 controversial; you would agree?

2 MS. COUGHLIN: Yes, I agree.

3 MR. BEDDOME: Thank you. And so in
4 looking at some of the species, moose for
5 instance, there is a comment that there's been a
6 sharp decline since the 1990s. So on the basis of
7 that, you took the conclusion that there would be
8 negligible impact?

9 DR. GAHBAUER: That's correct.

10 MR. BEDDOME: But you would be aware
11 that moose is a particularly important species to
12 Indigenous people, both for sustenance traditional
13 practices, and also spiritual and cultural
14 connections?

15 DR. GAHBAUER: Yes, we acknowledged
16 that in the report.

17 MR. BEDDOME: Wouldn't it be fair to
18 say that probably part of the reason why we've
19 seen a decline in the moose populations during the
20 1990s is because of increasing development in
21 Southern Manitoba?

22 DR. GAHBAUER: No, I wouldn't agree
23 with that. There was no sharp increase concurrent
24 with the decline -- in development that is. The
25 development is a much more long-term pattern and

1 it's not, it doesn't parallel the population
2 trends of moose.

3 MR. BEDDOME: So the decline of moose
4 in Southeastern Manitoba has nothing to do with
5 historical development over time?

6 DR. GAHBAUER: No, that's not what I
7 said. Over the years, certainly the change in
8 habitat availability may have had some effect.
9 But there was a sharp and unexpected decline in
10 the 1990s, and that doesn't correspond to any
11 significant change in land use at the time. There
12 are other factors that are suspected, most notably
13 disease, and that happens with wildlife
14 populations at the times that there are these
15 fluctuations. And while there may be some
16 underlying long-term habitat changes, those can't
17 entirely be ascribed to the effect in population
18 changes.

19 MR. BEDDOME: And I hear you saying
20 that there weren't massive landscape changes, but
21 would it not be fair to say that sometimes the
22 effects may take a period of time to materialize,
23 decades maybe even?

24 DR. GAHBAUER: Sometimes there are
25 long term changes. But again, for moose, there's

1 just no evidence of that in our contacts with
2 Manitoba Sustainable Development. They didn't
3 suggest at all that that was a likely cause for
4 the change in moose populations.

5 MR. BEDDOME: And you stated that it's
6 your belief, or based on your conversations with
7 Manitoba Conservation, that disease is the reason
8 for the significant decline in the 1990s?

9 DR. GAHBAUER: Disease is one of the
10 factors, and overhunting was another one that was
11 proposed by them.

12 MR. BEDDOME: Now, would it be fair to
13 say that a larger herd, a larger moose herd would
14 be probably more naturally able to resist disease
15 and rebound over time? That smaller herds, just
16 on the basis of numbers, can be more significantly
17 impacted by disease than larger herds,
18 particularly when it's in a more developed region
19 where there may be a lot more habitat destruction.
20 Would that not be a fair comment?

21 DR. GAHBAUER: I wouldn't say that
22 they're necessarily more resistant, but certainly
23 a larger population has more resilience overall.

24 MR. BEDDOME: Has more resilience,
25 thank you, that's a good way of putting it. It's

1 almost like you're a wildlife biologist and I'm
2 not. I thank you for that. I appreciate that.

3 The same would be true of elk, right,
4 a larger herd would be more resilient than a
5 smaller herd?

6 DR. GAHBAUER: Generally speaking,
7 yes.

8 MR. BEDDOME: Okay. And you mentioned
9 white-tailed deer were also identified as an
10 important species to Indigenous people for
11 sustenance and hunting?

12 DR. GAHBAUER: That's correct.

13 MR. BEDDOME: I think you described
14 them as a generalist species. Did I get that
15 right?

16 DR. GAHBAUER: That's right.

17 MR. BEDDOME: Now, is there any risk
18 of white-tailed deer spreading disease to moose
19 and/or elk?

20 DR. GAHBAUER: Yes, to moose in
21 particular.

22 MR. BEDDOME: It would be fair to say
23 that white-tailed deer would tend to use corridors
24 like right-of-ways as a generalist species?

25 DR. GAHBAUER: As would a number of

1 species, yes.

2 MR. BEDDOME: What other species?

3 DR. GAHBAUER: Moose. Moose will use
4 corridors as well.

5 MR. BEDDOME: So that could create a
6 vector point where the moose and deer could
7 interact and exchange disease?

8 DR. GAHBAUER: Well, the reality is
9 that they are sharing the landscape entirely as it
10 is. Neither one of those species is really
11 restricted. So they may both use right-of-ways.
12 They also both use existing forests and open
13 areas. So it's not like a right-of-way is a
14 magnet for either species that's going to draw
15 them together.

16 MR. BEDDOME: So you don't -- it would
17 be your professional opinion that that wouldn't --
18 there's no chance, therefore, of that being a
19 potential contact point where disease could
20 spread?

21 DR. GAHBAUER: No, that's not what I
22 said. The probability of contact between moose
23 and deer can occur pretty much anywhere on the
24 landscape. So it can occur along the right-of-way
25 or anywhere away from the right-of-way, but it's

1 not an area that will concentrate them and
2 exacerbate that probability.

3 MR. BEDDOME: So it's not more likely
4 to happen in a right-of-way than anywhere else?

5 DR. GAHBAUER: Right.

6 MR. BEDDOME: You identified hunting
7 as being a potential concern for the moose
8 population. And if I was to suggest to you that
9 many Indigenous people would strongly and
10 vehemently disagree with that, and would argue
11 that they in fact have a connection with and a
12 sense of the land and know how to maintain these
13 populations, how would you respond to that?

14 DR. GAHBAUER: We certainly respect
15 their opinion and there's no judgment implied.
16 That was simply a hypothesis put forward by
17 Manitoba Sustainable Development and we reported
18 it accordingly.

19 MR. BEDDOME: So that's from Manitoba
20 Sustainable Development, not from Hydro?

21 DR. GAHBAUER: That's correct.

22 MR. BEDDOME: Now, I notice that there
23 was a concern, particularly in the construction
24 phase of the project, about I think turtles, and I
25 think frogs and others, that there's potentially

1 some impacts from that. Is that not a fair
2 summation of what I read?

3 DR. GAHBAUER: Potential effects, yes.

4 MR. BEDDOME: I'm not sure if it can
5 be asked of this panel, but what mitigation
6 measures are going to be put in place to address
7 that?

8 DR. GAHBAUER: Well, I can address
9 that to some degree at least. So the concern, or
10 the potential concern for amphibians and reptiles
11 during construction is largely that they're
12 terrestrial species -- well, terrestrial or
13 aquatic, but they're on the ground relatively slow
14 moving. And so with construction equipment in an
15 area there's potential for essentially collisions.
16 A few things can be done for that. One is to best
17 understand where potential areas of risk are. So
18 through our field surveys to date, we already
19 understand that to some degree. And that will be
20 supplemented through, now that the route is
21 finalized, the construction surveys in those areas
22 to specifically understand where those populations
23 may be.

24 A second level of mitigation is
25 through the siting of the towers. So whereas the

1 route may cross rivers or wetland areas, the
2 siting of the towers can be such that, because
3 they are several hundred metres apart, the tower
4 footings themselves can sometimes be put in less
5 sensitive areas, and there's a potential to shift
6 them back and forth a little bit, if we identify
7 through these preconstruction areas where the
8 particular sensitive areas are. And then later on
9 top of that, where there's still some remaining
10 concern, there can be some seasonal avoidance of
11 the sensitive times when these species are active,
12 so the construction is done primarily when they
13 are not present.

14 MR. BEDDOME: Perhaps I'm completely
15 off base, and if I am, then fair enough. I'm just
16 aware of around the world different conservation
17 efforts that have taken place. And often they
18 have incorporated working with Indigenous people,
19 working with local school children and, you know,
20 trying to integrate in the two fashions.

21 The first question is, is there a role
22 for sort of direct intervention? So almost having
23 some people on the ground doing some monitoring of
24 turtle crossings and trying to limit the
25 collisions? Is there a way of, you know, in a

1 humane way and in a way that respects the
2 environment and doesn't cause any impact of, if
3 these are identified, effectively picking up the
4 turtle and safely moving it to a safer location?
5 Can that be done?

6 MS. COUGHLIN: Yeah, that's one of the
7 things we'd like to talk to the community
8 monitoring group about. Those kinds of measures.

9 MR. BEDDOME: And so maybe this is
10 better coming back to the community monitoring
11 group. So if I'm hearing you correct,
12 Ms. Coughlin, Manitoba Hydro is open to say
13 engaging with local First Nations, local
14 communities, local school groups, who might
15 actually be able to do some of this work, both as
16 an educational and learning and cultural
17 opportunity, but also one that ensures that it
18 minimizes collisions of turtles with the heavy
19 equipment being operated? Obviously there'd be
20 some safety concerns, I imagine, you'd also have
21 to address. But I'm just curious if this is
22 something that Manitoba Hydro is interested in and
23 looking into?

24 MS. COUGHLIN: We're looking at many
25 options. We're not particularly looking at school

1 children on active construction site, but we're
2 definitely open to ideas from the community
3 monitor.

4 MR. BEDDOME: And you're right. As I
5 said, maybe I'm off base. I'm just trying to find
6 a way that this can be actively engaged, become a
7 learning opportunity. It seems Manitoba Hydro is
8 at least acceptable to that.

9 I'm just thinking of some of the sea
10 turtle conservation programs, et cetera, that have
11 been really successful. They may not fit in the
12 exact context here.

13 What are you looking at? Like I know
14 my ideas may be off base. What types of programs
15 have you come up with that could be something
16 that's roughly comparable?

17 MS. COUGHLIN: James has a great
18 presentation he's going to share later, James and
19 John, all about monitoring. It's very
20 interesting.

21 MR. BEDDOME: You've got me on the
22 edge of my seat. I'll have to wait, I'll have to
23 wait.

24 All right. Well, returning then a
25 little bit, you know, let's -- and I'm going to

1 return to GHGs, as well as the heritage resources.
2 But how was the ATK reports taken into account
3 with respect to the greenhouse gas technical data
4 report?

5 MS. COUGHLIN: We didn't hear a lot
6 from the communities we engaged with about
7 greenhouse gases specifically. So we didn't have
8 a lot of ATK, or knowledge to share with the
9 greenhouse gas analysis during development of the
10 assessment.

11 MR. BEDDOME: I'm just going to
12 challenge you a touch, Ms. Coughlin. You spoke
13 about the Indigenous perspective being important
14 about interconnectedness and the connections
15 between things. So I guess you didn't hear it,
16 but would you recognize that there probably is an
17 interest there in those communities nonetheless?

18 MS. COUGHLIN: Absolutely, we
19 recognize there's an interest.

20 MR. BEDDOME: Sort of going back to my
21 earlier questions that I brought to Dr. Gahbauer,
22 how about with respect to the technical data
23 report with heritage resources, how was the ATK
24 taken into account? When did that process start?
25 And how was the feed through of information fed

1 from one to the other?

2 I don't know if that -- I asked a few
3 questions earlier, so I think you have a sense of
4 my line of questioning. But I could be more
5 direct, if you need.

6 MR. AMUNDSON: No, I understand what
7 you're asking. I can speak to that. The Heritage
8 Resource Impact Assessment was done in early 2015.
9 At the time that the fieldwork was done, there
10 were no ATK reports available. There was
11 background research done into what archeological
12 sites were known, in the area, and trails and
13 travel-ways are particularly important to
14 Indigenous people. And then once we did receive
15 the ATK reports, we were able to go back to the
16 work that was done in the archeological assessment
17 in the HRA, and highlight the importance of
18 trails, and the potential for burials, although no
19 locations are known, and other cultural sites,
20 although again no locations are known. And of
21 course certain cultural sites and practices are
22 not observable by archeologists.

23 MR. BEDDOME: Now, if more time had
24 been provided -- and just by way of background, we
25 heard that this project, at least the conception

1 of this project started in 2007. But if those ATK
2 reports had been given more time and they had been
3 concluded first, before you concluded your work,
4 do you think that would have improved your
5 technical data report with respect to heritage
6 resources?

7 MR. AMUNDSON: That's fair to say.

8 MR. BEDDOME: That's fair to say. And
9 just to be clear, that's because I think you may
10 have heard me yesterday talk about unknown
11 unknowns, if you have more information, if you
12 have more information you can do a better
13 assessment; correct?

14 MS. COUGHLIN: Yeah. But we should be
15 cognizant of the information that was provided by
16 the Swan Lake, Black River, Long Plain ATK
17 management team, where in November of 2014 they
18 had information and discussion about heritage
19 values important to them. So that's discussed in
20 their TK report.

21 MR. BEDDOME: Okay. And sorry, just
22 to -- so that information was in 2014, and that
23 was actually in fact relayed into the heritage
24 resources report; that's correct?

25 MR. AMUNDSON: In the form of what

1 values were important. As far as specific on the
2 ground sites, there was nothing that we could walk
3 to and look at, yet, at that time.

4 MR. BEDDOME: Thank you. Now, I just
5 wanted to ask -- oh, actually there was just a
6 real quick question. Is it Dr. Amundson, or Mr.?

7 MR. AMUNDSON: It's Mr. I have a
8 Masters degree in archaeology.

9 MR. BEDDOME: My apology. Thank you
10 for that. I just noticed in your report, I think
11 there was something just briefly there, that in
12 peat areas you saw that less likely for there to
13 be archeological signs of things preserved. Am I
14 getting that correct?

15 MR. AMUNDSON: Peat areas were not
16 areas that people tended to live in, in the past.
17 There's very few resources available. People pass
18 through peat areas, people probably hunted in peat
19 areas, but the acidity of soil in peat areas
20 almost completely destroys any archeological
21 evidence soon after it's deposited. So peat areas
22 are not areas that we tend to spend a lot of time
23 on.

24 If you want to get really technical,
25 the other problem is it's impossible to dig a test

1 hole in peat areas, because the hole keeps closing
2 as you're digging it.

3 MR. BEDDOME: Fair enough. Thank you
4 for that. I learn something new everyday, I
5 actually thought peat areas were good at
6 preserving artifacts, but I stand corrected.

7 MR. AMUNDSON: If I could add
8 something? You're thinking of the peat bogs in
9 Europe where people were intentionally thrown and
10 preserved. It's got nothing to do with the
11 practice in North America.

12 MR. BEDDOME: I wasn't aware of that
13 background. Thank you very much for that. I'm
14 not sure what to think of that one, but thank you
15 for that.

16 Now, I wanted to just talk a little
17 bit about the greenhouse gas report, although I
18 know other participants, I'm sure, will address it
19 much better than myself but -- and it flows
20 naturally from this. There's a conclusion in the
21 greenhouse gas report that wetlands and peat lands
22 will be minimally disturbed. Would that not be
23 correct?

24 MS. COUGHLIN: We do say that in the
25 vegetation and wetlands chapter.

1 MR. BEDDOME: Okay. Well, it's
2 actually at page 16 of the greenhouse gas report,
3 if you want my specific reference to it. There's
4 just a line there where it indicates they would be
5 minimally disturbed.

6 MR. SHAW: Yes. So in terms of the
7 greenhouse gas life cycle assessment, we're
8 looking at sort of the long-term quantification of
9 greenhouse gases and long-term land use change.
10 So while there will potentially be temporary
11 disturbance, we're looking at minimal long-term
12 disturbance of this area. So we assume that the
13 carbon content of those areas will sort of be
14 maintained as they are before the project, as they
15 will be sort of long-term after the project is
16 over.

17 MR. BEDDOME: But, you know, although
18 they can sometimes be net -- would you not agree
19 with me that although wetlands, for instance, can
20 sometimes be net contributors, they can also be
21 net sinks in respect to greenhouse gas emissions?

22 MR. SHAW: Yes, that is possible. Of
23 course what we're looking at is comparing sort of
24 the present state and future state. Our
25 assumption was that it would maintain a relative

1 equilibrium for what's occurring now and what will
2 be occurring in the future. The project itself
3 will have no impact on sort of if that wetland
4 changes in terms of the amount of sink it is over
5 time.

6 MR. BEDDOME: I'm going to return to
7 that. So just to confirm, at times wetlands can
8 be a net contributor if there's a lot of methane
9 coming off, and they can also be a sink if they're
10 actually capturing a lot of greenhouse gas
11 emissions.

12 MR. SHAW: I mean, in general, land
13 can be either a sink or an emitter.

14 MR. BEDDOME: Fair enough.

15 MR. SHAW: So this project itself
16 wouldn't impact how a piece of land, at least
17 those types of land would change over time.

18 MR. BEDDOME: Peat lands, in
19 particular, are some of the most carbon dense
20 types of soil lands that we have, right? They are
21 great storers of greenhouse gases.

22 MR. SHAW: Yeah, there's quite a bit
23 of carbon inside peat land.

24 MR. BEDDOME: But your greenhouse gas
25 assessment, basically there's no impact whatsoever

1 from impacts on wetlands or peat lands, you assume
2 there will be no disturbance?

3 MR. SHAW: Not no disturbance, but we
4 won't be clearing significant areas unless there
5 are trees on those areas. What we look at, as
6 part of this assessment, is removing carbon stock
7 from the area, so essentially removing trees,
8 potentially high shrub. But we're not looking at
9 permanently impacting the soil.

10 MR. BEDDOME: But if a tower was to be
11 placed on a wetlands or a peat lands as the siting
12 went along, there could be some greenhouse gas
13 impacts from that tower itself?

14 MR. SHAW: Yeah. So we did take the
15 tower footprint into consideration and assume that
16 all mass would be removed.

17 MR. BEDDOME: Okay. Did you assume
18 that all mass would be peat lands?

19 MR. SHAW: No, whatever was up in the
20 geographic survey of the right-of-way. Once
21 again, we're just looking at mainly change to the
22 surface.

23 MR. BEDDOME: Now, in terms of the
24 life-cycle analysis, 57 per cent of the greenhouse
25 gas contributions is coming from line loss; that's

1 correct? I can find you the reference if you need
2 it. There's a really nice pie chart in there I
3 took that from. It's at page 121.

4 MR. SHAW: Sorry, so you should go to
5 page 20 and look at the summary. There's a table
6 there. If you look down to land use change, the
7 total impact of land use change will be emissions
8 of around 76,500 tonnes of CO2e, which would work
9 out to about 45 per cent of total life-cycle
10 emissions from the MMTP project.

11 MR. BEDDOME: I guess what I'm getting
12 at is you look at line losses, right? And I guess
13 that ties into some of the earlier comments about
14 sustainable development and Manitoba Hydro,
15 effectively that Manitoba electricity, although it
16 has a lot of impacts that I think it should be
17 acknowledged is, generally speaking, a lower
18 greenhouse gas emitting power source than say a
19 coal plant. That would be fair to say; right?

20 MR. SHAW: That's fair to say.

21 MR. BEDDOME: So is that why the line
22 losses were taken into account?

23 MR. SHAW: So as part of this
24 life-cycle assessment, we looked at three
25 different impacts. One is called non-generation

1 effects. That would be the traditional assessment
2 of a project, its life-cycle emissions over life,
3 including construction, operation and
4 decommissioning.

5 On top of that there are something we
6 call generation effects. So because this is a
7 transmission line, once it's put in place it will
8 have impacts on the greenhouse gas emissions sort
9 of in the rest of the electrical system.

10 So from a line loss perspective, the
11 greenhouse gas emissions are an indirect loss when
12 we're transmitting electricity through, so there
13 is no actual direct greenhouse gas emissions, it
14 all depends on the source of supply.

15 So for this project, when we're
16 looking at exports from the line, obviously the
17 source of power is basically non-emitting. So
18 there are essentially no line loss emissions from
19 export of power on this project. In fact, because
20 we're bringing in the Manitoba-Minnesota
21 Transmission Project, we'll be able to lower the
22 average long-term intensity of generation within
23 Manitoba, which means from the export perspective,
24 it will actually reduce line loss greenhouse gas
25 emissions.

1 So when we're looking at the emissions
2 here, and I'll point you to that pie chart on page
3 22, so the bulk of those losses are related to
4 emissions from imported energy. And you can't
5 really just look at the import line loss
6 greenhouse gas emissions, you have to take a more
7 holistic approach. So what we're looking at here
8 is when we're importing energy during a drought
9 situation, we essentially have two options. We
10 can either run thermal plants in Manitoba, which
11 will obviously emit greenhouse gases; or we can
12 import from mostly the U.S., and then of course
13 because of transmission there will be some line
14 loss emissions associated with that. But these
15 line loss emissions will be a small per centage of
16 sort of the thermal generation emissions related
17 to whether we choose to run a plant in Manitoba or
18 import energy.

19 MR. BEDDOME: So, would it be fair to
20 say -- just give me a second here, sorry. And
21 thank you for that.

22 I guess in this case you're kind of
23 taking into account the broader electricity
24 market, and thank you for that, whether we're
25 importing and we are importing from higher

1 emitting sources in the States, or whether we're
2 exporting and potentially displacing higher
3 emitting sources, but your greenhouse gas
4 assessment doesn't actually try to assess that
5 fact; right? It doesn't go that far, it's looking
6 more at the project itself. Is that a fair
7 summation? Did I get it right? Maybe I didn't?

8 MR. SHAW: No, that's not a fair
9 summation.

10 MR. BEDDOME: So you are looking at
11 the overall impact in terms of the displacement
12 impact?

13 MR. SHAW: Yes, we did assess the
14 overall impact of the line.

15 MR. BEDDOME: So, and I get that, if
16 we're using hydro and we're displacing coal, that
17 makes sense. But what would be the greenhouse gas
18 impacts if a lot of that hydroelectric energy was
19 say used to power the Energy East Pipeline, would
20 that change your greenhouse gas assessment?

21 MS. COUGHLIN: That's outside the
22 scope of what we have done here.

23 MR. BEDDOME: Fair enough. I guess
24 the reason I'm asking, though, is if we're taking
25 this broader account in one way, wouldn't that

1 change your equation? Or, you know, I'm not sure
2 if you understand what I'm saying, sir?

3 MR. SHAW: For our assessment we
4 assumed sort of the reference caseload forecast.

5 MR. BEDDOME: You assumed the
6 reference caseload forecast. So, although you're
7 talking about the dynamic nature of the
8 electricity market, it's really difficult to say
9 because things may change drastically over a
10 couple of years. Would that be fair to say?

11 MR. SHAW: Yes, the load forecast has
12 a range of uncertainty.

13 MR. BEDDOME: Those are all my
14 questions. Thank you very much.

15 THE CHAIRMAN: Thank you for those
16 questions, and again for the answers.

17 All right. That will bring us to our
18 next participant, Peguis First Nations,
19 represented by Mr. Valdron.

20 MR. VALDRON: And a good morning to
21 you all. My name is Den Valdron, representing
22 Peguis First Nation with respect to this matter.
23 This is for the monitor.

24 I have a few questions, possibly more
25 than a few, but I'm sure we'll get through them.

1 All right. I guess broadly I'll start
2 with traditional land and resource use, but I may
3 jump around a bit. So if one of you feels that
4 you can answer the question better, feel free.
5 Let's start up.

6 So I heard yesterday that the estimate
7 in the presentation is that approximately 60
8 per cent of lands in the area are now developed
9 lands, and that leaves only about 40 per cent of
10 lands as Crown lands left available for
11 traditional land use, TLRU. I also heard that
12 there was an estimate that approximately 4.8
13 per cent of lands would be affected for TLRU. Is
14 that right?

15 MS. COUGHLIN: I don't think your
16 numbers are correct. Could you just run through
17 them again?

18 MR. VALDRON: I believe that there's
19 approximately 40 per cent of the lands in the area
20 as Crown lands.

21 MS. COUGHLIN: No. Total for the
22 line, it's 26 per cent Crown lands for the PDA.

23 MR. VALDRON: 26 per cent Crown lands.

24 MS. COUGHLIN: Were you perhaps
25 referencing a different assessment area? Maybe

1 the LAA or the RAA?

2 MR. VALDRON: The RAA.

3 MS. COUGHLIN: Is that what you're
4 referencing?

5 MR. VALDRON: I think so.

6 MS. COUGHLIN: Okay, we'll check the
7 numbers.

8 MR. VALDRON: Because I did hear 40
9 per cent.

10 MR. DE CARLO: So I believe what you
11 were looking at, the numbers you are referring to
12 are from the vegetation and wetlands assessment,
13 and those numbers are for the regional assessment
14 area.

15 MR. VALDRON: The regional assessment
16 area, yes.

17 MR. DE CARLO: And there's
18 approximately 60 per cent of the land that is
19 either agricultural land or developed. The
20 remaining 40 per cent is a combination of both
21 private and Crown, not specifically Crown land.

22 MR. VALDRON: Okay. And how much of
23 that remaining 40 per cent is Crown land?

24 MS. COUGHLIN: I think it's
25 approximately 13 per cent or 14, subject to check.

1 MR. VALDRON: So 13 or 14 per cent --
2 I'm not going to hold you to, you know, that last
3 per cent -- is left for traditional land use?

4 MS. COUGHLIN: People can conduct
5 activities where they have permission on private
6 lands.

7 MR. VALDRON: But by and large, you're
8 talking about 14 per cent of total areas left for
9 First Nations, subject to a few percentage points
10 when they get permission?

11 MR. AMUNDSON: First Nations and Metis
12 can practice traditional land use wherever they
13 have permission to do so.

14 MR. VALDRON: Okay. Do you have
15 figures on how much permission or what the scope
16 of those permissions are? What's the average?

17 MR. AMUNDSON: We don't have any
18 figures or statistics on that, but the ATK studies
19 show traditional land use throughout the area, not
20 just in Crown lands.

21 MR. VALDRON: Okay. So then say the
22 answer would be 14 per cent, plus whatever they
23 can get permission for?

24 MS. COUGHLIN: Yeah. If you refer to
25 many of the self-directed studies, you'll note

1 that traditional activities occur throughout the
2 project area.

3 MR. VALDRON: Yes. But obviously they
4 wouldn't occur through the developed or
5 agricultural areas for the most part?

6 MS. COUGHLIN: Well, they in fact do.
7 They occur broadly.

8 MR. VALDRON: So you're saying that
9 traditional activities are occurring unhindered
10 all through the area?

11 MS. COUGHLIN: I didn't use the word
12 unhindered.

13 MR. VALDRON: Okay. Well, how much of
14 this area is regularly used for traditional
15 activities, in terms of beyond that Crown land?

16 MR. AMUNDSON: We can't speak to the
17 regularity of the use, but the ATK studies do show
18 traditional land use places and areas and trails
19 and travel-ways throughout the area, not just
20 Crown land.

21 MR. VALDRON: So you're saying that it
22 occurs through about 40 per cent or more?

23 MR. AMUNDSON: I think we're talking
24 about two different things here. You're speaking
25 of the RAA for wildlife and vegetation, and we are

1 assessing the effects on the local assessment
2 area.

3 MR. VALDRON: Well, I'm just going on
4 traditional land and resource use. That was the
5 section that you spoke on; right?

6 MR. AMUNDSON: Correct.

7 MR. VALDRON: Okay.

8 MR. AMUNDSON: I can't speak to a
9 percentage of area based on the information we
10 have from the ATK studies.

11 MS. COUGHLIN: But if you look at the
12 Peguis data, you could see usage throughout the
13 area.

14 MR. VALDRON: Does the Peguis data
15 specify whether it's Crown land or private land?

16 MR. AMUNDSON: The map for the Peguis
17 data shows a variety of different geographical
18 features, but it doesn't have land tenure on
19 there, but it can simply be compared with other
20 maps. And the traditional land and resource use
21 activities, trails, travel-ways, and areas of
22 importance are throughout the entire area.

23 MS. COUGHLIN: And this was shared by
24 more than just Peguis First Nation.

25 MR. AMUNDSON: Right.

1 MR. VALDRON: But as I understand it,
2 the maps of Peguis and other First Nations' use
3 simply depict dots or points, it doesn't depict
4 polygons, or areas, or broad space?

5 MR. AMUNDSON: Some of them depict
6 polygons, large areas.

7 MS. JOHNSON: Could I just interrupt
8 for a second? A lot of people in the audience are
9 having a hard time hearing you. Could you please
10 speak closer to the mic, all of you, because
11 there's quite a wind apparently blowing at the
12 back there and they can't hear.

13 MR. VALDRON: All right. This has
14 turned out to be unexpectedly detailed, but are
15 you prepared to estimate how much of the total RAA
16 is used regularly or is typically available to
17 Peguis or other First Nations?

18 MR. AMUNDSON: Would you repeat the
19 question, please?

20 MR. VALDRON: Okay.

21 MS. COUGHLIN: Like Hydro won't manage
22 the RAA.

23 MR. VALDRON: No, but --

24 MS. COUGHLIN: And the right-of-way
25 will have open access for people to use outside

1 construction and maintenance windows. So people
2 can use the right-of-way when they choose. And
3 how they use the RAA, it's not up to us. And the
4 traditional knowledge studies have done a great
5 job of documenting use of the area, the entire
6 project region actually.

7 MR. VALDRON: Well, we will get to the
8 right-of-way. So I certainly appreciate that
9 answer. That will be helpful. But with respect
10 to the RAA, I mean, what we're talking about here
11 is impacts on the First Nation and on traditional
12 land and resource use. And before I can really
13 assess, or have my clients assess the impact on
14 resource use, I think it's fair to talk about, you
15 know, what level or what the scope of resource use
16 is in that RAA.

17 MR. AMUNDSON: Again, the ATKs
18 typically present traditional land and resource
19 information as geographic locations or geographic
20 areas, and we don't have much data on the
21 frequency, or periodicity, or regularity of use.
22 So we just know the places that are used, and they
23 can be over a broad range of time, they could be
24 both for current use and for living memory.

25 MR. VALDRON: All right. So let's try

1 and approach this from a different angle. You'll
2 agree that the lands in the RAA used by First
3 Nations is more than the 14 per cent of Crown
4 lands?

5 MS. COUGHLIN: Yes, we agree.

6 MR. VALDRON: Okay. Now we're getting
7 somewhere.

8 And you'll agree that it's also,
9 because of agricultural and because of
10 development, less than 100 per cent?

11 MS. COUGHLIN: Any area in the RAA
12 could be used for traditional use activities, as
13 far as we know, if there's permission granted.

14 MR. VALDRON: A parking lot?

15 MS. COUGHLIN: Yes, or a quarry if
16 that's so to their choosing. I guess apart from
17 the legal discharge of firearms, Butch is
18 correcting me.

19 MR. VALDRON: Well, there would
20 definitely be issues there.

21 MS. COUGHLIN: Sorry, I should have
22 been more specific.

23 MR. VALDRON: I suspect that there may
24 also be a lack of success in searching for
25 traditional medicines in a parking lot?

1 MS. COUGHLIN: We could agree with
2 that.

3 MR. VALDRON: Okay. So more than 14
4 per cent, but less than 100 per cent?

5 MR. AMUNDSON: Making that judgment is
6 outside the scope of our assessment.

7 MR. VALDRON: All right.

8 Now, I also heard the number 4.8
9 per cent of lands affected. Now, does that
10 describe the PDA versus the RAA?

11 MS. COUGHLIN: We're just finding the
12 exact reference.

13 MR. VALDRON: Take your time.

14 MS. COUGHLIN: Yeah, that was
15 referenced in, that was the 4.8 per cent reduction
16 in forest cover within the LAA.

17 MR. VALDRON: Okay. So that's just
18 forest cover, that's not the Crown land within the
19 RAA?

20 MS. COUGHLIN: No.

21 MR. VALDRON: Okay. So what's the
22 percentage of reduction of Crown land?

23 MS. COUGHLIN: There is no reduction
24 in Crown land.

25 MR. VALDRON: Okay. I phrased that

1 badly.

2 I guess my clients are concerned about
3 their interests constantly being whittled down.
4 So that's kind of where I'm going. This route
5 goes through approximately 30 per cent of Crown
6 land and through 70 per cent of private land; is
7 that correct?

8 MR. AMUNDSON: 74 per cent freehold
9 land and 26 per cent Crown land.

10 MR. VALDRON: 26 per cent, okay.

11 All right. And you would agree with
12 me that regardless of interest on private land and
13 regardless of practice on private land, the First
14 Nations rely on Crown land as the sort of bull
15 work, or the place where they are definitely
16 always able to practice; correct?

17 MR. AMUNDSON: Crown land is a place
18 where First Nations and Metis can exercise
19 traditional practices without having to ask
20 permission.

21 MR. VALDRON: Okay. So obviously
22 that's quite important to them. Would that be
23 correct?

24 MS. COUGHLIN: Yes.

25 MR. VALDRON: Okay. So once Crown

1 land is taken up or intruded upon, it's gone
2 forever. There's not a lot of history of land,
3 private land being restored back to Crown land; is
4 that right?

5 MR. AMUNDSON: Are you speaking
6 generally or are you speaking about this project?

7 MR. VALDRON: I'm speaking generally.

8 MS. COUGHLIN: So traditional
9 practices can still occur on the right-of-way once
10 the project has been constructed.

11 MR. VALDRON: Well, I certainly do
12 appreciate that. And one of the things we'll be
13 talking about is how these traditional practices
14 are carried out.

15 Now in your studies and evaluations,
16 was there any assessment of how much land was
17 required for traditional practices? Did any of
18 that come through in ATK?

19 MR. AMUNDSON: That kind of
20 quantification wasn't provided to us.

21 MR. VALDRON: Okay. You'd agree with
22 me though that, for instance, if a First Nation's
23 practice is hunting deer or elk, there has to be a
24 sustainable population of deer or elk? And if the
25 population is too small, then obviously you're

1 just destroying a species?

2 MS. COUGHLIN: Yes.

3 MR. VALDRON: Okay. Then in order to
4 sustain aboriginal practices with respect to
5 various species, ranging from big game to
6 medicinal foods, a certain amount of territory has
7 to be required. And the requirements for each
8 species or each game or medicine or country food
9 will change, but they all require territory;
10 correct?

11 MR. AMUNDSON: The results of the
12 wildlife and vegetation and wetlands assessments
13 have demonstrated that there's no significant
14 residual effect on the abundance or the
15 distribution of a species. They're also important
16 for traditional land and resource use.

17 MR. VALDRON: Okay. I guess I'll just
18 kind of divert a little bit there. Why did you
19 combine vegetation and wetlands?

20 MR. DE CARLO: Well, specifically for
21 wetlands, it's a multiple discipline item,
22 including hydrology, vegetation, and others. And
23 vegetation is an important factor for wetlands.
24 That was the reason for combining it.

25 MR. VALDRON: Well, obviously

1 vegetation is an important part of wetlands, but
2 you just said wetlands includes a whole bunch of
3 things. Shouldn't it have been its own subject?

4 MR. DE CARLO: It could have been its
5 own subject. It was a matter of choice to include
6 it within vegetation.

7 MR. VALDRON: Okay. I'm just asking
8 why. Why did you make that choice?

9 MS. COUGHLIN: We wanted to have a
10 chapter where we could have like a discussion on
11 vegetation effects broadly and thoroughly. And we
12 thought having it in one place would have a
13 continuity to that discussion. And it speaks to
14 having those broader level VCs. And so that was
15 part of the decision why we wanted to include them
16 together.

17 MR. VALDRON: So, vegetation was the
18 most significant or important part of wetlands, so
19 you just include wetlands with vegetation?

20 MS. COUGHLIN: It was to allow that
21 continuity of discussion.

22 MR. VALDRON: Okay. Now, one of the
23 issues for my clients, of course, is not just the
24 fact that their land areas are continually being
25 diminished and subject to external discretion.

1 They are also concerned with fragmentation. And
2 I'm hearing -- and I've read your reports, and
3 thank you very much, and I have listened to your
4 presentation -- that there is still sufficient
5 land available for them to carry on their
6 practices. But one of the issues, for instance, I
7 wondered about was with respect to fragmentation.
8 Because that does seem to be a little bit
9 different, depending on species. You know, if
10 we're talking a medicinal plant, fragmentation of
11 territory may not make that big a difference. If
12 we're talking elk or deer or big game,
13 fragmentation may well have an impact. Would you
14 agree?

15 DR. GAHBAUER: Not necessarily.
16 There's a lot of confusion, and this is generally
17 speaking about loss versus fragmentation. And for
18 a lot of species, fragmentation really isn't the
19 issue.

20 MR. VALDRON: Okay. Well, you have
21 articulated there's a lot of confusion and
22 obviously I'm confused, so I'm going to ask you to
23 clear up that confusion as you see it.

24 DR. GAHBAUER: Certainly. So habitat
25 fragmentation is something that since the, you

1 know, 1970s or so has been put forth as this
2 really driving cause of ecological change. And
3 when you burrow down into the research, the vast
4 majority of time it's actually loss of habitat
5 that's responsible for changes that are seen.

6 So fragmentation chiefly is an issue
7 when you have species that are particularly
8 sensitive to area requirements and those area
9 requirements are no longer met as a result of
10 actual fragmentation into smaller parcels.

11 MR. VALDRON: Okay. So in your
12 opinion then, fragmentation is not a central
13 issue, it's loss of habitat?

14 DR. GAHBAUER: In most cases, yes.

15 MR. VALDRON: Okay. And I believe you
16 mentioned that some species were more vulnerable
17 because of loss of habitat. What species would
18 these be?

19 DR. GAHBAUER: For loss of habitat?

20 MR. VALDRON: Well, as you were
21 discussing -- I may have misstated you.

22 DR. GAHBAUER: Well, almost any
23 species at some point is vulnerable to loss of
24 habitat. It's just a question of degree really.

25 MR. VALDRON: All right. And in terms

1 of the species that we're dealing with here in
2 wildlife, which species would be most susceptible?
3 I mean, what species are most likely to be
4 impacted?

5 DR. GAHBAUER: Well, again, it's not a
6 matter of ranking species. Every species that
7 loses habitat is affected by losing habitat. It's
8 not that there's a priority list. I'm not
9 understanding the question I guess.

10 MR. VALDRON: Okay, okay. I'll move
11 on I think.

12 THE CHAIRMAN: It's the Chair, Serge
13 Scrafield. It's just about 11:00, so I wanted to
14 get an idea of how much longer. If it's going to
15 be a while then we'll break and come back.

16 MR. VALDRON: It's going to be a
17 while.

18 THE CHAIRMAN: All right. We'll take
19 a break then and we'll be back here at 11:15.

20 MR. VALDRON: Okay.

21 (Recessed at 10:59 a.m. to 11:16 a.m.)

22 THE CHAIRMAN: All right. I'm
23 wondering if you can all take your seats? We're
24 going to get started here with the questioning.
25 So in fairness to Peguis First Nation and Manitoba

1 Hydro, we will start the questioning. So take it
2 away.

3 MR. VALDRON: All right. You guys all
4 set?

5 MS. COUGHLIN: Yes.

6 MR. VALDRON: Excellent.

7 All right. Thinking back to my
8 earlier questions, I thought I would just kind of
9 try and sort of what this traditional land and
10 resource use segment comes down to. So correct me
11 if I'm wrong, but when we're looking at this
12 chapter on traditional land and resource use, most
13 of the information in that chapter is coming from
14 First Nations, from Peguis, from MMF, from Dakota
15 and others, as ATK, and whatever other acronyms.
16 And if I'm understanding what's going on here,
17 you're taking that information you've received
18 from First Nations, and you are trying to
19 reconcile it with the other information from your
20 valued components. Is that correct?

21 MR. AMUNDSON: One of the approaches
22 we take to the assessment of effects on
23 traditional land use is the assessment of effects
24 on species and places that First Nations and Metis
25 have identified as being important to them.

1 MR. VALDRON: Okay. So things are
2 being identified to you through the ATK, and
3 you're going out and doing your own research on
4 them?

5 MR. AMUNDSON: Me personally?

6 MR. VALDRON: Well, no, the collective
7 group of you. I don't anticipate that you'll be
8 standing in the field counting moose. You can if
9 you want to, you can do whatever you want with
10 your own time.

11 MR. AMUNDSON: Could you repeat the
12 question, or could I repeat what I think you were
13 asking?

14 MR. VALDRON: Repeat what you think
15 I'm asking.

16 MR. AMUNDSON: Are you asking me if
17 Aboriginal traditional knowledge contributes to
18 the study design of the other valued components?

19 MR. VALDRON: No, I don't think that
20 was the question I was asking.

21 MR. AMUNDSON: Then I didn't hear you
22 correctly. I'm sorry.

23 MR. VALDRON: My understanding of your
24 answer is that you took, or received traditional
25 Aboriginal knowledge. You consulted with the

1 First Nations, which is a very good thing, and
2 they communicated with you, which is a very good
3 thing, and they identified areas of concern. And
4 you went off, and Manitoba Hydro investigated
5 those concerns?

6 MR. AMUNDSON: So what I can say in
7 answer to that question is that the knowledge
8 gained from communicating with First Nations and
9 Metis had an influence on the assessment of
10 effects, not just on traditional land and resource
11 use, but also on other biophysical valued
12 components.

13 MR. VALDRON: Okay. And what
14 influence did it have?

15 MR. AMUNDSON: Key concerns such as
16 species that are valued by First Nations and
17 Metis.

18 MR. VALDRON: Okay.
19 So, give me an example as to how that
20 would implement? So for instance, if they come to
21 you and they say, you know what, we really like
22 hunting elk, there's elk up and down this area, do
23 you just jot that down and say, okay, elk are
24 important, or do you take further investigations
25 and say, well, what's the health of the elk

1 population?

2 MR. AMUNDSON: As Dr. Gahbauer
3 mentioned earlier today, that is the reason that
4 moose, elk and deer were chosen as species of
5 interest for the effects assessment on wildlife.

6 MR. VALDRON: Okay.

7 So then essentially you received ATK
8 information and this influenced some of your
9 research?

10 MS. COUGHLIN: So information was
11 received throughout the First Nations and Metis
12 engagement process. And early information helped
13 us to understand what was valued and considered
14 important to those involved in that process. And
15 that helped influence both broad topics, like what
16 I think you are asking is how were those concerns
17 assessed? And it also influenced the way we
18 described effects. So the way that experience
19 might change is described in the traditional land
20 and resource use chapter, which is what Butch is
21 describing.

22 MR. VALDRON: Thank you. That's a
23 good answer and I appreciate it.

24 Now, something came up yesterday, I
25 just wanted to confirm, because I want to build, I

1 want to ask a few further questions about this.
2 But with respect to the ATK information that you
3 had, there was no specific breakdown, or no real
4 ability to break down in terms of First Nations
5 and Metis resource use through the area as to
6 where that resource use was going, as to which
7 families, or groups, or clans, or particular
8 bands, or populations were prioritizing or
9 ignoring areas or how it was divided up within
10 that population. Is that correct?

11 MS. COUGHLIN: So communities provided
12 information based on how they wanted to provide
13 it. So the MMF provided an entire report all
14 based on activities and use from the Metis people.

15 MR. VALDRON: Okay.

16 And so as I understand it, with
17 respect to use, although we've got a good idea of
18 where use is happening and what species are being
19 used, what medicinal plants are sought, and where
20 people are going, we don't have a really clear
21 picture as to frequency or intensity. So an area
22 might be visited once, or it might be visited
23 dozens of times, but we're not able to really
24 assess frequency or intensity. Is that correct?

25 MR. AMUNDSON: We can only use

1 information that we receive through the
2 self-directed studies. And if that information
3 isn't available, we can't portray it in the
4 assessment.

5 MR. VALDRON: Well, I appreciate that,
6 but what I'm asking is what were the limits of the
7 information you received? So you didn't receive
8 frequency or intensity, you just received areas of
9 use. You received a certain quality of
10 information.

11 MR. AMUNDSON: Well, irrespective of
12 that, we still used the conservative approach and
13 we assumed at any given time that traditional land
14 and resource use could be occurring.

15 MR. VALDRON: Okay. So that's your
16 default, that once an area is identified, it's
17 potentially available for use at potentially any
18 time?

19 MR. AMUNDSON: On Crown land, yes, and
20 on private land with permission.

21 MR. VALDRON: Okay. I'm glad you
22 added private land with permission because I
23 didn't want to go back to that.

24 All right. So if we don't know the
25 local breakdowns of users, and we don't know the

1 local intensity of use, then it's possible that
2 there may be areas where, you know, where if you
3 evaluate an impact as negligible, there may be
4 specific areas within that zone where the impact
5 is not negligible because of intensity of use?

6 MS. COUGHLIN: We didn't assess a
7 negligible effect for traditional land and
8 resource use. We presumed use of the area.

9 MR. VALDRON: Okay. I appreciate that
10 clarification. And along those lines, no
11 indication of total consumption through the area,
12 so no indication of how much meat was being taken
13 out, how many berries, quantities produced,
14 whether production has gone up and down, so no
15 information as to how much country food meant to
16 the diet of particular communities?

17 MR. AMUNDSON: There was no quantified
18 country food studies. All of the Aboriginal
19 traditional knowledge studies suggested that
20 country food is important.

21 MR. VALDRON: Okay. But within that
22 statement of importance, it's difficult to really
23 break the information down any further?

24 MR. AMUNDSON: Correct. And that's
25 why we take a conservative approach to their

1 assessment of effects.

2 MR. VALDRON: And I do appreciate
3 that.

4 All right. Now, with respect to your
5 powerpoint presentation, I was looking at box
6 14 -- yeah, box 14, key findings. You've got two
7 powerpoint presentations, I'm not sure which one
8 to direct you to?

9 MS. COUGHLIN: Are you talking about
10 the traditional land and resource use
11 presentation?

12 MR. VALDRON: Yeah, that's the one.
13 Traditional land and resource use, I believe the
14 first one which stipulates key findings at box 14.
15 There we go. Excellent.

16 Now, box 14 refers to:

17 "...long established trails and
18 travel-ways that connect communities,
19 harvesting areas and gathering places
20 and a network of traditional use and
21 cultural patterns."

22 Would you agree with me that
23 long-established use suggests optimum use, i.e.
24 that it was easier or better to go somewhere else,
25 then they'd have done that. And if this is the

1 place that they always go to, then it's the most
2 convenient place, or it's the most successful
3 place, it's the preference?

4 MR. AMUNDSON: The reference here to
5 long-established is the travel-ways. So it's the
6 ways to get from place to place.

7 MR. VALDRON: And that's the preferred
8 ways?

9 MR. AMUNDSON: Correct.

10 MR. VALDRON: The optimum travel-ways?

11 MR. AMUNDSON: Yeah, they are long
12 established.

13 MR. VALDRON: Okay.

14 So, if they can't use the
15 long-established trails and travel-ways, then
16 obviously they're having difficulty, they've
17 either got to go further or they have to go to
18 less desirable areas, or they have to expend more
19 effort, possibly, for less result. Will you agree
20 with any of that?

21 MR. AMUNDSON: Could you be more
22 specific?

23 MR. VALDRON: Well, I'm just saying a
24 long-established trail or travel-way is
25 essentially the optimum route, for one reason or

1 another. And if that's interfered with or if you
2 can't have a long-established trail or travel-way,
3 then that's a step down, that's a difficulty,
4 that's an adverse effect?

5 MR. AMUNDSON: If I could offer an
6 explanation from my experience?

7 MR. VALDRON: Sure thing.

8 MR. AMUNDSON: Because I've got a long
9 career of being an archeologist in the prairies,
10 and the long-established trails and travel-ways
11 that are used by people are called desire lines,
12 because they're the easiest place to cross the
13 landscape. These have been established for a long
14 time. They were used in precontact time. They
15 became cart trails in the early historic period.
16 And now most of them are roads and rails. So when
17 you look at a map on the prairies and you see a
18 road that doesn't follow the grid road system,
19 it's probably a trail that was established a long
20 time ago.

21 MR. VALDRON: That's fascinating. You
22 call them desire lines or desire lanes?

23 MR. AMUNDSON: That's correct. It's
24 the easiest path to cross the landscape. Most of
25 them are now roads.

1 MR. VALDRON: Okay. I just want to
2 get the term correct because I love just learning
3 new things. You said desire line?

4 MR. AMUNDSON: Correct.

5 MR. VALDRON: Or desire lane?

6 MR. AMUNDSON: Desire line.

7 MR. VALDRON: Okay. Thank you.

8 Is there any interference with the
9 established desire lines?

10 MR. AMUNDSON: Like I said, most of
11 them are now roads or rails, because they are also
12 the best place to build roads and rails, because
13 they're the flattest place across the landscape
14 that lead to the easiest places to cross the
15 waterways.

16 MR. VALDRON: I agree, but if you look
17 at those pictures, we're not looking at roads or
18 rails, or if they are, they're really tiny trains.
19 So obviously those are trails.

20 Is there any interference with any of
21 those trails?

22 MR. AMUNDSON: Those trails are from
23 the RAA, those photographs, just to be
24 illustrative. They are not on the LAA.

25 MR. VALDRON: Okay. Is there any

1 interference with trails or desire lines on the
2 LAA?

3 MR. AMUNDSON: The project will cross
4 roads that probably at one time in the history
5 started out as footpaths.

6 MR. VALDRON: Okay. But in terms of
7 footpaths within the LAA, is there any
8 interference with those?

9 MR. AMUNDSON: Not that we have any
10 information on.

11 MR. VALDRON: Okay.

12 Was this something that you guys were
13 turning your minds towards, or something you were
14 specifically looking towards?

15 MR. AMUNDSON: It's one of the four
16 categories of traditional land and resource use
17 that we always look at when we assess effects.

18 MR. VALDRON: Okay.

19 So as far as desire lines -- I like
20 that -- so as far as desire lines go, there's no
21 effect there at all, in your view?

22 MR. AMUNDSON: We say that the effect
23 is that there will be an altered experience of
24 traveling for traditional purposes.

25 MR. VALDRON: What do you mean,

1 altered experience?

2 MS. COUGHLIN: We can refer you to the
3 section of the EIS that describes the effects to
4 trails and travel-ways.

5 MR. VALDRON: Okay.

6 I'll tell you what, I'm going to let
7 you just fill me in on that information in a
8 little bit, but I'm just going to keep things
9 moving. Thank you.

10 MR. AMUNDSON: Thank you.

11 MR. VALDRON: I've got chapter 11
12 right here.

13 MS. COUGHLIN: It starts at 11.4.4, if
14 that helps.

15 MR. VALDRON: Okay. We'll fill that
16 in. But before I leave the topic, I'm just going
17 to suggest to you that a change of availability
18 and alteration is actually a reduction. Yes? No?

19 MR. AMUNDSON: I wouldn't agree with
20 that. There's no reduction in the ability to
21 travel, based on what we know. Only a potential
22 for the experience of that travel to be affected.

23 MR. VALDRON: You could have just said
24 no, that would have worked too. That's all right.
25 We're doing fine.

1 All right. And I see there's a
2 distinction in boxes 17 and 18, I believe. Well
3 that's not really pursuant to boxes, but I believe
4 that in the presentation there was a distinction
5 made between say cultural and ceremonial sites and
6 hunting and gathering sites. Is that correct?
7 And just ignore that reference -- I misread my
8 note.

9 MR. AMUNDSON: Please restate your
10 question for me?

11 MR. VALDRON: Is there a distinction
12 made between cultural sites and hunting and
13 gathering sites?

14 MR. AMUNDSON: Typically hunting and
15 gathering refers specifically to the places where
16 animals are killed for food purposes, plants are
17 gathered for certain purposes, medicine and food,
18 or wood for firewood, that sort of thing.

19 Cultural sites are a broad range of
20 sites where different activities are practiced.
21 Ceremonial sites are specific to ceremonies such
22 as the sun dance.

23 MR. VALDRON: Okay. And would I be
24 correct, and I'm happy to be shown that I'm wrong,
25 would I be correct in assuming that one of the

1 differences between cultural and ceremonial and
2 hunting and gathering is that cultural or
3 ceremonial sites, like for instance a graveyard,
4 is linked intrinsically to the land. It can't be
5 moved, it's fixed. Whereas the idea with hunting
6 and gathering sites is that you can pick medicine
7 or hunt or trap somewhere else. Would that be a
8 distinction that you were making?

9 MR. AMUNDSON: Burials have a location
10 in space that can't be altered.

11 MR. VALDRON: Yes. But hunting and
12 gathering can be moved around?

13 MR. AMUNDSON: By its very nature it
14 requires mobility.

15 MR. VALDRON: Okay. So if there's
16 interference with, or loss of a hunting and
17 gathering site, then the sense is that that's not
18 as big a loss because they can carry on that
19 activity somewhere else. Is that a fair
20 assumption?

21 MR. AMUNDSON: If you're referring to
22 this project after construction is complete, there
23 will be unrestricted access to the right-of-way,
24 so there won't be a loss.

25 MR. VALDRON: All right. Now, with

1 respect to the construction of the project
2 actually, one of the things I heard yesterday, and
3 I believe I heard it from the Fisheries guy, and
4 I'm sorry, I just go blank on names. It a
5 terrible thing, it runs in the family.

6 MS. COUGHLIN: His name is David
7 Block.

8 MR. VALDRON: I'm going to remember
9 that for five seconds. It's my fault, it's not
10 his. He's a very memorable person.

11 But one of the things I think I heard
12 from him is that even within the selected route,
13 if approved here, there would still be some
14 latitude with respect to placement of towers along
15 that route. Is that correct?

16 MR. BLOCK: I don't recall saying
17 that, but there is some flexibility in tower
18 placement, if that's the question.

19 MR. VALDRON: Okay.

20 THE CHAIRMAN: Sorry, this is the
21 Chair, and I know you are sharing mics, so that's
22 probably part of the issue. But it was very
23 difficult to hear the last answer there.

24 MR. VALDRON: Yeah, I got that. Maybe
25 speak right into the mic there.

1 MR. BLOCK: There is flexibility in
2 tower placement.

3 MR. VALDRON: All right. Good stuff.

4 Now, box 21, or powerpoint thingy, I
5 call them boxes, suggests that after construction
6 access will be unrestricted.

7 How long is construction going to
8 take? And I know it's been stated but I just want
9 to hear it.

10 MS. COUGHLIN: Okay. So construction
11 won't all be occurring across the entire
12 right-of-way at the same time. So it will be in
13 different parts along the way. And subject to
14 check, I think it's over a few years, so three
15 years.

16 MR. VALDRON: Over a few years?

17 MS. COUGHLIN: Yeah.

18 MR. VALDRON: And when are your main
19 construction times? I believe -- well, no, just
20 when are the main construction times? Is it like
21 ongoing through the year over those two years, or
22 do you pick particular seasons?

23 MS. COUGHLIN: Well, construction is
24 throughout, but I'm not the best person to ask
25 about construction timelines. I could go back to

1 the project description, if you'd like?

2 MR. VALDRON: Okay. No, that's okay
3 that's okay.

4 So let's take a hypothetical specific
5 area, a specific piece of line through a specific
6 piece of Crown land. How long would it take to
7 erect that, at that area, would it be one, two
8 months?

9 MS. COUGHLIN: I don't know. I'm not
10 a construction person.

11 MR. VALDRON: Okay.

12 Once construction takes place, how
13 long did those effects last? And I know that
14 there would be different kinds of effects. So for
15 instance, you might have some compaction or
16 rutting, there would be noise which would be
17 highly transient, I suppose, at least the noise of
18 construction, dust raise. Is there any assessment
19 as to the lingering effects of construction, apart
20 from construction itself?

21 MS. COUGHLIN: So, construction
22 effects are described in each valued component
23 chapter of the Environmental Assessment, and we
24 have divided the effects assessment into
25 construction and operation, and each section of

1 the valued component chapters describes
2 construction effects and they are, of course,
3 specific to the valued component being described
4 or assessed.

5 MR. VALDRON: Okay.

6 What I was curious about was not
7 necessarily the construction and effects per se,
8 but the impacts of construction and effects on the
9 ability to use the area. Because I assume that
10 there will be a window of time when the area
11 simply isn't available for traditional use?

12 MS. COUGHLIN: That's correct.

13 MR. VALDRON: Okay. And ballpark,
14 would that be two months, three months?

15 MS. COUGHLIN: So that will change.
16 There will be some construction that will occur on
17 some parts of the PDA, because construction won't
18 occur across the entire right-of-way at one time,
19 it's going to be done in sections. So when there
20 is an active construction site on one part of the
21 right-of-way, that will not be available to
22 conduct traditional activities.

23 MR. VALDRON: Okay.

24 And then I guess in box 21, I guess
25 we're concerned that even with post construction

1 access, the area will still be impacted somewhat.
2 There's maintenance activities that will be
3 occurring at critical periods.

4 Will there be consultation as to
5 scheduling of maintenance activities so as to not
6 to interfere with traditional activities?

7 MS. COUGHLIN: We're open to talking
8 with communities, to find out timelines that will
9 coordinate well.

10 MR. VALDRON: Okay. Is there a policy
11 currently in place for that right now?

12 MS. COUGHLIN: There is not a policy,
13 to the best of my knowledge, in place that
14 dictates timelines based on harvesting --

15 MR. VALDRON: Okay.

16 MS. COUGHLIN: -- but we're open to
17 discussion on that topic. The essence of what I
18 was saying was that we don't have a formal policy
19 in place yet, but we're open to talking further
20 about coordination with communities to determine
21 what might work best.

22 MR. VALDRON: Okay. Have First
23 Nations asked for that discussion?

24 MS. COUGHLIN: The MMF has asked.

25 MR. VALDRON: Okay. And you haven't

1 had the request from Peguis yet?

2 MS. COUGHLIN: No, not to the best of
3 my knowledge, no.

4 MR. VALDRON: Okay. I would assume
5 that request will be coming in.

6 THE CHAIRMAN: This is Serge
7 Scrafield, Chair. Just one question for you, but
8 before that just one point. We should probably be
9 careful not to try and question and answer, or
10 answer and question at the same time, just to make
11 it easy for the transcriber. She's very patient
12 and I can usually sort it out, but just to make it
13 easier.

14 MR. VALDRON: I will be a bit more
15 careful.

16 THE CHAIRMAN: Well, I'm not sure, I
17 had actually stepped away from the mic for a
18 minute, so I'm not sure who was interjecting, but
19 just so we're careful about that. So that's one
20 point.

21 Second point is, we had marked you
22 down for 30 minutes and we're at about 50, 55
23 minutes now. I have taken the break out of there,
24 of course. How much longer do you intend to be?

25 MR. VALDRON: I do apologize, I've got

1 several more pages of questions.

2 THE CHAIRMAN: Any time estimate on
3 that?

4 MR. VALDRON: I'd say about an hour.

5 THE CHAIRMAN: Can you find a way to
6 get it done by the time we break here, which is
7 going to be around 12:30? I'm cognizant of our
8 overall time. There's lots of other groups with
9 questions, and we're trying to stay more or less
10 on schedule. We are behind. We made up some time
11 yesterday, and I should thank all participants for
12 that, but I do want to bring us as close to our
13 schedule as we can.

14 MR. VALDRON: All right. I think I
15 can probably edit some stuff out. Won't be the
16 cross-examination I want, but I think I can
17 streamline it a bit.

18 THE CHAIRMAN: Okay. Well, I
19 appreciate that, in fairness to everyone here.
20 And I will of course ask the same thing of the
21 other participants. Thanks.

22 MR. VALDRON: All right. I'm going to
23 move onto wildlife.

24 So I listened earlier to the
25 cross-examination of Mr. Beddome with respect to

1 deer and moose, and I found that quite
2 interesting. One way that impacts can occur is in
3 creating new pathways for disease and parasites.
4 And you know, this can happen a number of ways.
5 Disturbed animals will avoid disturbance when
6 moving into new regions, or will find new
7 opportunities and follow those new opportunities.
8 Development can make it easier. And so there are
9 introductions. I believe I have even heard this
10 as one of those consequences of global warming,
11 the introduction of new parasites or new insect
12 species into new areas. And we have certainly
13 heard about brain worm devastating the moose
14 population. So I guess here's a question.

15 Was this issue of parasites and
16 diseases examined at all by Hydro? Just to give
17 you the specific example, would it make brain worm
18 in moose issues better or worse? Has there been
19 any evaluation of possible movement of disease and
20 parasites in animal population?

21 DR. GAHBAUER: That's certainly
22 outside the scope of this project.

23 MR. VALDRON: Well, it's wildlife.

24 DR. GAHBAUER: It's wildlife, but
25 disease transmission in wildlife has nothing to do

1 with the transmission line.

2 MR. VALDRON: Well, certainly not that
3 they are getting it from licking a transmission
4 pole, no. But my point is that if you're opening
5 up a right-of-way that may change the dynamics of
6 the landscape, you may well be opening up lines of
7 communication, which creates or allows for disease
8 or parasites to move more freely, just as the
9 animals are moving in new ways.

10 DR. GAHBAUER: But as discussed
11 before, there's no limitation on landscape for
12 movement of the deer or moose, they are moving
13 wildly. And while they move the transmission line
14 right-of-way, it's not suddenly facilitating new
15 movements that aren't currently possible.

16 MR. VALDRON: Well, in a sense, yes, I
17 would argue, because there's a pathway that didn't
18 exist before.

19 DR. GAHBAUER: Only in a -- let me
20 rephrase that. The deer and moose make their own
21 pathways all the time. It's irrelevant to them
22 whether there's a right-of-way there or not,
23 they'll move through, they do move through. And
24 it's not that they are suddenly having access to
25 new areas that they don't have access to

1 currently.

2 MR. VALDRON: So, are you saying that
3 the right-of-way would not affect deer or moose
4 movement at all?

5 DR. GAHBAUER: It certainly won't
6 change the way in which they can get from point A
7 to B, or affect disease transmission, as you are
8 suggesting.

9 MR. VALDRON: No, no, that's not what
10 I asked. I asked, are you saying that it won't
11 affect their movement at all?

12 DR. GAHBAUER: No, I'm not saying it
13 won't affect them at all. Anything can affect
14 something to some degree. And yes, they will
15 perhaps change their use slightly as they go into
16 a right-of-way.

17 MR. VALDRON: So you're saying there
18 is an effect but it's not meaningful?

19 DR. GAHBAUER: I can agree to that,
20 yes.

21 MR. VALDRON: Okay.

22 I believe, as I was reading the
23 wildlife chapter, there was some discussion of
24 increased predator mobility. Do you recall that?

25 DR. GAHBAUER: Yes, we did comment on

1 that.

2 MR. VALDRON: Okay. Why predator
3 mobility specifically? Wouldn't this result in
4 increased mobility for all species? Wouldn't it
5 potentially change species mobility?

6 DR. GAHBAUER: Well, again, it depends
7 how mobile the species is in the first place. So
8 for a bird, whether there is a right-of-way or
9 not, it's easy enough to fly through an area. For
10 moose and deer that go through all sorts of
11 vegetation, it's not a big deal. But for
12 something like a wolf, for example, that can be a
13 little bit more, can have its movements a little
14 bit more restricted by dense vegetation, having an
15 open area may make it a little bit easier for them
16 to move.

17 MR. VALDRON: Okay. And wouldn't that
18 apply as well to non-predators like deer?

19 DR. GAHBAUER: It can. But, again, if
20 you look at the landscape, there are deer trails
21 through all sorts of vegetation. So they are not
22 limited to the same degree that some others are.

23 MR. VALDRON: Okay.

24 And with respect to, and just kind of
25 getting back to the mingling of moose and deer,

1 like I have had your opinion, are there any
2 studies with respect to contact between moose and
3 deer? Is there any literature that you are
4 relying on, or is this basically just your opinion
5 as I believe a Masters?

6 DR. GAHBAUER: Ph.D.

7 MR. VALDRON: Ph.D. sorry, I didn't
8 mean to be derogatory at all. I am just vague
9 sometimes.

10 Are you relying on literature or is
11 this just your professional opinion?

12 DR. GAHBAUER: There is literature
13 about transmission of disease between deer and
14 moose.

15 MR. VALDRON: Okay. And contact, and
16 where these contacts occur?

17 DR. GAHBAUER: Presumably there is.
18 It's certainly well established that deer and
19 moose are in the same habitat through much of
20 their range.

21 MR. VALDRON: Okay. Is there any
22 literature on the impacts of Hydro projects on --
23 or the impacts of right-of-ways, or other manmade
24 channels, on contact between deer and moose?

25 DR. GAHBAUER: In terms of contact, I

1 have not come across anything to that effect, no.

2 MR. VALDRON: Okay.

3 Now, it looked like you were trying to
4 have areas for each species. Were there any
5 studies as to the extent to which species were
6 interdependent, which species were affected due to
7 loss of habitat or impacts of the right-of-way,
8 and which interdependent species were further
9 affected?

10 DR. GAHBAUER: That's a bit vague.
11 Can you direct me to what you are referencing?

12 MR. VALDRON: You know what, I'll move
13 on past that question. I'll give you an easy one.

14 Does Manitoba Hydro consider that
15 there is enough protected land in the region and
16 area affected by the MMTP to sustain all of the
17 current populations of fish and wildlife and
18 vegetation?

19 DR. GAHBAUER: It's more of a policy
20 question for the province, I would say, in terms
21 of sustainability of populations. I would just
22 refer to the conclusions of our assessment that we
23 don't believe there is a significant effect on
24 wildlife.

25 MR. VALDRON: Okay. All right.

1 With respect to birds, I'm jumping
2 around a little bit here -- I do have a question
3 or two about bird diverters, in terms of
4 preserving birds. Are bird diverters going to be
5 used throughout the length or just on specific
6 sections of line?

7 DR. GAHBAUER: It will be a targeted
8 use at locations where there's an elevated risk of
9 mortality.

10 MR. VALDRON: How do you determine
11 that? Like do you go underneath and look for dead
12 birds, or are there just specific sites that they
13 are prone to? How is that determined?

14 DR. GAHBAUER: There are specific
15 sites. As I mentioned in the presentation
16 yesterday, the collision risk is chiefly for large
17 water birds. And so by looking at the landscape
18 where a lot of the route passes through forest,
19 over dry agricultural areas, there's really
20 minimal risk there, just because of the volume of
21 bird traffic and the nature of the species there
22 are both small and at low risk of collision. So
23 the first step is to look at those areas such as
24 the river crossings and areas near wetlands, and
25 assume that those are the higher risk and begin

1 with that. And as part of the monitoring plan
2 that will be presented later, there will be some
3 more detail there in terms of adaptive management
4 as required.

5 MR. VALDRON: Well, thank you. That
6 was a good answer and I appreciate it.

7 Bears, I read your chapter, or I read
8 the section on bears with quite a bit of interest.
9 I met a bear myself once upon a time up in The
10 Pas. Turned a corner, there he was 10 feet away.
11 Interesting experience. But it kind of
12 illustrates the situation. Bears have fairly
13 complex lifestyles, are opportunists, they can
14 travel. And what I found when I met one was
15 seasonal shortages could change behaviour.

16 So was there any information on the
17 impact of the project on bear behaviour? Because
18 I accept that it's not going to change bear
19 populations, but it may change bear conduct. Was
20 there any discussion or examination of that issue?

21 DR. GAHBAUER: So we did consider
22 bears. Again, bears are one of the species that
23 were brought forth as being of interest. And
24 bears, again, they're quite flexible in their
25 habitat usage. We don't expect, based on our

1 understanding of bear ecology and literature, that
2 the existence of the right-of-way is going to
3 affect them. Perhaps, again, they may use the
4 right-of-way to some degree, they may forage on
5 some of the plants in there, but the primary
6 potential for any disturbance will be during the
7 brief period that construction is in a given
8 portion of the line.

9 MR. VALDRON: Would they be more prone
10 to foraging in and around the right-of-way?

11 DR. GAHBAUER: They may, depending on
12 the vegetation growth in there, they may find some
13 suitable forage in there.

14 MR. VALDRON: All right.

15 Would the right-of-way make them more
16 mobile in terms of their territory, or affect how
17 they configure their territory? Because sometimes
18 this can take them quite far afield.

19 DR. GAHBAUER: Well, black bears have
20 large territories as it is. And given the nature
21 of the part of the province we're looking at and
22 the number of existing travel routes, I don't
23 imagine that this is going to be a really
24 substantial change in terms of the movements of
25 bears and the size of the territories that they

1 hold.

2 MR. VALDRON: All right. Thank you.

3 Now, moving quickly onto elk, I
4 believe box 27 said the route avoids the elk area
5 in Manitoba. And I was wondering how that was
6 determined? Because when I looked at the chapter,
7 and section 9.1.2.1, all it had to say about elk
8 was that there was an occasional aerial survey
9 done by MCE.

10 DR. GAHBAUER: Yes, right. So the
11 Province does do periodic surveys.

12 MR. VALDRON: Aerial surveys.

13 DR. GAHBAUER: Aerial surveys, yes.
14 And it's understood that the range of the elk is a
15 dynamic thing, they are ranging animals. This
16 population, in particular, moves back and forth
17 across the Manitoba-Minnesota border. And so it's
18 dynamic within a given year and across years as
19 conditions vary a little bit. But fairly
20 consistently, the centre of that range has been
21 around Vita.

22 MR. VALDRON: Okay. And how often are
23 these surveys done?

24 DR. GAHBAUER: I believe the two most
25 recent surveys were in 2011 and 2014. We

1 supplemented that through aerial surveys of our
2 own over the last four years now, and also some
3 terrestrial based surveys.

4 MR. VALDRON: Okay. So Manitoba Hydro
5 has done aerial based surveys of the elk herd?

6 DR. GAHBAUER: They were primarily
7 aerial surveys of a more general sense for
8 ungulates and large mammals, but certainly elk
9 were one of the key targets that were being looked
10 for.

11 MR. VALDRON: Okay. What's the
12 territorial size range of the herd? How much
13 territory do they cover?

14 DR. GAHBAUER: I can't give you, you
15 know, an area in hectares or square kilometres
16 offhand. But again, you know, they are from Vita
17 and surroundings down well into the bogs of
18 Northern Minnesota. So it's a fair distance that
19 they range.

20 MR. VALDRON: Okay. And do we know
21 the rutting and calving areas for elk and whether
22 any of these areas are affected?

23 DR. GAHBAUER: We don't believe it
24 will be affected, given that we did do some of our
25 surveys during the rutting season specifically.

1 And some of our survey points were outside the LAA
2 specifically to detect other activity. The only
3 observations we had were outside the LAA. It
4 seems, based on all of the data available, that
5 they are primarily west and south of the route.
6 And while there may be occasional movements that
7 come a little bit closer to it, there's no
8 evidence at this time to show that they are using
9 the PDA or LAA with any regularity.

10 MR. VALDRON: All right. And the
11 information on the elk herd is pretty current.
12 Did you look at or have any information on the
13 status of the elk herd or the status of elk in the
14 region 40 to 50 years ago?

15 DR. GAHBAUER: 40 to 50 years ago they
16 were not in the region. This herd established in
17 the last 30 years or so.

18 MR. VALDRON: All right. I asked that
19 because you said yourself that populations of
20 animals can shift dramatically and we have seen
21 the collapse of moose. So I was wondering about
22 the long-term prognosis.

23 All right. Here's a question about
24 EMF. I'm actually not going to get into EMF --
25 well, you know what, in a very limited sense, is

1 there any indication of electromagnetic
2 frequencies of the towers affecting waterfowl or
3 geese? I understand they may navigate in part by
4 following magnetic lines.

5 DR. GAHBAUER: Yes, birds may navigate
6 to some degree with that. But I'm not aware of
7 any evidence regarding EMF. I think probably
8 because, if you recall the presentation from
9 Dr. Bailey the other day, there's a very limited
10 distance from the line that EMF has any presence,
11 and the majority of migrating birds are much
12 farther above ground than the line is from the
13 ground. And so the probability of any EMF
14 reaching them that would have any effect has got
15 to be minimal.

16 MR. VALDRON: Okay. Now that's a good
17 answer and I certainly appreciate it.

18 If you can just confirm for me that
19 there is no literature and no studies on this
20 subject?

21 DR. GAHBAUER: I can't confirm that
22 there is no literature on the subject, but of all
23 literature I have reviewed, I have not come across
24 that. And it's likely simply because there would
25 be no value in investigating a null result.

1 MR. VALDRON: Okay. So no one's
2 looked into it. And I'm not parsing you there,
3 I'm just nailing down a few things.

4 Now, what about the noise from the
5 towers? Is there any likely effect on wildlife
6 from the noise? Because I've heard it's about
7 22 decibels.

8 DR. GAHBAUER: Well --

9 MR. VALDRON: I certainly heard from
10 some of the humans that they don't want to be
11 around because of the noise, but does it affect
12 wildlife?

13 DR. GAHBAUER: Again, there doesn't
14 seem to be any evidence specifically saying so. I
15 can believe that under certain circumstances, when
16 the noise is a little bit elevated, that there may
17 be some notice taken of that by wildlife. But
18 given our studies of the existing transmission
19 lines, M602F, and other research out there, there
20 seems to be ample use of transmission line
21 right-of-ways by wildlife, suggesting that it's
22 not something that's a clear deterrent.

23 MR. VALDRON: So there is literature
24 on this subject?

25 DR. GAHBAUER: There's literature on

1 the use of wildlife -- or the use by wildlife of
2 transmission line corridors. The degree to which
3 sound is implicated is generally minor, because I
4 can't think of a particular study that assesses
5 that in any detail.

6 MR. VALDRON: Thank you. I do
7 appreciate that answer.

8 All right. Now, moving onto
9 vegetation. I did touch on this yesterday, but I
10 do want to just touch on it lightly here before
11 moving on again.

12 With respect to the right-of-way area,
13 how many hectares or acres of right-of-way, or how
14 many -- well, just how many hectares or acres in
15 the right-of-way in the construction site are at
16 risk of being impacted by soil compaction or
17 rutting? I know the preference is to do this
18 construction during December and January, and I
19 certainly appreciate that, and try and avoid this
20 with winter. But you've also said that
21 construction will be going on basically throughout
22 the year. So there is some level of risk. How
23 many acres are at risk?

24 MS. COUGHLIN: I guess the area of the
25 right-of-way.

1 MR. VALDRON: Okay. If there is soil
2 compaction or rutting in the area of the
3 right-of-way, what's the remedies there? Is there
4 a reseeded? Does the land get tilled until it's
5 non compacted or the ruts are gone? How does
6 recovery and regeneration work if the soil is
7 compacted?

8 MR. DE CARLO: There are various, like
9 you say, tilling, de-compacting the soils, giving
10 it time to rebound and recover.

11 MR. VALDRON: Okay. And that's part
12 of Hydro's mitigation planning? That will be done
13 in the normal course?

14 MR. DE CARLO: If memory serves me
15 correct, yes, it is part of their process.

16 MR. VALDRON: Okay.

17 Box 5 of the vegetation section, all
18 right. I assume that most of the studies that
19 were taken were literature reviews and not
20 fieldwork; is that correct?

21 MR. DE CARLO: There was a mix of both
22 literature review and fieldwork, on wetlands and
23 rare plants.

24 MR. VALDRON: All right. Who
25 performed the fieldwork.

1 MR. DE CARLO: Fieldwork was performed
2 by a team of botanists.

3 MR. VALDRON: Okay. What's the
4 balance in terms of the work that was done? How
5 much, you know, in terms of what we have in the
6 final product, was it mostly literature and some
7 fieldwork, 50/50, 90/10?

8 MR. DE CARLO: I can't give an exact
9 breakdown on the proportions. As mentioned in the
10 presentation, surveys were conducted in various
11 locations. I believe that was shown on slide 4 of
12 the second screen of the presentation.

13 MR. VALDRON: Okay. I'm just curious,
14 how much money was spent on fieldwork for the
15 MMTP? Can you give me an estimate?

16 MS. COUGHLIN: I don't know. I'm not
17 sure.

18 MR. VALDRON: All right. I'm told
19 that fieldwork for Bipole III, on the east side of
20 Manitoba, done in the early 1990s was over
21 20 million. Was it anywhere near that amount?

22 MS. COUGHLIN: I don't know.

23 MR. VALDRON: Fair answer.

24 All right. Now, moving onto invasive
25 species, plant invasive species. As I understood

1 reading that chapter, the description of invasive
2 species were basically completely foreign species,
3 species completely outside the area. Is that
4 correct?

5 MR. DE CARLO: That's not entirely
6 correct.

7 MR. VALDRON: Oh, okay. Then clarify
8 it for me.

9 MR. DE CARLO: In Manitoba, weeds are
10 listed under the Provincial Weed Act, and that
11 Provincial Weed Act does include native species.

12 MR. VALDRON: So native species can be
13 invasive species?

14 MR. DE CARLO: Under the criteria of
15 the Provincial Weed Act, yes.

16 MR. VALDRON: You looked like you were
17 about to say something else. Was that your
18 complete answer?

19 MR. DE CARLO: That's my complete
20 answer, yes.

21 MR. VALDRON: Okay. Because, I mean,
22 if you had something else, don't let me stop you.

23 MR. DE CARLO: No, that's fine.

24 MR. VALDRON: All right.

25 So with respect to invasive species, I

1 guess the concern of my clients is -- and we
2 respect that Hydro has obviously thought about and
3 taken some action with respect to bio-security,
4 but we're concerned that the right-of-way itself
5 could potentially open a pathway for invasive
6 species. Can you comment on that?

7 MR. DE CARLO: That is possible.
8 Right-of-ways can be pathways, existing
9 disturbances including roads can be pathways for
10 movement of invasive species.

11 MR. VALDRON: And how do we manage
12 that risk?

13 MR. DE CARLO: We're managing it with
14 mitigation. As identified in the slide 21 of my
15 presentation, it will be managed first by further
16 surveys to identify where weeds, invasive species
17 will, or are occurring along the right-of-way.
18 And then also surveys at access points to identify
19 areas that may be at risk of spreading weeds into
20 new areas. And then also having equipment arrive
21 clean and free of debris before it enters the
22 right-of-way.

23 MR. VALDRON: Um-hum. And of
24 particular interest to my clients obviously is the
25 potential threat of invasive species to their

1 traditional medicinal and gathered plants. How
2 significant is that risk?

3 MR. DE CARLO: One moment while I find
4 the actual determination that we came to in the
5 EIS.

6 So the magnitude of potential
7 introduction, spread of invasive species was
8 determined to be low in the EIS.

9 MR. VALDRON: Okay.

10 Now, moving right along, in terms of
11 fragmentation, I know I've touched on this with
12 wildlife but I'm going to touch on it with
13 vegetation. One of the things I read, I think
14 this is box 14, but it's also in your study, is
15 that only say about 20 out of roughly 200 patches
16 of larger than 200 hectares was affected. And
17 this was considered small. That's 10 per cent.
18 Is that small?

19 MR. DE CARLO: Well, again, I would go
20 back to the definitions used in the EIS for
21 magnitude. And magnitude for low was defined that
22 there is no loss within the local assessment area.
23 So it doesn't deal specifically with percentage
24 changes.

25 MR. VALDRON: Okay. How was

1 200 hectares identified? Where did that number
2 come from?

3 MR. DE CARLO: That number comes from
4 a publication, How Much Habitat is Enough, that
5 was produced by Environment Canada.

6 MR. VALDRON: Okay. That's the title
7 of it, How Much Habitat is Enough?

8 MR. DE CARLO: Correct.

9 MR. VALDRON: Okay. And do they
10 identify other habitat volumes or was 200 hectares
11 their baseline?

12 MR. DE CARLO: So, the basis of the
13 report is a literature review of studies conducted
14 for wildlife and other species, and their
15 sensitivity to different patch sizes. And through
16 that literature search they identified, or
17 literature review, they identified that
18 200 hectares is important for maintaining
19 sensitive bird species. And as mentioned in the
20 presentation, bird species are used because
21 there's more known on wildlife than plants, and
22 from what is known, they are more sensitive than
23 plants. So we wanted to take a conservative
24 approach and to use what was more sensitive.

25 MR. VALDRON: Okay. So it was

1 actually driven by bird species?

2 MR. DE CARLO: Yes, the determination
3 that 200 hectares was important was driven by bird
4 species.

5 MR. VALDRON: Okay. With respect to
6 traditional foods, traditional harvest plants,
7 medicinal plants, I'm sure there's an acronym but
8 for the life of me I can't think of it. I believe
9 that the First Nations identified over 300
10 medicinal or locally used, traditionally used
11 species. But I believe that Manitoba Hydro only
12 identified 39.

13 MR. DE CARLO: No, that's not correct.
14 So we used the information that was provided in
15 the ATK studies, which identified that there were
16 more than 300 species considered as traditional
17 use plant species in the regional assessment area.
18 But from our field surveys, we only observed 39
19 locations with traditional use species.

20 MR. VALDRON: Oh, okay, so that's
21 where that comes from. All right.

22 THE CHAIRMAN: This is Serge
23 Scrafield, Chair. I just want to let everyone
24 know that it's 12:15, so we've got about another
25 15 minutes.

1 MR. VALDRON: I'm actually taking a
2 moment of silence to see which questions I can
3 edit out.

4 THE CHAIRMAN: Thank you.

5 MR. VALDRON: Now, getting back to
6 invasive species, and this is hopefully just a
7 very short one, you indicated that one of your
8 lines of defence against potential invasive
9 species entering or infesting the right-of-way
10 would be herbicides. Is that correct?

11 MR. DE CARLO: That is correct.

12 MR. VALDRON: And under what
13 circumstance would herbicides be used?

14 MR. DE CARLO: Herbicides would
15 typically be used for species that had been
16 demonstrated to have a known economic or
17 environmental significant cost. They are
18 aggressive, spread rapidly and quickly, and if
19 allowed to establish are difficult to control.

20 MR. VALDRON: Okay. And will there be
21 notification?

22 MR. DE CARLO: I believe, yes, there
23 will be notification and communication.

24 MR. VALDRON: Okay. And obviously if
25 you are attempting to stop an aggressive species,

1 then that would be the priority, and you're
2 probably giving second place to native species
3 which may be used?

4 MR. DE CARLO: It would depend on the
5 individual species, how aggressive it is and what
6 is the cost, and the conditions where the plant
7 occurs.

8 MR. VALDRON: Okay. And how would
9 they be detected? Just in occasional surveys?

10 MR. DE CARLO: So there will be
11 further surveys conducted prior to construction,
12 and then there will be environmental monitors on
13 site during construction as well.

14 MR. VALDRON: All right. Thank you
15 very much.

16 Now, onto fish, and I don't believe I
17 have very much on fish, thank God. I know you're
18 looking a little bit green around the gills. Oh,
19 come on, that wasn't even funny.

20 MS. COUGHLIN: That is correct.

21 MR. VALDRON: I'll have to walk
22 straight lines around you. Okay.

23 Onto business with the 10 minutes that
24 I have left. Okay. Let's go to Slide 9. With
25 respect to fish and fish species, did any of the

1 information on fish species or fish habitat come
2 from First Nations?

3 MR. BLOCK: Yes, it did.

4 MR. VALDRON: Okay. And what exactly
5 was, in a very, very brief nutshell, what were the
6 preferred fish species that First Nations talked
7 about, and what was the context? Like are First
8 Nations catching a lot of fish in these areas?
9 Have they traditionally caught fish?

10 MR. BLOCK: We did have input from a
11 few of the TK studies, as well as some of the
12 engagement activities. And there were several
13 species listed, I think more common sport fish,
14 pike, walleye, that sort of thing, and there was a
15 little bit of information on where those
16 activities took place.

17 MR. VALDRON: All right. And were any
18 of these fish customarily fished for food?

19 MR. BLOCK: Yes.

20 MR. VALDRON: Okay. Basically the
21 four species that you identified on the table?

22 MR. BLOCK: I think one of those
23 pictures was of a brook stickleback, which I don't
24 think too many people would eat, but it's
25 possible.

1 MR. VALDRON: Never had it.

2 All right. I think I saw some
3 conclusion about water quality on the slides, but
4 I didn't see any discussion about water quality.
5 How did you determine water quality issues?

6 MR. BLOCK: Existing water quality or
7 potential water quality issues?

8 MR. VALDRON: Well, actually both.
9 How did you determine existing water quality?

10 MR. BLOCK: There is information on
11 existing water quality. The province does do
12 water quality sampling. So we used that
13 information as well as limited water quality
14 sampling during the field surveys.

15 MR. VALDRON: Okay.

16 Potential or prospective water quality
17 or impacts on water quality, how was that
18 assessed?

19 MR. BLOCK: That was assessed based on
20 the pathway of effects models created by Fisheries
21 and Oceans Canada. They determined that
22 vegetation clearing does have the potential to
23 affect water quality. And based on the
24 well-established mitigation measures that we use
25 on the project, it was determined that there would

1 be no effect on, no measurable effect on water
2 quality.

3 MR. VALDRON: Okay. Thank you very
4 much. Not to give you a hard time, but I'm having
5 a little trouble hearing. I'm hearing you fine,
6 but you may want to speak into the mic a little
7 bit more.

8 MR. BLOCK: Okay.

9 MR. VALDRON: That's much better
10 actually.

11 Just give me a moment. I'm going to
12 try and boil it down to one or two last questions.

13 All right. You have identified 14
14 quality riparian areas where there will be an
15 impact; correct?

16 MR. BLOCK: There are 14 stream
17 crossings that have forested areas.

18 MR. VALDRON: And so the intention is
19 to basically clear the trees away from these
20 areas?

21 MR. BLOCK: The trees that interfere
22 with operation of the line will be selectively
23 cleared, correct.

24 MR. VALDRON: Okay. Can you explain
25 to me how the clearing of these trees might affect

1 the waters and affect the fish populations in
2 those areas?

3 MR. BLOCK: So clearing vegetation in
4 general could have an impact on shading, which has
5 a potential impact on water temperature. Clearing
6 vegetation can increase erosion, which has the
7 potential to add sediment to the water. There's
8 also various inputs from vegetation such as leaf
9 litter and/or insects, stuff that use the
10 vegetation has a potential to end up in the water,
11 so there could be changes in nutrient input.
12 There's probably a few more that I'm not
13 remembering but there are various -- riparian
14 areas are an important part of the aquatic
15 ecosystem.

16 MR. VALDRON: Okay. And so there is
17 some potential. So what's the plan to deal with
18 these impacts?

19 MR. BLOCK: The plan is the riparian
20 management zone, by selectively clearing just the
21 large trees, they meet -- the majority of habitat
22 quality is maintained.

23 MR. VALDRON: Okay. And that's a
24 viable plan for basically the lifetime of the ROW?

25 MR. BLOCK: Sorry, can you say that

1 again?

2 MR. VALDRON: That's a viable plan for
3 the lifetime of the RoW, right-of-way?

4 MR. BLOCK: The lifetime of the
5 right-of-way, the lifetime of the project?

6 MR. VALDRON: As long as you've got a
7 right-of-way there.

8 MR. BLOCK: Right. So those trees
9 will -- be, through maintenance any new trees will
10 be removed as well, if that's what I'm getting
11 from the question.

12 MR. VALDRON: Okay. And I went blank,
13 but can you tell me whether or not herbicides will
14 be used on those trees to clear them or was it
15 going to be cleared manually?

16 MR. BLOCK: Those would be not
17 manually cleared, but herbicides would not be used
18 to remove those trees, by machine, or by hand, by
19 chain-saw.

20 MR. VALDRON: All right.

21 Now, one final question, it's a
22 general question and I'm hoping it can be answered
23 quickly. But we've heard a lot about how much
24 Hydro has learned from past experiences and past
25 projects, and I certainly think that's a wonderful

1 thing. But as I understand, you know, Bipole and
2 Wuskwatim and Keeyask, some of these projects are
3 either not built yet or have not been operating
4 for that long, and so there isn't a lot of long
5 term experience in terms of dealing with the
6 effects. Would that be correct?

7 MS. COUGHLIN: Some transmission lines
8 are quite old in the Province, so we have a broad
9 range of experience.

10 MR. VALDRON: Okay.

11 I haven't heard a lot of talk in terms
12 of discussion or learnings from previous
13 transmission lines. Were the assessments of
14 previous transmission lines feeding into this
15 project as well?

16 MS. COUGHLIN: Some of the learnings
17 are shared from studies taking place on M620F.
18 It's a 500 kV line that's located in fairly close
19 proximity to where the FPR would for MMTP. It's a
20 lot of acronyms. But there is a very similarly
21 sized line located in close proximity to where
22 MMTP may go, so that was looked at.

23 MR. VALDRON: Okay. When was that
24 line?

25 MS. COUGHLIN: It was '79-ish.

1 MR. VALDRON: Okay.

2 Has Hydro looked at the experience of
3 transmission line developments in adjacent
4 provinces or states in recent years?

5 MS. COUGHLIN: It depends on the
6 topic. So our reference sections draw upon
7 current literature from peer-reviewed journals
8 that can span all sorts of jurisdictions.

9 MR. VALDRON: Okay. Well, I have
10 given up quite a few questions, but I believe it's
11 12:28, so I will close now and stay in the
12 Commissioner's good graces.

13 THE CHAIRMAN: Thank you very much.

14 Any announcements or filings or
15 anything before we break? All right. So we will
16 break and be back here at 1:30, thank you.

17 (Proceedings recessed at 12:29 p.m.)

18

19 THE CHAIRMAN: All right. Welcome
20 back, everyone, and we are going to resume the
21 questioning in to the biophysical panel, and we
22 will continue with the Consumers' Association of
23 Canada, represented by Ms. Pastora Sala.
24 And just before we start, are there any
25 housekeeping matters that we need to deal with?

1 No?

2 Okay. All yours.

3 MS. PASTORA SALA: Thank you,
4 Mr. Chair. Good afternoon, members of the panel,
5 and good afternoon, members of the biophysical
6 panel as well.

7 My questions this afternoon will
8 primarily be for Mr. David Block; however, I do
9 have a couple of questions for Ms. Coughlin before
10 getting to Mr. Block.

11 So, Ms. Coughlin, at page 9 of the
12 introductory PowerPoint, you made reference to
13 everything being connected, as well as the value
14 of fish and wildlife habitat, in speaking about
15 some things that you heard during the key
16 engagement feedback. Correct?

17 MS. COUGHLIN: Correct.

18 MS. PASTORA SALA: And later in your
19 presentation you referred to Manitoba Hydro's
20 recognition of the fundamental role of fish, and
21 its economic importance. Correct?

22 MS. COUGHLIN: Yes. That's why it was
23 selected as a VC.

24 MS. PASTORA SALA: In addition to the
25 information you provided relating to the key

1 engagement feedback in the First Nations and Metis
2 engagement process, would Manitoba Hydro have also
3 heard that all living beings are sacred and have a
4 spirit?

5 MS. COUGHLIN: I think, along those
6 lines, in different words, yes.

7 MS. PASTORA SALA: And that all living
8 beings are relatives?

9 MS. COUGHLIN: Yes.

10 MS. PASTORA SALA: And that species
11 such as fish are medicine and sustenance?

12 MS. COUGHLIN: Yes.

13 MS. PASTORA SALA: And you would agree
14 that these understandings form part of indigenous
15 world views and indigenous laws?

16 MS. COUGHLIN: Yes.

17 MS. PASTORA SALA: You will recall,
18 Ms. Coughlin that when we last spoke, I asked you
19 to point me to an express written policy or
20 practice requiring Manitoba Hydro to take into
21 account indigenous world views and legal orders?

22 MS. COUGHLIN: Yes, I believe we had
23 it as an undertaking.

24 MS. PASTORA SALA: And you will recall
25 that you answered to my question, and you pointed

1 me to the Cultural Heritage and Resource
2 Protection Plan. Correct?

3 MS. COUGHLIN: Correct.

4 MS. PASTORA SALA: And since we last
5 spoke, Manitoba Hydro has now made this plan
6 publicly available on your website, so I would
7 like to thank you for that.

8 Earlier, in a response to
9 Mr. Beddome's question, Dr. Gabhauer indicated
10 that he was not sure what Mr. Beddome meant by
11 "indigenous world views". Correct?

12 MS. COUGHLIN: I think that might be
13 taken out of context.

14 MS. PASTORA SALA: Dr. Gabhauer, was
15 that not what you indicated?.

16 MR. GAHBAUER: It is what I said, but
17 I didn't mean to state that I didn't understand
18 "indigenous world views"; it was the context in
19 which he stated it that I required clarification.

20 MS. PASTORA SALA: And just a few
21 moments ago, we received a response to Undertaking
22 Number 5, and the response refers to an article in
23 Energy in which Mr. Kelvin Shepherd, president and
24 CEO of Manitoba Hydro, identifies "the respect and
25 support for indigenous peoples in all aspects of

1 our business as one of the four priority areas."

2 Is that correct?

3 MS. COUGHLIN: I believe that's
4 correct. I don't have what you have in front of
5 you, but it is one of our priorities, yes.

6 MS. PASTORA SALA: You have not seen
7 the response to the undertaking?

8 MS. COUGHLIN: I don't have it in
9 front of me. Sorry.

10 MS. PASTORA SALA: Would you like me
11 to share a copy of the response to the undertaking
12 with you?

13 MS. COUGHLIN: Yeah, that would be
14 great.

15 MS. PASTORA SALA: Do you see what I'm
16 referring to, Ms. Coughlin?

17 MS. COUGHLIN: Yes, I do.

18 MS. PASTORA SALA: So the undertaking
19 refers to the Cultural and Heritage Resources
20 Protection Plan as an express written policy of
21 practice requiring Manitoba Hydro to take into
22 account indigenous world views. Do you see that?

23 MS. COUGHLIN: I do.

24 MS. PASTORA SALA: I'm going to take
25 you to page 1-3 of the Cultural and Heritage

1 Resources Protection Plan.

2 MS. COUGHLIN: Okay. I don't have it
3 in front of me, but please go ahead and read, and
4 I will follow along.

5 MS. PASTORA SALA: For the purpose of
6 the panel, I did share the list of resources prior
7 to my questioning this morning, so that the Hydro
8 would be prepared.

9 MS. COUGHLIN: Did you share that
10 here?

11 MS. PASTORA SALA: Yes.

12 MS. MAYOR: Yes, we provided it to the
13 back row. I'm not sure why they are gathered back
14 there. We did provide it to them to gather
15 everything.

16 MS. PASTORA SALA: I will wait.

17 THE CHAIRMAN: This is Serge
18 Scrafield, the Chair.

19 Is it possible -- if I overheard
20 correctly, you are now going to get a copy; so is
21 it possible to move on to something and come back
22 to that? Or is that going to interrupt the line
23 of ... ?

24 MS. PASTORA SALA: I would like to
25 address this issue right away, but I can read it

1 for Ms. Coughlin, maybe, if that's okay.

2 MS. COUGHLIN: Sure, yeah.

3 MS. PASTORA SALA: Okay.

4 On page 1-3, the goal of the plan you
5 referred me to is stated. And it says: "The goal
6 is to describe key actions in the event of
7 discovery of cultural or heritage resources or
8 human remains."

9 Subject to check, do you believe
10 that's what it says?

11 MS. COUGHLIN: I will trust what you
12 are reading.

13 MS. PASTORA SALA: I am wondering, now
14 having had the opportunity to review the plan, I'm
15 wondering if you could please provide me a
16 specific reference in the document which
17 explicitly identifies the overall need to respect
18 indigenous world views in the MMTP.

19 MS. COUGHLIN: I think what I could do
20 is I could refer to the general sequence of
21 events. Because there might be uniqueness to
22 instances and circumstances that we come across,
23 we want to ensure that we have enough freedom to
24 talk to different groups about what we might do
25 collaboratively. So I don't think we've outlined

1 every instance of what might happen, but we've
2 outlined a general sequence of events when
3 situations are arrived upon.

4 MS. PASTORA SALA: Sorry,
5 Ms. Coughlin, I'm not asking you to identify your
6 plan with respect to the discovery of cultural or
7 heritage resources or human remains; I'm just
8 asking you to identify in the document a section
9 in the report which identifies the need to respect
10 indigenous world views within the MMTP, given this
11 is a document that you referred to me the other
12 day.

13 MS. COUGHLIN: Okay. So the
14 environmental assessment itself outlines the
15 principles, and one of those key principles is
16 that:

17 "The following principles guided
18 Manitoba Hydro's approach to First Nation and
19 Metis engagement for the project, and that
20 includes the diversity of First Nation and Metis
21 cultures and world views should be understood and
22 appreciated. Manitoba Hydro should work with
23 First Nations and Metis to better understand
24 perspectives and determine mutual approaches to
25 address concerns and build relationships."

1 I could continue, if you like.

2 MS. PASTORA SALA: I wonder if you
3 could explain to me what you think that means.

4 MS. COUGHLIN: I think it means we
5 have to be respectful, and we have to ask
6 questions when we don't know the answers. I think
7 it means that we have to be open-minded, and we
8 have to listen.

9 MS. PASTORA SALA: And just so I'm
10 clear, what you've just indicated is not
11 explicitly stated anywhere; that's just your
12 belief. Correct?

13 MS. COUGHLIN: That's correct.

14 MS. PASTORA SALA: And so I'm
15 wondering, just to get a little bit more specific,
16 if you could give me a specific example of how the
17 respect for indigenous world views and legal
18 orders was considered in the monitoring plan for
19 fish and fish habitat.

20 MS. COUGHLIN: A large reason why fish
21 and fish habitat was included as part of the
22 assessment is because of some of the concerns that
23 Peguis First Nation shared. When we first went to
24 the community, they talked to us about the
25 importance of water, and the connectivity of

1 water. And they talked about a women's group that
2 had discussed water.

3 And so we recognized that water was
4 important, and fish were important. And that's
5 discussed and described throughout the fish and
6 fish habitat chapter. Yeah.

7 MS. PASTORA SALA: You would agree
8 that there is no express value statement within
9 the EIS or the Cultural and Heritage Resources
10 Protection Plan which identifies the need to
11 respect for indigenous world views and legal
12 orders?

13 MS. COUGHLIN: Okay, so -- can I read
14 the third paragraph under "Project Description and
15 Setting":

16 "The area is also traditional
17 territory of First Nation and Metis
18 peoples. Contributions from First
19 Nations and Metis traditional
20 knowledge and land use and occupancy
21 study have identified areas along the
22 right-of-way of cultural and heritage
23 importance that will be incorporated
24 into the monitoring program. As such,
25 heritage resource monitoring will

1 include collaboration with interested
2 appropriate communities in conducting
3 ground-truthing investigations or
4 mitigation of known sites."

5 And I can add to that we are going to
6 be developing -- or we hope to develop a community
7 monitoring program with those interested. And
8 should concerns arise around fish or water health,
9 that would be something we would contemplate
10 including in the monitoring program.

11 MS. PASTORA SALA: And you would
12 agree, Ms. Coughlin, that in what you just read,
13 there is no express statement which identifies the
14 need to respect for indigenous world views and
15 legal orders?

16 MS. COUGHLIN: The document that we're
17 pulling from is a draft document. So we could add
18 that, if that's something the CAC is requesting
19 that we include explicitly in those words.

20 MS. PASTORA SALA: The other thing I
21 would like to come back to and ask you a question
22 about is you indicated that you hope to develop a
23 monitoring plan. A hope is not a guarantee.
24 Correct?

25 MS. COUGHLIN: It's correct. We are

1 still not sure whether or not communities want to
2 participate in such an endeavor.

3 MS. PASTORA SALA: Thank you,
4 Ms. Coughlin. I'm now going to move to questions
5 for Mr. Block.

6 Mr. Block, you are an environmental
7 specialist in the Licensing and Environmental
8 Assessment Department at Manitoba Hydro. Correct?

9 MR. BLOCK: Correct.

10 MS. PASTORA SALA: And you have worked
11 as an aquatic biologist in previous positions,
12 including for the Government of Manitoba and a
13 variety of consulting companies?

14 MR. BLOCK: Correct.

15 MS. PASTORA SALA: And you completed
16 your master's in science from the University of
17 Manitoba, and I believe your thesis was on
18 sturgeon? I'm not going to mention the entire
19 name of your thesis.

20 MR. BLOCK: It was long, but that's
21 correct.

22 MS. PASTORA SALA: Thank you.

23 Mr. Block, as indicated in the EIS and
24 referred to earlier by Ms. Coughlin -- I'm
25 specifically looking to page 8-1:

1 "Fish and fish habitat were selected
2 by Manitoba as a VC because of its
3 fundamental role in the functioning of
4 natural ecosystems, with fish as key
5 indicators of aquatic health, and its
6 economic and recreational health
7 importance to Canadians."

8 MR. BLOCK: That sounds correct.

9 MS. PASTORA SALA: And:

10 "Changes in the distribution of
11 occurrence of fish or fish habitat may
12 strongly affect ecosystems, functions,
13 and environmental cycles."

14 MR. BLOCK: That also sounds correct.

15 MS. PASTORA SALA: And as with other
16 VCs, fish and fish habitat was also part of the
17 information discussed in the public engagement
18 processes. Correct?

19 MR. BLOCK: Correct.

20 MS. PASTORA SALA: "Some of the issues
21 identified in the ATK and land use studies
22 relating to fish and fish habitat included, for
23 example, fears relating to the contamination of
24 fish with mercury." And that was by Roseau River
25 Anishinabe First Nation, at pages 8-6.

1 "And a decrease in spawning over the
2 last decade." And that was also by Roseau
3 Anishinabe First Nation. Would you agree?

4 And just for your information, I'm
5 reading directly from page 8-6.

6 MR. BLOCK: I see that. That is
7 correct.

8 MS. PASTORA SALA: Recognizing the
9 differences within the area, or areas, would you
10 be aware that those same concerns were also heard
11 by the Keeyask Cree Nations during the -- pardon
12 me.

13 Recognizing the differences in the
14 project areas, would you be aware that those same
15 concerns were expressed by the Keeyask Cree
16 Nations during the Keeyask hearing?

17 MR. BLOCK: I would.

18 MS. PASTORA SALA: Specifically, the
19 Keeyask CEC report, as a response to those
20 concerns, found that -- and I'm quoting: "Fears
21 of possible contamination might discourage
22 community members from consuming country foods,
23 including those not affected by mercury."

24 That's at page 109 of the Keeyask
25 report.

1 MR. BLOCK: Okay.

2 MS. PASTORA SALA: Would you be
3 familiar with that?

4 MR. BLOCK: Not specifically. But I
5 think that would make sense.

6 MS. PASTORA SALA: You would not be
7 familiar with the CEC Keeyask report
8 recommendations and comments relating to fish?

9 MR. BLOCK: I don't have it in front
10 of me. I am familiar with it, but I can't
11 guarantee that your quote is accurate. But I
12 trust that it is.

13 MS. PASTORA SALA: Thank you.

14 MS. COUGHLIN: Mercury contamination
15 in fish is associated with impoundments, so we are
16 doing of course a transmission line with this
17 project.

18 MS. PASTORA SALA: As I indicated in
19 the quote, the quote referred to also perceptions
20 and including those not affected by mercury,
21 Ms. Coughlin.

22 Going back to Mr. Block, would it be
23 correct, sir, to say that there are three
24 endangered fish species which are present in the
25 assessment area in the MMTP?

1 And what I'm going to do is I will
2 just tell you the ones I'm speaking of, and maybe
3 you can confirm: Bigmouth buffalo.

4 You are going to have to speak in the
5 mic.

6 MR. BLOCK: Okay.

7 MS. PASTORA SALA: Lake sturgeon.

8 MR. BLOCK: Okay.

9 MS. PASTORA SALA: Mapleleaf mussels.

10 MR. BLOCK: Okay.

11 MS. PASTORA SALA: Just so I'm clear,
12 sir, when you are saying "Okay", are you agreeing
13 with me?

14 MR. BLOCK: I agree that the Committee
15 on the Status of Endangered Wildlife in Canada has
16 those listed as endangered, and that there is the
17 potential that they are within the regional
18 assessment area.

19 MS. PASTORA SALA: In fact, those
20 three species that I mentioned, all three of them
21 not only have been recognized as endangered, and
22 of special concern by the Committee on Status of
23 Endangered Wildlife in Canada, so COSEWIC, but
24 also under the Species at Risk Act. Correct?

25 MR. BLOCK: What I have here is the

1 lake sturgeon has no status under SARA; the
2 bigmouth buffalo is special concern; and the
3 mapleleaf is endangered under the Species at Risk
4 Act.

5 MS. PASTORA SALA: Okay, that's fair.

6 At page 8-15, Manitoba Hydro indicates
7 that it considered the Practitioners Guide to the
8 Risk Management Framework as an useful assessment
9 tool. Correct?

10 MR. BLOCK: Correct.

11 MS. PASTORA SALA: I would like to
12 take you to the excerpt of the Practitioners Guide
13 that I have provided.

14 MR. BLOCK: I have that.

15 MS. PASTORA SALA: We are going to go
16 to page 7, and at page 7 it states:

17 "One of the initial steps to be
18 considered before the risk management
19 framework can be applied is that there
20 must be sufficient information to
21 understand the nature of the
22 development proposal in order to
23 determine whether the habitat
24 protection provisions of the Fisheries
25 Act apply. Identification of

1 information gaps early in the design
2 and planning stages helps to ensure
3 appropriate studies area conducted
4 that ultimately support a
5 well-informed decision."

6 Do you see that, Mr. Block?

7 MR. BLOCK: I do.

8 MS. PASTORA SALA: And now if we go to
9 pages 13 to 14 of the Practitioners Guide.

10 MR. BLOCK: Okay.

11 MS. PASTORA SALA: It refers to
12 uncertainty, and the importance of using the
13 precautionary principle in circumstances of
14 uncertainty. Do you see that?

15 MR. BLOCK: I do.

16 MS. PASTORA SALA: And in the face of
17 uncertainty, Manitoba Hydro has also indicated, on
18 more than one occasion over the course of the last
19 couple of days and weeks, that the precautionary
20 principle was used and has been applied. Agreed?

21 MR. BLOCK: Agreed.

22 MS. PASTORA SALA: And yesterday,
23 during the socioeconomic panel, we heard Dr. Leece
24 say that in cases of uncertainty, the
25 precautionary principle requires an overestimation

1 of risk. Would you agree with that statement,
2 Mr. Block?

3 MR. BLOCK: I would.

4 MS. PASTORA SALA: Now let's go to
5 page 18 of the report. At page 18, it states:

6 "Uncertainty with respect to
7 sensitivity of fish and fish habitat
8 is reduced through additional
9 information."

10 Do you see that?

11 MR. BLOCK: Yes.

12 MS. PASTORA SALA: And would you agree
13 that uncertainty with respect to sensitive fish
14 and fish habitat can be reduced through additional
15 information?

16 MR. BLOCK: Yes.

17 MS. PASTORA SALA: I would now like to
18 take you back to the EIS for MMTP, at page 4 --
19 pardon me -- 8-14.

20 MR. BLOCK: Okay.

21 MS. PASTORA SALA: Manitoba Hydro
22 states:

23 "Some uncertainties remain in this
24 assessment as a result of the
25 following."

1 I'm looking at the second bullet:
2 "Fish sampling was not conducted as
3 part of the field assessment, so fish
4 presence data was sourced from desktop
5 historical data."

6 Do you see that?

7 MR. BLOCK: I do.

8 MS. PASTORA SALA: And so just to
9 confirm, the field studies that are referred to in
10 chapter 8, for example, at page 8-13, and then
11 again at table 8-8, or the field surveys at page 9
12 of your PowerPoint, those all refer to field
13 assessments of watercourses. Correct?

14 MR. BLOCK: Correct.

15 MS. PASTORA SALA: And the purpose of
16 those studies were to -- and I'm quoting:

17 "Establish in water and riparian
18 environment conditions, and to conduct
19 water quality measures at each of
20 those selected water crossings."

21 Correct?

22 MR. BLOCK: Correct.

23 MS. PASTORA SALA: And again, those
24 field studies were not on fish or fish habitat
25 specifically. Correct? They were on water

1 crossings, watercourse crossings.

2 MR. BLOCK: Riparian assessment and
3 water quality is a direct sampling of fish
4 habitat. So I would disagree.

5 MS. PASTORA SALA: But not of fish.

6 MR. BLOCK: No fish. Correct.

7 MS. PASTORA SALA: And would you
8 agree, Mr. Block, that fish sampling generally has
9 an important role, particularly in the face of
10 uncertainty?

11 MR. BLOCK: That's a little too vague
12 for me to agree with.

13 MS. PASTORA SALA: Okay. Would you be
14 aware that for the Keeyask project, Manitoba Hydro
15 conducted fish sampling?

16 MR. BLOCK: Keeyask generation, or
17 Keeyask transmission?

18 MS. PASTORA SALA: Keeyask generation,
19 sir.

20 MR. BLOCK: I would assume they would
21 conduct fish sampling, yes.

22 MS. PASTORA SALA: Now turning to the
23 topic of endangered fish species -- and I'm going
24 to be focusing on mapleleaf mussels.

25 So in addition to be being recognized

1 as endangered by COSEWIC and protected under the
2 Species at Risk Act, you are aware that mapleleaf
3 mussels are also protected under the Endangered
4 Species and Ecosystems Act?

5 MR. BLOCK: Yes.

6 MS. PASTORA SALA: And mapleleaf
7 mussels are expected to occur within the regional
8 assessment area, or RAA, of the MMTP in
9 Assiniboine River, Red River, LaSalle River, Seine
10 River, Cook, Devil's Creek, Rat River, and Roseau
11 River?

12 That's directly from the EIS.

13 MR. BLOCK: Okay.

14 MS. PASTORA SALA: I would like to
15 address your attention to CAC IR 026.

16 MR. BLOCK: I have it here.

17 MS. PASTORA SALA: The first line
18 says:

19 "According to Hague (ph) 2012, mussels
20 are keystone species and ecosystem
21 engineers that have a large impact on
22 other organisms, and they provide
23 tangible benefits to humans as well.
24 Mussels serve several important
25 functions in aquatic ecosystems."

1 Do you see that, sir?

2 MR. BLOCK: I do.

3 MS. PASTORA SALA: Do you agree with
4 the characterization of mapleleaf mussels in this
5 statement?

6 MR. BLOCK: I do.

7 MS. PASTORA SALA: At page 8-48 of the
8 EIS, it states:

9 "Habitat changes may have greater
10 effects on endangered fish species
11 because of specialized habitat or
12 biological requirements for species
13 that have narrow tolerance to habitat
14 alterations."

15 Do you see that?

16 MR. BLOCK: I do.

17 MS. PASTORA SALA: Similarly, at
18 page 8-63, it states:

19 "Changes in fish mortality or health
20 might have a greater effect on SOCC
21 than on common species, because those
22 populations already approaching
23 critical levels of sustainability as a
24 result of threat to their
25 environment."

1 Do you see that?

2 MR. BLOCK: Yes.

3 MS. PASTORA SALA: So some of the
4 threats to mapleleaf mussels include, according to
5 the EIS, habitat degradation and loss?

6 MR. BLOCK: Yes.

7 MS. PASTORA SALA: Invasion of exotic
8 species, such as zebra mussels?

9 THE WITNESS: Yes.

10 MS. PASTORA SALA: Industrial and
11 municipal pollution?

12 MR. BLOCK: Yes.

13 MS. PASTORA SALA: And although
14 identification is identified in the EIS at page
15 8-64, a recovery strategy or action plan for
16 mapleleaf mussels has not been identified by
17 Manitoba Hydro. Correct?

18 MR. BLOCK: That's a specific
19 reference to the Species at Risk Act, which
20 requires the Federal Government to prepare
21 recovery strategies for these species.

22 MS. PASTORA SALA: So the NEB IR 1.5
23 specifically states:

24 "Manitoba Hydro is not prepared or has
25 not identified a recovery strategy or

1 action plan for mapleleaf mussels at
2 this time."

3 MR. BLOCK: I think the previous
4 answer still stands. It's not our responsibility,
5 so we have not.

6 MS. PASTORA SALA: Right. And so at
7 CAC IR 026, you indicated the same thing, and so
8 that's still your position; thank you.

9 MR. BLOCK: That is correct.

10 MS. PASTORA SALA: So to reiterate,
11 Manitoba Hydro's conclusions relating to fish and
12 fish habitat is that there are no serious harm
13 anticipated, and no residual effects. Agreed?

14 MR. BLOCK: Agreed.

15 MS. PASTORA SALA: And with respect to
16 monitoring and followup activities for fish and
17 fish habitat are described in Table 4-2 of page 17
18 of the updated environmental monitoring plan.
19 Agreed?

20 MR. BLOCK: Yes.

21 MS. PASTORA SALA: Do you have that
22 page in front of you?

23 MR. BLOCK: I do not.

24 MS. COUGHLIN: Do you want to just
25 read it?

1 MS. PASTORA SALA: Sure. I was trying
2 to avoid all this back-and-forth by giving you
3 guys the references, but it didn't help. So, I'm
4 sorry, I am going to read it.

5 So on page 17, there is a subheading,
6 under "Fish and Fish Habitat", and -- okay. All
7 right. So if you look on page 17, under the
8 monitoring plans, it says "Fish and Fish Habitat"
9 as the heading. Do you see that?

10 MR. BLOCK: Yes.

11 MS. PASTORA SALA: And then the
12 subheading says "Watercourse Crossing". Correct?

13 MR. BLOCK: Correct.

14 MS. PASTORA SALA: And then the key
15 monitoring activities, which are identified at
16 4-2, relate to stream crossing assessments.
17 Correct?

18 MR. BLOCK: Correct.

19 MS. PASTORA SALA: Would it be
20 accurate to say that there are no key monitoring
21 activities in Table 4-2 other than stream crossing
22 assessments, for postconstruction?

23 MR. BLOCK: Correct.

24 MS. PASTORA SALA: So there are no key
25 monitoring activities specifically related to fish

1 mortality?

2 MR. BLOCK: Correct.

3 MS. PASTORA SALA: What about fish
4 habitat?

5 MR. BLOCK: The stream crossing
6 assessments are directed to monitor fish habitat,
7 being the riparian area, which is an important
8 aspect of fish habitat and the one place where the
9 project interacts with fish habitat.

10 MS. PASTORA SALA: Are there any other
11 key monitoring activities relating to fish or fish
12 habitat that are not listed in Table 4-2 of the
13 updated EPP?

14 MR. BLOCK: There are. This refers
15 to -- this refers more to monitoring, which is
16 done on an annual basis. There will also be the
17 environmental inspections, which are done
18 throughout construction, which monitor similar
19 features but are done on a more regular basis, but
20 monitor the same things, such as riparian buffers,
21 and ensure that the mitigation methods are
22 properly applied and are working effectively.

23 MS. PASTORA SALA: Right, sir. I'm
24 referring to postconstruction monitoring. Are
25 there any that are not identified in this table?

1 MR. BLOCK: Not that I'm familiar
2 with.

3 MS. PASTORA SALA: So there are no
4 specific monitoring activities relating to any of
5 the endangered fish species?

6 THE WITNESS: Correct.

7 MS. PASTORA SALA: Bigmouth buffalo?

8 MR. BLOCK: Correct.

9 MS. PASTORA SALA: Lake sturgeon?

10 MR. BLOCK: Correct.

11 MS. PASTORA SALA: Mapleleaf mussel?

12 MR. BLOCK: Correct.

13 MS. PASTORA SALA: Those are my
14 questions. Thank you.

15 THE CHAIRMAN: Thank you for those
16 questions, and once again, for the answers.

17 Normally the Southeast Stakeholders
18 would be up next; it is my understanding that
19 you've switched with Dakota Plains Wahpeton. Is
20 that accurate?

21 So I take it, Mr. Mills, you have
22 switched positions, then, with the Southeast
23 Stakeholders?

24 MR. MILLS: Yes, we have. That was
25 blessed by your secretary before lunch.

1 THE CHAIRMAN: Yep. That's why I was
2 just checking. Thank you.

3 MR. MILLS: Thank you.

4 So many questions, so little time.
5 Mr. Amundson?

6 MR. AMUNDSON: Amundson.

7 MR. MILLS: Amundson.

8 Sir, I'd like to refer to the
9 Aboriginal traditional knowledge study that Golder
10 Associates prepared for Dakota Plains for this
11 project.

12 MR. AMUNDSON: Okay.

13 MR. MILLS: Do you have there?

14 I would just like to scroll through
15 it; there are some points I would like to just
16 confirm that you are in agreement with. If we
17 could go to 1.0, introduction.

18 Golder concluded and stated that the
19 project is located within the traditional lands of
20 the Dakota Plains Wahpeton nation, and therefore
21 is of interest and concern to the community.

22 Would you agree with that statement?

23 MR. AMUNDSON: Agreed.

24 MR. MILLS: Thank you.

25 Further down, on page 9, there is a

1 map that is embedded within that report. It is
2 referred to as the -- reproduced from the British
3 Parliamentary Select Committee Hearings of the
4 Hudson's Bay Company of 1857, and it indicates and
5 describes Dakota traditional territory.

6 Have you reviewed that map, sir?

7 MR. AMUNDSON: Yes, I have.

8 MR. MILLS: Do you have any questions
9 or concerns with how it describes the Dakota
10 traditional territory?

11 MR. AMUNDSON: No, I don't.

12 MR. MILLS: Thank you.

13 Page ten, the statement is made:

14 "In addition to oral history,
15 archeological evidence indicates that
16 the Dakota occupied a large region,
17 including, amongst others, this area
18 of eastern Manitoba prior to 1200 AD."

19 Would you agree with that statement?

20 Or do you have any reason to dispute it?

21 MR. AMUNDSON: As an archeologist, we
22 do study linking ethnicity with pre-contact
23 archeological sites and artifacts, but there is
24 strong evidence that we can do that, so I have no
25 reason to dispute your statement.

1 MR. MILLS: Thank you.

2 If we go to page 17, under "Summary",
3 the opening line reads:

4 "Dakota Plains Wahpeton Nation members
5 have been practising TLU activities in
6 the project area since Dakota people
7 first occupied a large region prior to
8 1200 AD."

9 Do you have any reason to dispute that
10 statement?

11 MR. AMUNDSON: No, I don't.

12 MR. MILLS: It goes on to say:

13 Despite many changes described -- and I
14 paraphrased there -- DPWN community members still
15 practice hunting, fishing, plant harvesting,
16 camping, and cultural activities.

17 Do you have any reason --

18 "Where fragments of forest and natural
19 habitat remain."

20 Would you agree, or do you have any
21 concern with that statement?

22 MR. AMUNDSON: I have no reason to
23 disagree with that.

24 MR. MILLS: Golder also found that:

25 "Wildlife hunting, camping, and

1 medicinal plant and berry harvesting
2 by DPWN members occurs today over a
3 wide area, including an area around
4 the community of Piney."

5 Do you have any reason to challenge or
6 dispute that statement?

7 MR. AMUNDSON: Could you point out the
8 place that you ... ?

9 MR. MILLS: I'm sorry, I'm moving too
10 quickly. Under "Summary", it is the first half of
11 the second-last paragraph.

12 MR. AMUNDSON: In Section 6,
13 "Summary"?

14 MR. MILLS: Yes.

15 MS. COUGHLIN: The -- it starts with
16 "There was no culturally important sites
17 identified near the project." Is that --

18 MR. MILLS: I'm sorry. I apologize.
19 Pardon me. The start of the second paragraph,
20 under 6.0, "Summary":

21 "Wildlife hunting, camping, and
22 traditional plant and berry harvesting
23 by DPWN members occurs over a wide
24 area, and also in an area around the
25 community of Piney."

1 Did your research cause you to dispute
2 that statement?

3 MR. AMUNDSON: There is no reason to
4 dispute that statement. We accept the information
5 that we receive from ATK studies as being
6 accurate.

7 MR. MILLS: Thank you.

8 I'm sorry, I'm -- I've a great memory;
9 it is just short. Nick --

10 MR. DE CARLO: Yes.

11 MR. MILLS: Nick, a couple of
12 questions.

13 Dakota Plains is of mixed emotions
14 regarding the routing, and we see issues -- we see
15 several different arguments, and we would like to
16 talk about some concerns, and maybe you could help
17 us to better understand. We certainly appreciated
18 your presentation.

19 Our research indicates that there have
20 been at least three very significant forest fires
21 in and around this region, primarily to the east
22 of it. We understand that there was a significant
23 forest fire in 1953 that in fact caused the
24 founding of the Pineland Tree Nursery to assist in
25 reforesting. We believe there was another

1 substantive fire in 2008, and we believe there was
2 another substantive fire in 2011.

3 We look at forest fires, and we have
4 overlapping concerns as to cause and effect and
5 what the routing might be. In your review of the
6 plant growth along this routing, approximately how
7 much peat would be -- would be -- I apologize.

8 How much peat would be encountered?

9 MR. DE CARLO: Peat is encountered in
10 wetlands, specifically peat-accumulating bogs and
11 fens. I can go to a specific table in the EIS, if
12 you would like, where we can look at the areas
13 along the -- different study areas.

14 MR. MILLS: We go to the Natural
15 Resources Canada, and we ask them about peat, and
16 they give us some good writing on peatland
17 fires -- which will dovetail into carbon
18 emissions, we will talk about shortly -- and peat
19 fire emissions and the risk of peat fires.

20 We also saw, in the technical advisory
21 review -- and I'm not sure it was answered but --
22 or a thought or a comment expressed by one of the
23 local RM managers that moving the right-of-way
24 into the forested area to the east of the
25 preferred route might create a fire buffer.

1 And in your experience, first of all,
2 is the -- appreciating that there may be a
3 slash-burning technique used through peatlands,
4 would that be a concern to you, with regards to
5 smoldering or simmering or adding risk to forest
6 fire in the area?

7 MR. DE CARLO: Well, I would say the
8 effectiveness of buffers is really tied to the
9 different intensities of forest fire. And as we
10 saw recently with Fort McMurray, for example,
11 forest fires can jump buffers.

12 And I can't speak specifically to the
13 monitoring plan for the burning practices that
14 will be conducted, but I would assume they will be
15 done in a safe manner and will be monitored.

16 MR. MILLS: We are fortunate we
17 understand that for other reasons, the
18 right-of-way will be substantive.

19 In your experience in forestry work,
20 do you have any knowledge as to an appropriate
21 width of a buffer in a forest to assist or prevent
22 fire from jumping it?

23 MS. COUGHLIN: Sorry, I want to see
24 how relevant this is to Nick's chapter. I'm just
25 wondering if this is out of scope.

1 MR. MILLS: We think forest fire and
2 vegetation are certainly linked. And we think
3 forest fire in Canada today is of significant
4 concern.

5 MS. COUGHLIN: Did you just want to
6 maybe link it to your project concerns? Or -- I'm
7 just struggling a little bit with ...

8 MR. MILLS: Well, let me ask the
9 questions, and if they don't work, you can -- I'll
10 move on.

11 So we have two concerns, Nick. One is
12 with the amount of peat that will be encountered
13 on the right-of-way, and with the slash-burning
14 technique that appears as if it may be used. Is
15 there any concern or risk that peatland fires
16 might be -- might be of a significant -- might be
17 something we need to be worried about?

18 MR. DE CARLO: Not with the proposed
19 mitigation, including the timing of construction.
20 As I had mentioned earlier, peat primarily occurs
21 in wetland, and they are wet, for the most period.
22 So you are not going to have a great likelihood of
23 spreading fires there in, say, early spring, or
24 particularly winter, when construction is planned
25 in those areas.

1 MR. MILLS: I appreciate your
2 comments. The opinion of Natural Resources Canada
3 is that as warming temperatures will lead to more
4 droughts, the risk of -- there is a serious risk
5 that will leave peat more vulnerable to burning.
6 That's just their comment.

7 MR. DE CARLO: And again, so we've
8 taken into consideration changing scenarios with
9 climate change, and burning would not be planned
10 when these areas are in drought condition.

11 MR. MILLS: Okay. Thank you.

12 Nick, in your survey of the route, you
13 went into quite some detail, and I certainly
14 respected that. Did you attempt to quantify the
15 amount of biomass that will need to be harvested
16 on the 500-plus hectares of this route that we
17 understand would need to be devegetated?

18 MR. DE CARLO: Not for the purposes of
19 the vegetation and wildlands assessment, no.

20 MS. COUGHLIN: I believe we have an IR
21 on that.

22 MR. MILLS: Maybe you could just email
23 me that. Thank you.

24 So, Nick, you guys were boots on the
25 ground; you reviewed this route and walked it, or

1 traveled through it?

2 MR. DE CARLO: I've been on site, but
3 I did not conduct the field surveys personally.

4 MR. MILLS: Who did?

5 MR. DE CARLO: Others that -- in our
6 vegetation group, like I indicated before,
7 botanists.

8 MR. MILLS: Was it Stantec team, or
9 Hydro team?

10 MR. DE CARLO: It was Stantec team.

11 MR. MILLS: Great. As an aside,
12 there's rumours that the woods around Woodbridge
13 are haunted, and I was wondering if your crew had
14 stumbled upon the ghost lights of Woodbridge,
15 but --

16 MR. DE CARLO: Not that I'm aware of.

17 MR. MILLS: They might have mentioned
18 it.

19 We went down the path of herbicides
20 and traditional plants and medicines on
21 Bipole III, and I got quite the education. We
22 learned that there were 28 -- in the C1 section of
23 Bipole III, we were educated to 28 traditional
24 harvest sources. And I was wondering, how many --
25 I believe your number was larger than that, was it

1 not?

2 MR. DE CARLO: So I didn't identify
3 individual collection areas in my presentation.
4 From the information received under direct --
5 self-directed studies, the majority of the
6 regional assessment area was characterized as
7 being used for traditional plant use collection.

8 MR. MILLS: I see. Of those
9 traditional plant uses, are any of them, in your
10 opinion, resilient to the herbicides that Manitoba
11 Hydro uses?

12 MR. DE CARLO: Um --

13 MR. MILLS: Or would it be safe to say
14 that the herbicides that Manitoba Hydro uses
15 would, in all likelihood, negatively affect
16 all 28?

17 MR. DE CARLO: So I would say that we
18 took a precautionary approach, and anywhere that
19 herbicides are planned to be used, or would be
20 used, could cause an effect to native plants,
21 including plants identified for traditional use.

22 MS. COUGHLIN: And I just would add to
23 Nick's answer, where we indicated that if there
24 are gathering areas that have been identified by
25 different communities, we have created

1 environmentally sensitive site, and different
2 measures could be applied in those areas.

3 MR. MILLS: Great. If Dakota Plains
4 was to indicate to you that the entire route was
5 environmentally sensitive to them, would that be
6 sufficient to prevent herbicide use on the route?

7 MR. DE CARLO: No. As I indicated
8 earlier, there are certain --

9 MR. MILLS: Come on.

10 MR. DE CARLO: -- certain
11 circumstances where applying herbicides is the
12 best approach, because if left unchecked, the
13 outcome could be much worse than the negative
14 effects from using herbicides.

15 MR. MILLS: Thank you. I am
16 listening; I'm trying to --

17 MS. COUGHLIN: The IR I was referring
18 to before is DPW IR 19.

19 MR. MILLS: Thank you.

20 David Block. We understand -- or
21 please confirm for me, how many waterways are we
22 crossing?

23 MR. BLOCK: Seventy-five.

24 MR. MILLS: Thank you.

25 We understood from construction

1 technique that something called an ice bridge is
2 Manitoba Hydro's preferred method of crossing a
3 waterway. They freeze it up and use it,
4 literally, as a mini winter road. Is that your
5 understanding?

6 MR. BLOCK: My understanding is that
7 existing access is much preferred over any
8 temporary or any access that we need to create
9 ourselves. So I would disagree with that.

10 MR. MILLS: So no ice bridges will be
11 employed on the route?

12 MR. BLOCK: I think the -- I'm not
13 sure if the access management plan will be
14 covered, but from my understanding, due to the
15 availability of access, that we should not have to
16 create ice bridges for construction.

17 MR. MILLS: Okay. Those are my
18 questions for that.

19 I would like to speak to greenhouse
20 gas. Who would like to answer these questions?

21 MS. COUGHLIN: Mike Shaw and I can
22 answer those questions, depending on their nature.

23 MR. MILLS: Okay.

24 Mike?

25 MR. SHAW: Yes. Hello.

1 MR. MILLS: Okay, great. Good to meet
2 you.

3 Mike, we've spent a lot of time
4 reviewing the greenhouse gas life cycle assessment
5 for this project, as prepared by the Pembina
6 Institute. We have asked the Pembina Institute on
7 four occasions directly, and Manitoba Hydro on at
8 least three occasions, to provide us with the CVs
9 of Binnu Jeyakumar and Ryan Kilpatrick, and they
10 haven't been forthcoming. So you are here to
11 answer questions on their behalf, I take it?

12 MR. SHAW: Yes, I am here on their
13 behalf.

14 MR. MILLS: Okay.

15 We see from your CV you are a P.Eng
16 registered in Manitoba?

17 MR. SHAW: Yes.

18 MR. MILLS: Are you a scientist?

19 MR. SHAW: I'm an applied scientist.

20 MR. MILLS: Okay. That's good.

21 Are you CSA certified to do greenhouse
22 gas life cycle assessments?

23 MR. SHAW: There is no CSA
24 certification for life cycle assessments.

25 MR. MILLS: I beg to differ.

1 MR. SHAW: Sorry, so there are CSA
2 certifications for GHG inventory quantification --

3 MR. MILLS: Yes.

4 MR. SHAW: -- as well as GHG
5 verifiers.

6 MR. MILLS: Yes.

7 MR. SHAW: But they're not life cycle
8 assessment.

9 MR. MILLS: Okay. Are you either a
10 quantifier or a verifier?

11 MR. SHAW: I am a quantifier, but I
12 don't have CSA certification.

13 MR. MILLS: Okay. Binnu Jeyakumar and
14 Ryan Kilpatrick, they are the authors of this
15 report. Correct?

16 MR. SHAW: That's correct.

17 MR. MILLS: Have you ever met them?

18 MR. SHAW: I have not met them in
19 person.

20 MR. MILLS: Okay. Do you know
21 anything about them? We've spent a considerable
22 amount of time trying to understand who wrote this
23 report, so help me out. Do you know if either of
24 them are CSA greenhouse gas quantifiers?

25 MR. SHAW: Do you mean if they have

1 the certification from CSA?

2 MR. MILLS: Yes.

3 MR. SHAW: I know they do not.

4 MR. MILLS: Okay. Do you know if
5 Binnu is an engineer?

6 MR. SHAW: Yes, I believe she is.

7 MR. MILLS: Okay. Do you know if she
8 is licensed to practice in the Province of
9 Manitoba?

10 MR. SHAW: I would doubt she is, but I
11 would have to check it. You can go in the
12 Internet and look up at our association's website
13 to see who is certified in Manitoba.

14 MR. MILLS: Yes, we know that.

15 The information that we can find
16 with -- regarding Binnu is that her expertise
17 seems to be in defusing land mines, and she does
18 occasionally offer cave tours in around Canmore.
19 With your understanding of this work, are you
20 confident in her report?

21 MR. SHAW: Yes, I was confident in her
22 report.

23 MR. MILLS: Okay.

24 Ryan Kilpatrick: We've tried to find
25 him. We see that he wrote the Bipole report, and

1 Binnu wasn't involved. Was the Bipole report
2 before your time?

3 MR. SHAW: Yes, it was somewhat before
4 my time.

5 MR. MILLS: Okay. The only Ryan
6 Kilpatrick that we can find holds a MA in
7 diplomacy. Do you know if that's the same Ryan
8 Kilpatrick who wrote this report?

9 MR. SHAW: No.

10 MR. MILLS: You don't know much about
11 him either?

12 MR. SHAW: I would have to look it up.
13 I mean, they do all usually have descriptions on
14 Pembina's website.

15 MR. MILLS: Yeah. They are lean.

16 I've been asked to move along, so ...

17 We find -- we have some micro and
18 macro concerns, but why don't we go to the big one
19 first.

20 You understand that we are here
21 because this is a Class 3 licence application?

22 MS. COUGHLIN: I understand you are
23 here to represent Dakota Plains Wahpeton.

24 MR. MILLS: The "we" I was using, the
25 big "we".

1 Well, I can assure you, we are here
2 because this is a Class 3 licence application that
3 requires a Clean Environment Commission review if
4 the Minister chooses, and apparently she has.

5 Within the Environment Act -- I'm
6 sorry, is it Michael?

7 MR. SHAW: Mike or Michael is fine.

8 MR. MILLS: I'm sorry.

9 Michael, within the Environment Act,
10 are you familiar with the greenhouse gas language
11 within the act?

12 MR. SHAW: Are you referring to
13 Section 12.0.2?

14 MR. MILLS: Yes.

15 MR. SHAW: Yes, then. I am.

16 MR. MILLS: What is your understanding
17 of it?

18 MR. SHAW: Well, I'll read it for you,
19 if you'd like.

20 MR. MILLS: Yeah, I would.

21 MR. SHAW: "When considering a
22 proposal, the Director or Minister must take into
23 account, in addition to other potential
24 environmental impacts of the proposed development,
25 the amount of greenhouse gases to be generated by

1 the proposed development and the energy efficiency
2 of the proposed development."

3 What I take from that is the Minister
4 would like to know the amount of greenhouse gases
5 being produced by the proposed development.

6 MR. MILLS: Okay. Great. We agree on
7 something.

8 Can you go to the executive summary of
9 this greenhouse gas report?

10 MR. SHAW: Yep.

11 MR. MILLS: I'm reading page 1. There
12 is a pie chart. There is a paragraph above that.

13 How much greenhouse gas is the MMTP
14 estimated to result in?

15 MR. SHAW: The estimate was that --
16 sort of the non-generation emissions from the
17 project --

18 MR. MILLS: Yes.

19 MR. SHAW: -- as a result of
20 construction, operation, maintenance,
21 decommissioning, would be approximately
22 171,000 tonnes.

23 MR. MILLS: Tonnes of what?

24 MR. SHAW: CO2 equivalent.

25 MR. MILLS: Okay.

1 Now, let's go back to the Environment
2 Act. And I suggest to you that you have a
3 problem. The Environment Act describes greenhouse
4 gas as -- certainly the CO2 that this report
5 measures, but it also describes it as methane,
6 nitrous oxide, hydrofluorocarbons,
7 perfluorocarbons, sulphur hexafluorides, and any
8 other gas proscribed by the regulation.

9 It seems to me that this greenhouse
10 gas report has concluded only one of the seven
11 gases that the Act includes. Would you agree with
12 me?

13 MR. SHAW: No, the greenhouse gas
14 assessment considered all of the greenhouse gases.

15 MR. MILLS: It doesn't say that, sir,
16 with respect. It says it resulted in 171,081
17 tonnes of CO2.

18 MR. SHAW: Yes. CO2 equivalent is
19 what we use to aggregate all of the greenhouse
20 gases into one metric. What we used for this
21 assessment was the 100-year global warming
22 potential values for the various greenhouse gases.
23 For example, for methane, we used a 25-year global
24 warming potential value. So one tonne of methane
25 would be equivalent to 25 tonnes of

1 CO2 equivalent.

2 MR. MILLS: We are concerned about the
3 ability of the Minister to rely upon the figures
4 arrived at in this report. Page 15 lists key
5 assumptions; page 17 lists limitations of the
6 study.

7 The report includes a significant
8 value on the direct generation effects of line
9 losses. We just an hour ago received an answer to
10 our query with regards to line losses. Do you
11 know if that information had been provided to the
12 Pembina Institute in 2015, I believe, when they
13 arrived at their line losses calculation?

14 MR. SHAW: Sorry, what information are
15 you referring to?

16 MR. MILLS: Ms. Mayor provided us with
17 an answer to our query with regards to line loss.
18 We finally got an answer to line loss just a few
19 minutes ago, and I'm wondering if you know if the
20 Pembina Institute had that same information when
21 they based 57 per cent of the direct generation
22 effects line losses amount in this report.

23 I'd suggest to you, sir, that they
24 couldn't have, and that what is presented as a
25 definitive in the report doesn't correspond with

1 the information we now have. Would you agree with
2 me?

3 MR. SHAW: So in terms of the
4 information here, this is referring to sort of
5 line loss on a megawatt level. What is important
6 for the life cycle assessment is line loss on a
7 gigawatt-hour level. So not capacity, but energy,
8 over the 50 years of the project.

9 So what we did for this assessment is
10 we took both a case that included the MMTP, as
11 well as baseline cases without it, and looked at
12 the sort of incremental increase in transmission,
13 and we then correspondingly calculated what the
14 resulting transmission losses would be, related to
15 that.

16 So sort of apples and oranges.

17 MR. MILLS: Do you know what
18 information the Pembina Institute had when they
19 arrived at 229,550, 57 per cent line losses?

20 MR. SHAW: Yes, that was information I
21 provided.

22 MR. MILLS: And was that information
23 similar to the information that Ms. Mayor just
24 provided to us by -- recently?

25 MR. SHAW: The information -- I don't

1 think it discusses lifetime actual transmission
2 levels, with Ms. Mayor's information.

3 MR. MILLS: So her line loss is
4 different than your line loss?

5 MR. SHAW: It is a different -- so we
6 are looking at the amount of energy being
7 transmitted over the line; we are not looking at
8 capacity, and the different sort of line loss
9 percentages at different capacity levels.

10 MR. MILLS: So --

11 MR. SHAW: Any information that
12 Ms. Mayor provided, it sort of indicates what our
13 expected line loss on a line would be at different
14 loadings. What we looked at is sort of over the
15 life of the project, and average levels of
16 transmission, what would be the line loss related
17 to the amount of -- sort of energy transmitted in
18 gigawatt-hours.

19 MR. MILLS: Okay.

20 Have you reviewed the key assumptions
21 that the Pembina Institute used on this project in
22 arriving at their greenhouse gas assessment?

23 MR. SHAW: Yes, I have reviewed them.

24 MR. MILLS: We appreciate that the
25 project hasn't started. We understand nothing has

1 been purchased. We in fact understand that
2 tenders probably haven't been even issued for
3 construction materials. As we review the key
4 assumptions, we find significant -- we find
5 assumptions that are significant.

6 In your knowledgeable opinion, would
7 it surprise you if the final greenhouse gas
8 emissions in this project varied by as much as
9 50 per cent of what the Pembina Institute projects
10 they will be?

11 MR. SHAW: That would be surprising.

12 MR. MILLS: I see. Well, then, help
13 me to understand. We -- we are simple minds; we
14 are neither engineers nor scientists. We just
15 look at numbers and try and make sense out of
16 them.

17 We look at the Bipole III greenhouse
18 gas report -- albeit before your time, and I
19 respect that.

20 We see a more complex solution in
21 Bipole. We see more land use change; we see more
22 construction equipment, due to the remoteness and
23 the difficulties of far-northern work. We compare
24 that against MMTP. We read in Pembina Institute's
25 analysis many, many, many low values, with

1 language like "adjacent to Winnipeg", "no need for
2 travel", et cetera.

3 And then we do some simple arithmetic,
4 and we take the 923,000 tonnes of CO equivalent
5 which the Pembina Institute indicated Bipole III
6 would generate, and we divide that simply by the
7 length of the line. And then we do the same
8 simple arithmetic on the Manitoba-Minnesota
9 project, and we find a variance of 25 per cent in
10 what we think is the wrong direction.

11 The Pembina Institute tells us that
12 the greenhouse gas contribution, as a result of
13 construction on the much simpler, much
14 easier-accessed, less remote, less land change
15 route of the MMTP, will create -- contribute
16 25 per cent more greenhouse gas.

17 We are wondering if one of the two
18 reports is inaccurate, or if there is any
19 plausible reason why MMTP would contribute so much
20 more greenhouse gas in a simpler pro rata
21 solution. Do you have any thoughts on that?

22 MR. SHAW: First off, where do you see
23 the "no need to travel" assumption in the
24 document?

25 MR. MILLS: Oh, it is throughout

1 the -- if you go to the key assumptions section --
2 it is -- it's laced throughout.

3 It would take me some time to find,
4 but let me change to another question. Do you
5 have the appendices for the greenhouse gas
6 analysis in front of you?

7 MR. SHAW: I do.

8 MR. MILLS: We -- I guess, to cut to
9 the chase, and get to the end, because I know the
10 Chair would appreciate that -- we are suspicious
11 of this greenhouse gas analysis, and we are not --

12 MS. COUGHLIN: Do you want Mike to
13 provide some of the rationale for why there are
14 differences?

15 MR. MILLS: Well, I want to explain to
16 him where we are going, and maybe he can save us
17 all some time by getting us there.

18 We are suspicious of this greenhouse
19 gas analysis, and we're concerned that the
20 Minister must -- not "should", "may", "perhaps" --
21 the Minister must understand the greenhouse gas
22 produced by this project. And we are the first to
23 acknowledge that all that Manitoba Hydro does
24 upstream and downstream of MMTP is as good as it
25 gets for greenhouse gas issues.

1 But with regards to this specific
2 line, we see an obligation for the Minister to
3 clearly understand what the greenhouse gas is. We
4 look at all of the assumptions that are embedded
5 within this report. We -- and I will stop and
6 list a few.

7 AT27. We've heard from construction
8 that we have trained tower erectors, but the
9 Pembina Institute tells us that all labourers are
10 to be flown in from Ottawa, because it is a large
11 urban centre with access to labourers. We've seen
12 Mr. Penner's YouTube presentation on Sikorsky S-65
13 helicopters burning 850 gallons of steroid
14 kerosene per hour for months on end.

15 And candidly, Mike, we see too many
16 holes in this greenhouse gas report for us to
17 believe that the Minister can accept it, as she is
18 required to under the Act.

19 So does this report include the use of
20 helicopters in tower erection?

21 MR. SHAW: All right. So in terms of
22 the use of helicopters in tower erection, I would
23 guide you to -- I believe it is --

24 MR. MILLS: I'm in the appendices,
25 where the values are, where the key assumptions

1 are.

2 MR. SHAW: Yep.

3 All right. So that would be activity
4 1830. And for that activity, we did assume the
5 possibility of both traditional crane erection and
6 helicopter erection.

7 MR. MILLS: Where does it say that?

8 MR. SHAW: It doesn't explicitly say
9 it there, but in our assumption -- which, if you
10 go to key assumptions and the actual numbers, I
11 believe that's the next appendix.

12 We say that we assume consumption of
13 3,500 litres per kilometre. And that's
14 specifically for the erection of the tower and the
15 stringing of the tower -- as well as assembly,
16 though there's not as much emissions from that,
17 since most assembly is done by hand.

18 MR. MILLS: You assume 3,500 litres
19 per kilometre?

20 MR. SHAW: Yes. And that's quite a
21 bit of fuel, if you sort of consider it to filling
22 up a tank of gas. It's about 70 tanks' worth,
23 just to put some perspective in it for the room.

24 MR. MILLS: It is about an hour and a
25 half of Sikorsky's S-65 time. And in a kilometre,

1 there would be perhaps two and a half towers. I
2 would suggest that your extrapolation is far more
3 efficient than Mr. Penner's YouTube presentation.

4 We could debate and slice and dice the
5 assumptions all day long, and -- let me cut to the
6 chase.

7 With your skills on staff at Manitoba
8 Hydro, Mike, would it be possible for Manitoba
9 Hydro construction to provide you with the real
10 values over the course of this project, and for
11 you to assemble and present an as-built GHG LCA at
12 the end of the construction process?

13 MR. SHAW: Sorry, so first I would
14 like to correct for the record the potential
15 emissions from helicopter erection.

16 MR. MILLS: Yes.

17 MR. SHAW: All right. So from our
18 construction, we assume an average consumption per
19 hour of approximately 500 gallons of kerosene
20 fuel. Translated to litres, we are looking at
21 around 1,900 litres per hour. The emission
22 factors for litres of kerosene, which is in fact
23 less than diesel, is approximately 0.0026
24 per litre, or about 2.6 per kilolitre.

25 So on an hourly basis, we are looking

1 at emissions a little less than five tons.

2 I was in discussions with our
3 construction crew. We look at construction days
4 of around ten hours, and the helicopters are
5 capable of erecting between about 25 and 30 towers
6 a day. So the resulting emissions work out to
7 around, on average, about 2 tons per tower, or
8 about 4 tons per kilometre.

9 You'll recall, earlier on, I mentioned
10 that we assumed fuel use of around 3,500 litres
11 per kilometre. That would work out to around
12 10 tons. So the helicopter erection would be
13 4 tons, compared to our total assumption for the
14 line of 10.

15 Now, obviously erection of the towers
16 is a very intense energy -- sort of aspect of the
17 construction of the line, so we think that's very
18 reasonable, that about 40 per cent of the
19 emissions would occur from the helicopters
20 themselves.

21 So -- yes. I just wanted to correct
22 that for the record.

23 MR. MILLS: For the record, we spoke
24 directly with the vice president at Erickson
25 Helicopters, and your consumption figure is low by

1 probably 25 or 30 per cent.

2 MR. SHAW: You stated earlier in the
3 hearing that that was sort of the maximum
4 possible. You said it was 700 gallons an hour at
5 max, max. Here we are talking about 500 gallons
6 per hour, on an average basis.

7 MR. MILLS: Rather than debate
8 greenhouse gas with someone who clearly knows a
9 lot about it, what I would ask quite simply -- and
10 it is the same question we've asked on EMF.

11 Manitoba Hydro provides us assurances
12 throughout this process of mitigation resolution:
13 All is well. We don't get that comfort level, and
14 we observe that on the issue of greenhouse gas,
15 the Minister must. Would it be reasonable for a
16 condition of this licence to require Manitoba
17 Hydro to prepare, for lack of a better word, an
18 as-built greenhouse gas report on the construction
19 project? And would it be possible -- or would it
20 be reasonable; I don't think it would be
21 proprietary, or of any concern to your business
22 department -- would it be possible for that report
23 to be published, provided to the public, so that
24 we could in fact confirm that the comfort levels
25 that you give us were achieved?

1 And a second question, as other
2 constituencies appear to, would it be possible, if
3 the information was provided to you on a monthly
4 basis, would it be possible for Manitoba Hydro to
5 track that, and if it was determined that you were
6 exceeding your greenhouse gas commitments, that
7 mitigation measures could be further instituted to
8 do what you could to get back to this commitment
9 that you've given us?

10 So there is two questions: Can you
11 track it? And can you track it monthly?

12 MR. SHAW: All right. So in terms of
13 tracking, this is a life cycle assessment, and
14 there is --

15 MR. MILLS: I'm just talking about the
16 construction portion of the work.

17 MR. SHAW: All right. So in terms of
18 construction, if you look at Appendix 3, we see
19 the relative impact of that for the life cycle
20 greenhouse gas emissions -- and this would be for
21 both clearing and that construction/erection I was
22 discussing -- was around 2 per cent of total life
23 cycle emissions.

24 So from that perspective, I don't see
25 much value in tracking those emissions.

1 On top of that, right here, we are
2 just talking about non-generation emissions. When
3 we do an assessment of the project from a global
4 perspective, including generation effects, it is
5 very likely that the project as a whole will lead
6 to significant reductions in global emissions.
7 You can find that in the technical --

8 MR. MILLS: Excuse me. Excuse me.
9 You are out of scope. We are not talking about
10 upstream or downstream of the Manitoba-Minnesota
11 project; we are talking about this transmission
12 line. And as Hydro stands firm on out of scope,
13 as do I, please don't introduce red herrings to
14 what we are talking about: 213 kilometres of
15 construction. Let's stick to that, please.

16 MR. SHAW: All right.

17 In terms of monitoring, we, where
18 necessary, have been conservative in our
19 assumptions, and it would be very likely that we
20 would become well under, if we actually tracked
21 emissions.

22 And just to correct you, for life
23 cycle assessment, it is actually very important to
24 consider both upstream and downstream effects.

25 MR. MILLS: Well, sir, in closing,

1 when this project started, we received a couple of
2 quantum. One is it was going to cost
3 350 million, and the other is it was going to
4 produce a certain amount of greenhouse gas.

5 We've discovered that it is going to
6 cost more than 100 million more, arguably a
7 33 per cent increase in the cost of construction.
8 And although I'm not of the ability to debate as
9 those numbers were debated yesterday, I would
10 suggest to you that if construction costs have
11 gone up by \$100 million, that perhaps the
12 greenhouse gas contribution may well have gone up
13 as well.

14 So if we're chasing a moving target,
15 why don't we acknowledge that, and why don't we
16 agree that you'll tell us, when it is all over,
17 what in fact the greenhouse gas was.

18 And I think it would be -- it would be
19 good for those of us who are concerned about
20 greenhouse gas, and I would also suggest that it
21 would be good for Manitoba Hydro, to know that
22 what they say is going to be tested.

23 You have no answer to that. I
24 appreciate that.

25 MR. SHAW: So are you indicating that

1 because the price of material and fuel and
2 construction goes up, that then the greenhouse gas
3 emissions would go up as well? Because that would
4 be more of a quantity aspect than the price.

5 MR. MILLS: If Manitoba Hydro is
6 suggesting that the \$103 million increase is
7 entirely units of materials, and not quantities of
8 materials, I could agree with you. But I would
9 suggest that that isn't my experience in
10 construction cost overruns. It is usually some of
11 both.

12 That's a debate for another day. A
13 couple of quick observations, and then I will let
14 you go, and the Chairman will be pleased.

15 Do you review other projects and other
16 constituencies, and do you attempt to do any
17 research in what others are doing in regards to
18 greenhouse gas contribution?

19 MR. SHAW: We do, from time to time,
20 look at other environmental impact statements and
21 things of this sort to see what other
22 jurisdictions are doing in terms of evaluating the
23 greenhouse gas impacts of a project.

24 MR. MILLS: Do you remember having
25 reviewed the greenhouse gas emissions and fuel

1 consumption reporting for the Lower Churchill
2 project, the Nalcor project?

3 MR. SHAW: Would that be the Hydro
4 project, or the transmission project?

5 MR. MILLS: The transmission.

6 MR. SHAW: Transmission? I'm more
7 familiar with the dam project.

8 MR. MILLS: That project makes two
9 recommendations, and I wonder if you would be
10 prepared to comment on them from your professional
11 opinion. Within the the greenhouse gas emissions
12 report on the Lower Churchill project and the
13 Muskrat Falls transmission project, there are two
14 comments that I would appreciate your opinion.

15 One is, they say -- and I quote:
16 "Burning of slash or debris will be
17 specifically prohibited. Burning
18 debris releases stored carbon as CH₄,
19 and also releases N₂O, both of which
20 are more powerful GHGs than CO₂."

21 Would you agree with that statement,
22 that slash releases those items, those elements?

23 MS. MAYOR: Mr. Mills, can you please
24 provide a copy of the paper that you are looking
25 at to them?

1 MR. MILLS: Yes, I will.

2 MS. MAYOR: Then I would like them to
3 see that before you actually -- before they answer
4 the question.

5 MR. MILLS: All right.

6 The same report -- and I will ask you
7 to have a look at this -- indicates that an
8 anti-idling policy will be implemented with
9 respect to vehicle operation for the project, to
10 reduce GHGs and particulate matter.

11 And I will provide this to you to
12 read, but do you think that is something that
13 would have any effect or value on this project?

14 MS. MAYOR: Again, I would ask them to
15 read it before they answer your question. Thank
16 you.

17 MR. SHAW: All right. First comment,
18 I'm a little confused by the subject of burning of
19 slash releasing methane and N2O in large numbers.
20 From our experience, if you get full combustion,
21 the carbon will then combine with oxygen to sort
22 of form CO2; it wouldn't form CH4, which is
23 methane. So I'm not sure why they think burning
24 leads to significant amounts of methane and N2O
25 when most of the combustion methods I look at, it

1 all -- mainly comes out as CO2.

2 As for the idling policy, for the
3 record, I actually -- and this is for the Nalcor
4 Energy, Lower Churchill project -- so their idling
5 policy is -- and this is in the workbook they
6 give, the site handbook, to the workers -- they
7 state that:

8 "Project personnel are encouraged to
9 reduce/eliminate idling of vehicles
10 where practical."

11 And I understand this is similar to
12 what we have in our own sort of project -- project
13 plans.

14 MR. MILLS: So if those two points
15 were a condition of the licence, would you have a
16 problem or a concern with that?

17 MR. SHAW: Well, I don't understand
18 the premise that you would -- burning slash would
19 lead to higher levels of greenhouse gases, once
20 again, because methane -- I don't understand how
21 burning would lead to higher levels of methane.

22 MR. MILLS: So you disagree with that
23 statement?

24 MR. SHAW: Yeah, I would.

25 MR. MILLS: Okay. Fair enough.

1 I will ask it in a simpler, slower
2 form, and then I will be done.

3 We are suspicious of the greenhouse
4 gas reports that the Pembina Institute provides
5 us. We are unable to confirm the CVs of the
6 authors. We sense, Michael, that you've reviewed
7 them, but we -- so we wonder what would prevent
8 Manitoba Hydro from preparing an as-built of the
9 greenhouse gas LCA for the construction portion of
10 this project. What would prevent Manitoba Hydro
11 from doing that?

12 MS. MAYOR: Mr. Shaw has already been
13 asked that question, and he's already answered it,
14 that there would be no value in doing that. So we
15 are going down the same path again.

16 MR. MILLS: Well, he said there would
17 be no value, but he didn't answer the question,
18 which is: Would it be something that Manitoba
19 Hydro could do? In your opinion? I think whether
20 or not it is it is of value, with respect to
21 Mr. Shaw, will be the Minister's and the Clean
22 Environment Commission's decision.

23 MR. SHAW: We want to focus on the
24 life cycle emissions from the project. So there
25 really is no way to, without onerous tasks,

1 determine that all the inputs to all of the tasks
2 and activities in the life cycle were 100 per cent
3 accurate.

4 And even after a project, you would
5 still be using estimated values and assumptions.

6 MR. MILLS: Okay. Thank you.

7 Thank you, Mr. Chairman.

8 THE CHAIRMAN: Thank you. Thank you
9 for the questions and thank you for the answers.

10 Mr. Toyne, you are up next. I believe
11 you are the last -- and I will be very careful
12 saying this -- participant to question. My
13 understanding is you've got 15 to 20 minutes, so
14 we would do it now and then take a break, as long
15 as that's an accurate estimate.

16 MR. TOYNE: I certainly hope it is
17 accurate.

18 THE CHAIRMAN: Okay. We will go 15 to
19 20 minutes, and hopefully that will conclude, and
20 then we can get on, after a short break, with the
21 presentation. Is that -- is that course of action
22 acceptable to -- "acceptable" is the wrong word.
23 Does Hydro have any objection to that?

24 MS. MAYOR: Sorry, there was
25 discussion going on. The question was -- sorry?

1 THE CHAIRMAN: The plan here,
2 Mr. Toyne is the last participant, so rather than
3 take a break now, we will go on to Mr. Toyne. The
4 best estimate at the moment is 15 to 20 minutes.
5 So on that basis, we will proceed, and then take a
6 break, and then turn to the next presentation.

7 MS. MAYOR: Yes, that would be good.
8 We can then transition during the break. Thank
9 you.

10 THE CHAIRMAN: I just wanted to be
11 sure, logistically, that wasn't going to be --

12 MS. MAYOR: Yeah.

13 THE CHAIRMAN: Okay.

14 MR. TOYNE: Thank you, Mr. Chair.
15 Kevin Toyne for the Coalition.

16 I've got a series of largely identical
17 questions for Misters Block, De Carlo, and
18 Gahbauer; I hope I have pronounced everybody's
19 names properly. I am hopeful that each set of
20 them will just take five to six minutes, and if
21 I'm wrong in that estimate, I do apologize.

22 So the focus of the questions will be
23 comparing the predecessor for the final preferred
24 route and one of the route alternatives that the
25 Coalition is suggesting should be adopted, and the

1 impact of smoke and ash from slash.

2 Mr. Block, why don't I start with you;
3 I think your series of questions will go the
4 quickest.

5 And just before I get into them, we
6 got into a little bit of a debate yesterday, I
7 don't know if you were here, on some terminology;
8 there was an issue about whether or not the phrase
9 "farm" included land. So just to make sure we
10 don't stumble over anything like that today, when
11 you were referring to watercourses and streams and
12 creeks, those were streams and creeks and
13 watercourses with water, or without?

14 MR. BLOCK: Both.

15 MS. COUGHLIN: That's a crazy
16 question. Sorry.

17 MR. BLOCK: It does include ephemeral
18 streams, which by definition occasionally do not
19 have water. So I would say the answer is both
20 with and without water. Although they do have
21 water at some point in time; otherwise they are
22 not waterways.

23 MR. TOYNE: Yes. All right. So just
24 very quickly turning to the slash question.

25 The smoke that's generated from

1 burning slash, and the ash that's left over
2 afterwards, does that factor into the analysis
3 that you've done in any way, shape, or form? And
4 if so, can you tell us how?

5 MR. BLOCK: No, we did not consider
6 the effects of slash burning on fish and fish
7 habitat.

8 MR. TOYNE: And if you had considered
9 it, would it change your conclusions?

10 MR. BLOCK: It likely would not.

11 MR. TOYNE: You are familiar with the
12 route alternatives from Round 2 of the process,
13 Route SIL and Route AY?

14 MR. BLOCK: Somewhat.

15 MR. TOYNE: All right. And would you
16 agree with me that the AY route crosses a fewer
17 number of watercourses than the SIL route, which
18 is the predecessor to the final preferred route?

19 MR. BLOCK: I don't have that
20 information available.

21 MR. TOYNE: What I'll do is I'll give
22 you a reference, and I will ask that you take a
23 look at it as I sort of move down the firing line
24 here.

25 And it is Coalition IR 251, it has an

1 updated Table 527. The initial Table 527 in the
2 EIS appeared to be wrong in every possible way, so
3 that there was an updated one that was provided.

4 And it's the stream and river
5 crossings criteria, towards the bottom, that I'm
6 referring to, so if you can pull that up and take
7 a look, I can -- actually I do have one more
8 question for you; sorry. Try to remember what I
9 just said, and then answer this question.

10 There were concerns about effects on
11 species at risk for both Route SIL and Route AY.
12 From the perspective that you are representing,
13 fish and fish habitat, is there a greater or
14 lesser concern about species at risk if Route AY
15 had been selected as opposed to SIL?

16 MR. BLOCK: The effects would be
17 related to the number of stream crossings.

18 MR. TOYNE: So is it fair to say --
19 again, just in general terms -- if, when you take
20 a look at that material, if it turns out that
21 Route AY crosses a smaller number of streams or
22 watercourses, then it would have less of an impact
23 on fish and fish habitat than Route SIL?

24 MR. BLOCK: Sorry, can you -- if it
25 turns out that Route AY has fewer stream crossings

1 than Route SIL, would that indicate potentially
2 less impact?

3 MR. TOYNE: Yes.

4 MR. BLOCK: Agreed.

5 MR. TOYNE: Okay. So I will come back
6 to you when you have had a chance to take a look
7 at the number of stream crossings that's listed in
8 updated Table 527.

9 All right. Mr. DeCarlo, we will go to
10 you next. And again, just to make sure we don't
11 run into any definitional problems, when you refer
12 to forests, are those forests with or without
13 trees?

14 MR. DE CARLO: Those are areas with
15 trees.

16 MR. TOYNE: Okay. Excellent. This
17 will go much smoother.

18 So you had referred to a -- the
19 intactness criteria.

20 MR. DE CARLO: Correct.

21 MR. TOYNE: All right. And I think it
22 was during Mr. Mills' questions for you, you'd
23 indicated that you were personally familiar with
24 some, if not all, of the final preferred route,
25 even if you hadn't done the field studies

1 yourself.

2 MR. DE CARLO: I'm familiar with the
3 final preferred route and the alternate routing
4 that was considered, yes.

5 MR. TOYNE: All right. And with
6 respect to the area around the Watson Davidson
7 Wildlife Management Area, both west and east, are
8 you personally familiar with that area?

9 MR. DE CARLO: Yes, I am personally
10 familiar with that area.

11 MR. TOYNE: All right. And you would
12 agree with me that at least to the east of that
13 wildlife management area, that that area is able
14 to be harvested for commercial timber purposes?

15 MR. DE CARLO: From my memory, yes, I
16 believe it looked like it would be suitable for
17 that. It was forested, and ...

18 MR. TOYNE: And you may know the
19 answer to this; you may not. Would you agree with
20 me that the area east of the Watson Davidson
21 Wildlife Management Area has previously been
22 harvested for commercial timber?

23 MR. DE CARLO: I'm not aware if the
24 area east has or has not been harvested for
25 commercial timber.

1 MR. TOYNE: And from your discipline's
2 perspective, what would be more disruptive to the
3 vegetation in that area: the area being subject
4 of a commercial timber harvest, or a transmission
5 line right-of-way going through it?

6 MS. COUGHLIN: I wonder if these are
7 more land resource use-based questions? Is
8 that --

9 MR. TOYNE: I'm asking him about trees
10 being cut down, and I certainly hope that he can
11 answer questions about trees being cut down.

12 MR. DE CARLO: I think there would be
13 a lot of similarities between forestry and the
14 removal of trees for the right-of-way on the MMTP
15 project.

16 MR. TOYNE: So would you agree with me
17 that if the area immediately to the east of that
18 wildlife management area was the subject of a
19 commercial timber harvest, that would be much more
20 problematic than a right-of-way for a transmission
21 line going through? Again, from your discipline's
22 perspective.

23 MR. DE CARLO: From my discipline's
24 perspective, again, I would say that the removal
25 of trees for forestry or the removal of trees for

1 the right-of-way will have generally similar
2 effects.

3 MR. TOYNE: And in your experience --
4 if you have experience -- when commercial timber
5 is being harvested, is it harvested just in
6 100-metre-wide increments, or does it tend to be
7 harvested over a broader space?

8 MR. DE CARLO: Depends on the tree
9 species in the area, but clear-cutting would
10 occupy a bigger area.

11 MR. TOYNE: All right. Now, are you
12 familiar with Routes SIL and AY?

13 MR. DE CARLO: I have a graphic of
14 both routes, yes.

15 MR. TOYNE: Okay. Now, with respect
16 to some of the plants and vegetation species that
17 were of conservation concern, or species at
18 risk -- and again, this is just from your
19 discipline's perspective on species at risk -- is
20 there much of a difference between those two
21 routes? Is one particularly more problematic from
22 a "species at risk" perspective than another?

23 MR. DE CARLO: Well, the north/south
24 direction portion of the routes are fairly
25 similar, and they share a common portion. But the

1 further east you go, you encounter more native
2 vegetation, more intact vegetation. So the
3 preference would be, from a general perspective,
4 would be the Route SIL, which is farther to the
5 west.

6 MR. TOYNE: So I get, from a general
7 perspective -- I was talking more specifically
8 about species at risk or species of conservation
9 concern. Is there more of a risk?

10 MR. DE CARLO: Yes, there is. So the
11 two are connected. The risk to species of
12 concern, or species at risk, is greater in areas
13 that have a greater proportion of native
14 vegetation as opposed to areas that have been
15 previously disturbed.

16 MR. TOYNE: All right. So in theory,
17 AY would be more problematic.

18 Do you know what sort of surveys were
19 done in the area that AY would traverse that's
20 different than route SIL, that would provide
21 concrete support for the theory you've just
22 advanced?

23 MR. DE CARLO: Well, the theory I've
24 just advanced is not just field work; it is also
25 supported by scientific literature and previous

1 recorded occurrences of where these species have
2 been found. But I can look up our maps of the
3 survey sites to see what surveys were done in
4 those areas.

5 MR. TOYNE: All right. Sitting here
6 right now, though, are you aware of any surveys
7 being done up in -- sort of south of Vivian, in
8 the Vivian-St. Genevieve-Richer area?

9 MR. DE CARLO: I can't say
10 specifically if survey sites were located on those
11 two particular portions of the routes.

12 MR. TOYNE: I understand there is a
13 30-metre setback or buffer that's applied if a
14 species -- if a plant species that's of concern is
15 found. Is that a standard setback or buffer for
16 at-risk plants when they are discovered?

17 MR. DE CARLO: The buffers vary,
18 depending on the province or region in which they
19 are located. That buffer distance was recommended
20 in discussions with Manitoba Sustainable
21 Development.

22 MR. TOYNE: Is that a hard buffer, or
23 is it a soft buffer?

24 MR. DE CARLO: Buffers in general, for
25 rare plants, are guidelines. There aren't strict

1 regulations, in general, for setbacks for rare
2 plants.

3 MR. TOYNE: All right. And the
4 preconstruction surveys that will happen along
5 whatever the final preferred route might be, are
6 those surveys that are done of the entire
7 right-of-way, or are just representative samples
8 taken for survey purposes? Do you know?

9 MR. DE CARLO: I'm not certain of the
10 actual plans for the surveys, like, the fine
11 details for where surveys are located. But it
12 would be specific to areas that have greater
13 potential for rare plants and species at risk.

14 So, for example, route ditches,
15 cultivated fields, would not be subject to further
16 survey for species at risk or rare plants.

17 MR. TOYNE: And you may not be the
18 right person to answer this, and if you are not, I
19 apologize. If a land owner has concerns about the
20 presence of plant species that are rare, or of
21 conservation concern on their property, and say it
22 is property that falls outside of the categories
23 you just referred to as being the targets for
24 these surveys, would that landowner be able to
25 contact Hydro and have someone come out and take a

1 look to confirm whether or not that plant species
2 is present?

3 MR. DE CARLO: My understanding is
4 that yes, they could communicate that to Manitoba
5 Hydro, and Manitoba Hydro would listen and take
6 appropriate action.

7 MR. TOYNE: All right. And from --
8 actually, no, I don't believe I've got any further
9 questions for you.

10 So, Dr. Gabhauer. Again, from the
11 perspective of the smoke and the ash from slash
12 burning, was that a factor that you took into
13 account in the assessment that you were
14 responsible for?

15 MR. GAHBAUER: No, we didn't
16 explicitly consider that. It is a temporary,
17 ephemeral condition, and would be equivalent to
18 small fires that occur with regularity.

19 MR. TOYNE: All right. If you had
20 taken it into account, if I take it wouldn't have
21 changed the outcome of your analysis?

22 MR. GAHBAUER: I don't imagine it
23 would, no.

24 MR. TOYNE: Are you familiar, at least
25 in general terms, with Routes AY and SIL?

1 MR. GAHBAUER: Yes, I am.

2 MR. TOYNE: All right. So on
3 Table 526 in the EIS, both Routes AY and SIL
4 are -- one of the "Natural" comments that's listed
5 is that they are both less preferred because of
6 higher potential effects on species at risk.

7 So a series of questions for your
8 discipline. So for the mammals that you took into
9 account during your assessment, is one or both of
10 those routes particularly problematic for any of
11 those mammals?

12 MR. GAHBAUER: There are a couple of
13 layers that are getting confused there. For
14 mammals, yes, there is more suitable natural
15 habitat for mammals along AY than there is SIL,
16 but none of the mammals that we looked at -- well,
17 I guess for bats, it would be species at risk; but
18 most of the other mammals are not species at risk,
19 so there's two -- two considerations there.

20 MR. TOYNE: All right. But from the
21 species at risk perspective, there may be a
22 difference, but it is not a significant
23 difference?

24 MR. GAHBAUER: We didn't assess
25 significance at this stage. This was a routing

1 exercise, so we looked at the overall metrics and
2 comparisons. We didn't evaluate the significance
3 between them. But there is certainly more natural
4 habitat, and on the basis of that, we perceived
5 there to be more potential risk for wildlife in
6 general.

7 MR. TOYNE: Again, I take the point
8 that was raised by your colleague that if there is
9 more natural habitat, there is greater potential
10 impact.

11 But specifically -- if, for example,
12 if Route AY or some modified version of that is
13 eventually adopted, are there specific impacts
14 with respect to mammals that are species at risk,
15 that you are aware of?

16 MR. GAHBAUER: The specific impact is
17 simply a greater amount of habitat loss and the
18 resultant impacts of that.

19 MR. TOYNE: Same question with respect
20 to the amphibians and reptiles that you took into
21 account in your assessments.

22 MR. GAHBAUER: To a large degree, it
23 would be the same for all wildlife, yes. With
24 more habitat, there is more potential risks and --
25 yeah, I think that would be the same.

1 MR. TOYNE: It struck me from your
2 presentation that at least for some types of
3 birds, that the answer might be slightly
4 different, because the creation of the
5 right-of-way can -- it may be disruptive at the
6 outset, but it can actually create additional
7 habitat; is that a fair take-away from your
8 presentation?

9 MR. GAHBAUER: Yes. So there are
10 species where -- if they are more open forest or
11 edge species than if you are creating an edge from
12 a forest. Then those species would respond
13 accordingly.

14 MR. TOYNE: So then, to go back to the
15 response for mammals and amphibians and reptiles,
16 if you are taking up additional natural space --
17 and I apologize for the inelegant term -- it may
18 not be as problematic for birds as it is for the
19 other two categories?

20 MR. GAHBAUER: It depends on which
21 birds. For some it is, and for some it is not.
22 The general principle is that any time that we
23 make a route longer, it is generally less
24 preferable from a wildlife perspective, because
25 there is more disturbance, and more response

1 required.

2 MR. TOYNE: Right. So just to make
3 sure I've got that, so in addition to the amount
4 of space that's being taken up by the
5 right-of-way, a longer right-of-way is more
6 problematic from a wildlife perspective?

7 MR. GAHBAUER: Longer is generally
8 less desirable, all other things being equal.

9 MR. TOYNE: Right.

10 If I told you that Route SIL was
11 longer than Route AY, you would agree with me,
12 then, just to go back to the point you just made,
13 that generally speaking, Route AY would be
14 preferred, from a wildlife perspective, than SIL?
15 Assuming that AY is shorter than SIL.

16 MR. GAHBAUER: As I said all other
17 things being equal. So length is one
18 consideration. I wouldn't suggest that the two
19 routes are equal in other ways, though.

20 MR. TOYNE: All right.

21 I think I'm almost out of time,
22 Mr. Chair, so I will ask what I think is a final
23 question.

24 Something you didn't talk about in
25 your presentation but does show up in your

1 technical report is there is a number of species
2 at risk or of conservation concern; different
3 moths, butterflies, other types of insects. Any
4 difference between Routes AY and SIL from the bug
5 perspective?

6 MR. GAHBAUER: Difficult to say with
7 certainty. But again, heading further east, in
8 toward the more contiguous forest associated with
9 sandy lands and so on, there is more suitable
10 habitat in there for the dusty wing, and probably
11 monarch as well.

12 MR. TOYNE: Mr. Block, just to go back
13 to you, were you able to pull up the number of
14 water crossings between those two routes?

15 MR. BLOCK: Based on the information I
16 was able to find, Route SIL has seven crossings
17 and Route AY has three. Does that match what you
18 perceive to be correct?

19 MR. TOYNE: I've got 27 for SIL and
20 14 for AY. I think the percentages still hold.
21 It is about half -- about half as many crossings
22 on AY as opposed to SIL.

23 So, again, just to go back to the
24 earlier point that fewer crossings are better, all
25 things considered: If AY has fewer crossings, you

1 would agree with me that from a fish and fish
2 habitat perspective, it would be the preferred
3 route?

4 MR. BLOCK: That's a fairly general
5 statement. In general, less is better. It would
6 depend on several other factors; riparian quality,
7 et cetera.

8 MR. TOYNE: I suspect that's as far as
9 you can go, and I will take that.

10 No further questions, Mr. Chair.

11 THE CHAIRMAN: Thank you, Mr. Toyne,
12 for the questions, and --

13 MR. TOYNE: I hope I was right on with
14 my time estimate. I lost track.

15 THE CHAIRMAN: Yeah. You are within
16 one minute, actually, so thank you. You are good.
17 Okay. Thanks also, of course, for the responses.

18 We will reconvene at 25 to 4 with the
19 next presentation. Thanks.

20 (Recessed at 3:20 p.m. to 3:35 p.m.)

21 THE CHAIRMAN: Okay, I wonder if I
22 could ask everyone to take their seats.

23 All right. We are now turning to
24 Manitoba Hydro's last presentation. That's the
25 Environmental Protection Plan monitoring and

1 conclusion. It is my understanding that that
2 presentation is broken into four parts, and we are
3 going to get through the first two before we
4 adjourn today. Is that everyone's understanding?

5 MR. MATTHEWSON: There is a total of
6 three parts, and we will do the first two today.

7 THE CHAIRMAN: Okay. Total of three,
8 and we are going to do the first two today.

9 Anyone to swear in?

10 (Environmental Protection Program Panel sworn)

11 MS. JOHNSON: Could you please state
12 your name for the record?

13 MR. WIENS: Jonathan Wiens.

14 THE CHAIRMAN: All right. Then I will
15 turn it over to Manitoba Hydro.

16 MR. MATTHEWSON: Good afternoon,
17 Commissioners and participants.

18 I would like to share with you today
19 the Environmental Protection Program that Manitoba
20 Hydro has developed for the project. This is
21 described in chapter 22 of the environmental
22 impact statement, as well as several IRs on the
23 topic.

24 My name is James Matthewson. I feel
25 it is important to clarify my role at Manitoba

1 Hydro. I have been characterized as the V.P of
2 transmission; I have been characterized as an
3 engineer. I have an honours, a bachelor of
4 science in forestry, with 19 years of experience
5 in the forest industry, Manitoba Conservation, and
6 Manitoba Hydro. My current role is the senior
7 environmental assessment officer for Manitoba
8 Hydro.

9 I will be presenting today with
10 Jonathan Wiens, to my right, a certified wildlife
11 biologist with nine years of experience working
12 with Manitoba Conservation and Manitoba Hydro.
13 Jonathan is a biophysical analyst with Manitoba
14 Hydro in the licensing and environmental
15 assessment department.

16 So I will kind of go through the
17 program as an overview itself. We will talk a
18 little bit about lessons learned. We will talk a
19 little bit about the environmental protection
20 program and all of its various parts. And then
21 Mr. Wiens will be going through our environmental
22 effects monitoring plan, and then we will come
23 back, likely on Tuesday morning, and I will talk
24 about some more of the adaptive management and
25 conclude the presentations for Manitoba Hydro.

1 So the Environmental Protection
2 Program was developed from a comprehensive review
3 of all of our projects that we've done to date.
4 Of course we have had many transmission projects
5 happen since the Bipole III project, and each one
6 of those projects -- such as the Lake Winnipeg
7 East municipal improvement project, the Keeyask
8 transmission project, the St. Vital transmission
9 project -- there is a variety of different
10 improvements or adaptations and learnings we have
11 learned as we've gone throughout the last five
12 years.

13 We cover off in this big program we
14 call the EPP program, the implementation, the
15 management, and the monitoring of mitigation
16 measures, as the previous panel has described, to
17 mitigate the potential for effects that were
18 described by the socioeconomic and biophysical
19 panels.

20 There are components that adapt and
21 interact with each other. There is the Cultural
22 Heritage and Resource Protection Plan, there is
23 the Construction Environmental Protection Plan,
24 there's the Access Management Plan and -- I'm
25 going to go through all the variety of plans that

1 we have, but they are all kind of intertwined and
2 intermixed together; that's why we have them all
3 together as one program.

4 The program itself is intended to
5 describe the who, the what, the where, and the how
6 aspects of protecting the environment in all
7 phases of the project.

8 So some of the lessons learned include
9 the Environmental Protection -- including the
10 Environmental Protection Program documents. So
11 we've submitted several draft plans as part of the
12 environmental impact statement, so the
13 Construction Environmental Protection Plan, the
14 Environmental Effects Monitoring Plan, the Access
15 Management Plan; something that we learned through
16 our previous projects is to get those documents
17 drafted with the environmental impact statement,
18 and reviewed through the entire technical advisory
19 committee review, as well as the public engagement
20 review process that the regulator takes care of,
21 as well as the Clean Environment Commission's
22 review.

23 We have a development of a clearing
24 plan. So we have a -- something we haven't done
25 on a project like this; we've developed an annual

1 harvest plan for the Bipole III project, and this
2 will be similar to that, but it is going to be a
3 little bit different, and I will describe how
4 we've changed and adapted it for the MMTP project.

5 There is many mitigation improvements
6 that we have encountered over the last five years
7 throughout the various transmission projects that
8 we have under construction currently.

9 And with respect to biosecurity, as
10 you heard from Mr. Stuart, various design measures
11 that we have been incorporating and improving on
12 as we've developed projects.

13 Language improvement, for clarity. So
14 in an environmental protection plan, a
15 construction one or an operational one, they get
16 to be pretty thick documents, and there is a lot
17 of -- there's many, many, mitigation measures, and
18 sometimes the language that we choose is not
19 always clear to a contractor or to the
20 environmental inspector who is implementing that
21 plan.

22 So we have made a variety of language
23 improvements, using more common language, so that
24 it is -- and clarifying language to some of our
25 mitigation measures, so they are more clearly

1 understood by the construction contractor.

2 Packaging and formatting of documents.

3 We certainly have developed a variety of different
4 formats, about how we put all of these volumes of
5 environmental protection mitigation measures
6 information together, so that they aren't lost in
7 a binder in the back of a truck. We do things
8 like binding various pieces of them together; we
9 look at different ways of binding the documents
10 together, to improve their durability, and looking
11 at different paper weights and binding techniques,
12 to just make sure that the documents are durable.
13 They are used on tailgates of trucks, the map
14 books that we will be showing you some examples
15 of.

16 So we want to make sure these
17 documents are very usable and durable, so that
18 they last throughout the construction season. But
19 we re-issue new documents every year, and there is
20 enhancement and improvements on an ongoing basis
21 throughout the construction period, and those are
22 issued through amendments.

23 We have also been experimenting with
24 new mechanisms of community involvement in our
25 construction plans, both during construction as

1 well as involved in the implementation of
2 environmental inspection and monitoring, as well
3 as some of the follow-up monitoring that occurs.

4 So on the Bipole III project, we had
5 the concept of community liaisons and
6 environmental monitors that were hired from local
7 communities, and participated on the projects
8 during construction activities, and also
9 participated during some of the monitoring
10 activities that are part of our monitoring plan
11 that happen in the summer season -- spring,
12 summer, and fall months, when construction may not
13 be occurring in the north.

14 On the Lake Winnipeg East project, as
15 an example, we did something a little bit
16 different; we had a community representative, and
17 we had a Manitoba Hydro employee that would take
18 those three community representatives all together
19 in one truck, from the local communities, and they
20 would -- too fast?

21 THE CHAIRMAN: Is it the speed?

22 THE REPORTER: Yes.

23 MR. MATTHEWSON: I will slow it down.

24 THE CHAIRMAN: I thought you were
25 saying someone is too high.

1 MR. MATTHEWSON: So on the -- as I
2 mentioned, on the Lake Winnipeg East project, we
3 got community members to work together with a
4 Manitoba Hydro employee that would tour them along
5 the construction project, and this happened two or
6 three days a week, and they got to see any and all
7 parts of the construction of the project, and they
8 were involved in a variety of the monitoring
9 activities during the non-construction season.

10 So on the MMTP project, we will talk a
11 little bit about -- coming up, a little bit about
12 our plans for this project and community
13 involvement.

14 So here is a graphic of the
15 Environmental Protection Program. And I'm going
16 to provide you a brief overview of the different
17 components here. And I know they will be hard to
18 read, all these little items on the slide, but I'm
19 going to be going through each one of them in
20 further slides.

21 So, overarching, we have the program,
22 and we have the system called the environmental
23 protection information management system, and it
24 is meant to manage and organize all of the
25 different components, and I will talk a little bit

1 about it later on.

2 We have the resources, so we have a
3 variety of resources within construction, as well
4 as resources and information gathered from
5 communities, as well as the First Nation and Metis
6 ongoing engagement processes and involvements in
7 some of our monitoring activities.

8 We have a communication module that
9 deals with some of the mechanisms by which we
10 communicate our project activities, both
11 internally and externally, including things like
12 websites and reports, and I will go into that in a
13 little more detail.

14 We have management plans. This one
15 here, which we will talk about briefly, about --
16 all of them, but we'll go in detail about a few of
17 them as I go through the presentation.

18 We have environmental protection
19 plans, so these are the construction environmental
20 protection plan, that's what will be filed with
21 the environmental impact statement, and that's the
22 current draft that we have.

23 Operation and maintenance plans; those
24 would be developed prior to the project going into
25 in-service, and they are very much a carry-over of

1 what the Construction Environmental Protection
2 Plan has in it, as far as environmentally
3 sensitive sites. But the nature of operations and
4 maintenance is different than construction, so
5 that's why we have different plans for the
6 different types of work being conducted.

7 We have a decommission environmental
8 protection plan, and of course this won't be
9 developed, as mentioned in previous presentations,
10 until such a time that the project would be
11 decommissioned, and be developed in a way that
12 honours any type of current legislation and
13 regulations and state of science at the time of
14 decommissioning.

15 And we have a Cultural and Heritage
16 Resources Protection Plan, which I will talk about
17 a little bit more further into my presentation,
18 but we have glanced on it a little bit in a few of
19 the other panels about that plan.

20 We have an inspection program, which
21 has dedicated Manitoba Hydro environmental
22 inspectors that do conduct daily inspections on
23 construction activities and submit annual reports
24 and -- annual reports and monthly reports through
25 the environmental management team.

1 And then we have the monitoring plan,
2 that covers off the biophysical and socioeconomic
3 monitoring that Manitoba Hydro is proposing for
4 this project. Again, it's draft. Most of these
5 products are draft because they are subject to, of
6 course, any license conditions or CEC
7 recommendations that may come in. We will
8 incorporate those into these products, and then
9 finalize them prior to construction.

10 And Jonathan will be talking about the
11 monitoring plan in much more detail.

12 So the senior transmission -- so I was
13 going to show you a giant org. chart with all the
14 different people involved in the Environmental
15 Protection Program, but I thought I would just
16 kind of give you a collage of faces to kind of put
17 to the program rather than just my own.

18 So we've -- so at the top of the
19 organizational structure, we of course have
20 Manitoba Hydro senior management, who is
21 responsible for the overall Environmental
22 Protection Program, including the resourcing, the
23 management and performance, and is accountable for
24 the regulatory compliance, policy adherence, and
25 customer satisfaction.

1 While the senior management team is
2 composed of career engineers at Manitoba Hydro --
3 so this is Mr. Penner, you met earlier; this is on
4 a site visit on the Bipole project.

5 This is Mr. Mailey, the real vice
6 president of transmission, illustrating some of
7 our biosecurity procedures, cleaning a boot.

8 And this is Mr. Gerald Neufeld, the
9 director of transmission planning and design. And
10 he is involved in some of our monitoring
11 programs -- in this picture, for caribou.

12 So they have been involved -- the
13 career engineers, as has been pointed out, they
14 have been involved in all aspects of transmission
15 line construction and operations, including
16 environmental protection. I report through these
17 gentlemen about our environmental protection, or
18 other components of the environmental protection
19 staff report directly to these folks.

20 It is these career staff that maintain
21 that organizational memory that the CAC pointed
22 out about maintaining -- when you have engineers
23 and senior managers that have been with Hydro for
24 30 years, and you have someone like myself, who's
25 only been for ten years, certainly a lot of what I

1 learned from Manitoba Hydro's past practices and
2 how construction was done or environmental
3 protection was done was by working with these
4 individuals.

5 They of course conduct those site
6 inspections during both construction and
7 operations, and take an active role in my
8 department's role, which is licensing and
9 environmental assessment and monitoring of
10 transmission lines.

11 So the next step down is the
12 environmental protection management team. So this
13 is a variety of folks that we have in this. This
14 is Ms. Fiona Scurrah; she leads up the
15 construction and environmental protection team.
16 So when I -- my team develops the Environmental
17 Protection Program documents, she is responsible
18 for implementation of those plans, and working
19 with the contractors to make sure they're
20 compliant.

21 We have Mr. Kris Watts; he works in my
22 department, in developing a lot of the written
23 materials that you have in front of you, those
24 draft construction environmental protection plans.

25 And we have Mr. Trevor Smith; he is in

1 our line maintenance department, in the south, the
2 manager.

3 We have Ms. Johnson -- you may not
4 recognize her; she looks a little different in
5 this -- in the red suit.

6 She is involved in much of our
7 monitoring activities as well.

8 That's Amber Lahti; she is the
9 environmental specialist on transmission line
10 maintenance.

11 There is myself, in my fancy fur hat
12 there.

13 We have Mr. Jim Kiel, who is the
14 manager of construction.

15 And as well as Ms. Anne Melinchuk, who
16 works with Fiona in implementing the Construction
17 Environmental Protection Plan.

18 So all these folks here form what we
19 call the environmental protection management team.
20 We meet on a regular basis to discuss projects,
21 mitigation issues that are coming up during
22 construction, scheduling, about when new
23 construction is starting and stopping, discuss
24 things like reduced risk timing windows, and a
25 variety of real-time construction-type activities

1 that happen in the nature -- in due course.

2 As much as we plan as thoroughly as we
3 can in the development of construction in the
4 Environmental Protection Program, we have to be
5 adaptive; we have to react to new things, changing
6 conditions all the time. So this team meets
7 regularly, every two weeks, to discuss any ongoing
8 issues and develop new mitigative strategies, or
9 develop improvements to documentation, that sort
10 of thing.

11 Then of course the "boots on the
12 ground" kind of folks are involved in the
13 environmental protection implementation team, so a
14 few of these are -- work for Ms. Scurrah.

15 There's Evan Johansson. This is Mark
16 Roddy, and Dave Fehr. This is Geoffrey Nolette.
17 And a variety of different construction workers.

18 So those inspectors all have different
19 expertise in environmental protection. They have
20 been chosen and hired for a variety of their
21 expertise. Mr. Fher, as an example is an expert
22 in soil decontamination and spill response.
23 Mr. Johansson is an expert in -- as a forest
24 technician.

25 And we also have environmental

1 monitors. So this is a lady by the name of Nancy,
2 from TCN; they are flagging a riparian buffer,
3 working with the environmental inspectors.

4 Up here we have some of our consulting
5 staff and licensing staff doing heritage
6 investigations on a new right-of-way.

7 And of course there is -- some of the
8 key department members here, Ms. Johnson again,
9 and Mr. Trevor Barker and Jonathan Wiens and
10 myself, involved in a lot of the monitoring
11 activities that are conducted as part of this
12 project.

13 So, another key component to our
14 organizational structure is regulatory First
15 Nations and Metis ongoing input. So we have a
16 variety of different mechanisms by which we gather
17 input.

18 So this is a picture of -- all the
19 folks in the orange hats here are some of the
20 regulators working for Manitoba Sustainable
21 Development on site visits; they come up on site
22 visits, both to the generating stations and are
23 involved in some of the transmission line
24 construction and seeing the different activities
25 that are going on and observations.

1 We have overflights that we involve --
2 overflights that involve elders. This was a
3 flight that I took with an elder from OCN in the
4 area of Bipole III, just validating some
5 traditional sites that they were concerned about,
6 and validating whether they were or were not on
7 the right-of-way of the project.

8 We have engagement meetings, so those
9 ongoing community engagement meetings, where we
10 bring out some of the activities or a description
11 of the different monitoring activities that we may
12 be conducting, some of the mitigation measures we
13 are putting in place, to have that discussion
14 about -- what other things can we be doing on the
15 landscape for monitoring? What are the other
16 concerns that particular communities or
17 individuals may have.

18 And of course we do field visits
19 with -- this is a field visit on the Lake Winnipeg
20 East project, with Ms. Johnson, Mr. Barker, and
21 myself, and one of the regional biologists from
22 Manitoba Sustainable Development, talking about
23 access and access restrictions.

24 This was a berm in place on one of the
25 access roads; pre-existing berm that Sustainable

1 Development put into place, and we were discussing
2 how we were going to maintain that for
3 construction and operations of the transmission
4 project.

5 This one is an example of a camp
6 program that we put on for the Bipole III project,
7 to bring elders and youth together to discuss
8 traditional activities and participate. It was a
9 week-long camp. We had folks from Roseau River
10 First Nation, Dakota Tipi First Nation, and Swan
11 Lake First Nation, and the Manitoba Metis
12 Federation participated with some youth, where we
13 did a variety of different activities; brought in
14 some traditional drummers -- by the name of Coco
15 Stevens. I'm not sure if you've heard of him; he
16 is a pretty famous recording artist. We brought
17 him in and taught kids -- and taught me -- a few
18 songs on the drum, very interesting for them and
19 myself.

20 And one of the days, we took them out
21 to M602F transmission project, which is in the
22 MMTP study area, and talked about and helped them
23 participate in the environmental monitoring
24 activities.

25 So we talked about -- we had some

1 traditional plant identification. We talked about
2 some of the GPS technologies that we use to map
3 and delineate. And environmentally sensitive
4 sites, we talked about transmission line safety,
5 and how youth should take care when -- you know,
6 being around transmission lines; they are not
7 something they should be climbing on.

8 And there is a variety of different
9 activities that we conducted with the youth, which
10 was a very good success. There was very good
11 feedback from that program.

12 So all of those kind of people, and
13 all of those mechanisms of input, from the
14 regulator and from the First Nations and Metis
15 engagement processes, come together into some of
16 these documents that we are going to talk about
17 today.

18 So the draft Construction
19 Environmental Protection Plan, its purpose is to
20 provide the information that will guide the
21 contractors and field personnel in constructing
22 the Manitoba-Minnesota project in a manner that
23 meets environmental legislation requirements and
24 is respectful to the environment.

25 The Construction Environmental

1 Protection Plan outlines all the commitments and
2 efforts that will be taken by Manitoba Hydro and
3 its contractors to protect the environment and
4 mitigate potential environmental effects that may
5 occur during construction of the project.

6 It is a practical, direct
7 implementation of Manitoba Hydro's commitment to
8 responsible environmental stewardship. So it
9 contains a variety of things. There is almost 100
10 different specific mitigation measures for
11 specific environmentally sensitive sites. We have
12 over 400 general mitigation measures that are
13 described. We have descriptions of the setbacks
14 and buffers that are on a variety of different
15 environmentally sensitive sites. We have
16 discussions about the reduced risk timing windows
17 for calving seasons, breeding birds. We have the
18 biosecurity standard operating procedures in
19 there, and then we have the frameworks for the
20 contractor management plans, which I will talk
21 about a little bit later.

22 So those general mitigation measures,
23 those 400-odd mitigation measures, are categorized
24 into -- I didn't even count them; I don't know how
25 many categories, but these categories are

1 organized by topics or activities.

2 We have what we call the INGs; we have
3 draining, drilling, demobilizing, burning,
4 clearing; those are kind of categorized so that a
5 construction person can just go to that and say,
6 "I'm clearing today." All mitigation measures
7 that are pertinent to clearing are in that one
8 spot. But if they had a specific concern about a
9 stream crossing, we have specific things that
10 cover -- just bring all the stream crossing
11 mitigation into one spot, too.

12 So you will get a lot of the stream
13 crossing mitigation in the clearing, but you won't
14 see it in the burning table. So we have kind of
15 cross-referenced between the two, and it allows --
16 because people think of what they do in different
17 ways; they may think about a specific spot or
18 stream crossing, or maybe they may think about it
19 -- "Hey, I'm the grader; I'm grading. What do I
20 have to know about grading and environmental
21 protection?" That's why we have a grading
22 category, so that they can just go there and look
23 at everything that's pertinent to them for their
24 activity.

25 This is an example of a construction

1 environmental protection plan map that the
2 contractor gets. It is an 11-by-17 map, so it is
3 fairly large in scale. We have all the different
4 project components in the legend; we have -- and
5 then, over here, all the environmentally sensitive
6 features on the landscape, so I will walk you
7 through this.

8 This is a map out of the -- the draft
9 one for MMTP. We have some boundaries of the
10 Sandilands Provincial Forest. The blue line
11 represents the centreline; the white lines
12 represent the right-of-way bounds. We don't have
13 the towers laid onto this yet; they weren't
14 developed at the time of drafting.

15 We have an example of an "eco". So
16 this is a species of concern, polygon, we have
17 little dots with numbers that correspond to some
18 tables here that tell the operator when they are
19 entering or exiting the species of concern area,
20 with coordinates, so that they can be mapped and
21 delineated in the field with flagging as required.

22 We have some aquatic -- water
23 crossing-type mitigation areas; we have stream
24 crossing right there, represented by a point. We
25 have the yellow, which represents birds and bird

1 habitat mitigation measures. That's a location
2 where bird-wire diverters, or bird-wire collision
3 diverters would be installed.

4 So what goes with this map, they have
5 an ortho with some fairly high-resolution imagery,
6 so they can see -- the other thing that's noted on
7 here is this is the access, the defined access to
8 get to the right-of-way, so this is the trail that
9 they are approved to use.

10 On the other -- on opposite side of
11 that map book, so when they open the map, they see
12 the map on this side, and the opposite side they
13 see this, which contains a table of each one of
14 the different DSSs.

15 It talks about why, or what the
16 potential effects could be, so it informs the
17 user -- well, this one is an archeological --
18 potential archeological resources, because it is a
19 river crossing.

20 So it talks about the potential
21 disturbance for heritage resources. We don't get
22 into a lot of detail about what could be there,
23 and so there is a lot of concern with people,
24 certainly from communities, knowing what kind of
25 heritage resource might be there. So we leave it

1 general, and we just put in the different measures
2 that should be followed for specific mitigation.
3 So these are measures that are very specific to
4 this site. And sometimes they change from site to
5 site; sometimes they don't.

6 Plant species of concern. This one,
7 is potential loss of species of conservation
8 concern from clearing, construction, maintenance

9 You will notice here we didn't -- a
10 lot of people ask us, "Well, what plant is this?"

11 Slowing down.

12 So one of the things that they ask is,
13 just plant species of concern: What kind of plant
14 is it? And we have to tell them. But it doesn't
15 matter what kind of plant it is; you follow this
16 mitigation, and this is what you are supposed to
17 do. Because some of these plants are rare plants.
18 We obviously don't want to publish these -- these
19 documents are public; we don't want to publish
20 this information for anybody to go and pick these
21 plants. The specific information is available to
22 the environmental inspector who is on site, if
23 they did need to know it, or of course they also
24 may be identifying -- there may be additional
25 plants that weren't identified during the original

1 delineation of this.

2 And similar concern that we hear about
3 cultural and traditional use sites, is the
4 community is very hesitant to give very specific
5 information, because -- you know, we do have to
6 put the stuff in and make it publicly available,
7 but we talked about ways by which we can mitigate
8 that concern by not -- by not identifying exactly
9 what is there, just saying -- "Here is what you
10 can't do there. It doesn't really matter what's
11 there; you can't do these things", or "This is the
12 mitigation measure that you're supposed to
13 follow."

14 Cultural and heritage resource
15 protection. The plan contains that information on
16 the resources and the procedures that Manitoba
17 Hydro and contractors, in the event of discovering
18 a previously unrecorded cultural or heritage
19 resource.

20 So there is a variety of steps that a
21 construction contractor is supposed to do. If
22 they are excavating a foundation, and they see
23 something that is foreign to them, that they think
24 might be a potential heritage resource, we provide
25 training to all staff on the construction project.

1 We do it in a variety of different
2 ways. We have video tutorials, which every
3 contractor staff will view, and it is simply a
4 presentation that's been recorded by our project
5 archeologist. But we also do hands-on training
6 with key folks like the environmental monitor, the
7 environmental inspectors, some of the construction
8 supervisors; or we bring an archeologist into a
9 room, prior to project start, and they describe
10 different artifacts that potentially could be
11 found and what a heritage resource looks like, so
12 that they are more knowledgeable about anything
13 like -- like prayer trees and tobacco ties. There
14 is an education that's given to those staff.

15 It is in videos; all those topics are
16 covered, but it is a much more hands-on
17 interactive process when we do it in a procedure,
18 office presentation style.

19 We have, as outlined, the procedures
20 which a contractor or a Hydro employee is supposed
21 to invoke, clearly outlined. If they suspect
22 anything, immediate stop of construction,
23 immediate buffering of the area, immediate contact
24 the project archeologist, take pictures, send it
25 to the project archeologist for further direction

1 of what to do.

2 A lot of times they will just stop
3 working in the area. A project archeologist will
4 come out the next day, and we will of course
5 contact -- once the archeologist is there,
6 depending on the nature of what it is, we have a
7 protocol in our cultural and heritage resources
8 protection plan that we ask communities to fill
9 in.

10 It identifies a key contact who we can
11 call if we do discover something. It identifies
12 any other -- it asks for any other information
13 about any other potential heritage resource types
14 or sites that they may know of.

15 But its primary focus is to have a key
16 person that we can call in the event that there is
17 a discovery. Having that clear line of
18 communication, sometimes -- you know, making a
19 call to the band office, it may not get somebody
20 out on site as quickly as we would like, so we
21 developed these protocols with communities, and we
22 invoke them as soon as there is some sort of
23 heritage resource discovered, so that everybody
24 can participate in the investigation and
25 discussion with respect to mitigation measures.

1 The plan also has an appendix that
2 contains a lot of examples of heritage resources
3 and keys that people can -- sorry, examples of
4 heritage resources that people can identify and be
5 familiar with what they could potentially see on
6 the landscape.

7 So the -- so what is the contractor's
8 role in environmental protection? Hydro develops
9 lots of different documents. We include all of
10 these documents as drafts in the tendering
11 process, so the contractor is fully aware of all
12 the environmental commitments that Manitoba Hydro
13 has made for this project, and that they have to
14 fulfill. It is all part of the tendering process,
15 so there is nothing out of the blue that -- "Oh,
16 we didn't budget for that."

17 It is all included in that process,
18 and they are ultimately accountable for all the
19 regulatory and environmental mitigation measures
20 implementation on the project. Manitoba Hydro is
21 there to inspect and ensure their compliance with
22 these documents, but they are responsible for
23 implementation of many components of it.

24 And as mentioned in previous, from
25 Mr. Penner, there are penalties. There is

1 penalties for non-compliance with the Construction
2 Environmental Protection Plan. Financial
3 penalties, stop-work orders; a variety of
4 mechanisms that Manitoba Hydro has to enforce on
5 its contractors compliance with its Environmental
6 Protection Program.

7 They are also required to have a
8 dedicated environmental officer on site, who is
9 responsible for contractor staff training,
10 mitigation measure implementation, and adherence
11 to the Construction Environmental Protection Plan.

12 So it is not Manitoba Hydro's
13 environmental inspectors out there baby-sitting
14 the contractor, making sure they are doing their
15 job, and there's just one of ours; we have a
16 requirement for the contractor to have their own
17 environment people on site, directing their
18 contractors and training their contractor staff
19 about how to implement the environmental
20 protection plan. Our environmental inspectors are
21 there to ensure their compliance.

22 I think from here I'm going to pass it
23 over to Mr. Wiens to talk about environmental
24 monitoring.

25 MR. WIENS: Hello. Good afternoon.

1 As James introduced, my name is
2 Jonathan Wiens; I'm a biophysical analyst with
3 Manitoba Hydro, and I'm here today to give an
4 overview of the draft environmental monitoring
5 program.

6 So I have a bachelor and master's
7 degree from the University of Manitoba. I also
8 have five years' experience with Manitoba
9 Conservation and four years' work experience with
10 Manitoba Hydro. I'm also a certified wildlife
11 biologist through the Wildlife Society.

12 So as a brief overview of my
13 presentation today, I'm going to try to cover four
14 main areas. I want to discuss why we do
15 environmental monitoring; some of the lessons
16 learned that we incorporated as part of this
17 monitoring plan; valued components, some examples,
18 including vegetation, mammals, birds, amphibians;
19 I want to discuss adaptive management, and finally
20 reporting.

21 So as I'm sure many of you have read,
22 within chapter 22 of the EIS, Manitoba Hydro
23 included a full and complete environmental
24 monitoring plan in a draft format. And to my
25 knowledge, I think this is the first time for a

1 Class 3 project that a full and complete
2 monitoring program was submitted as part of the
3 EIS.

4 And it is a pretty thorough document.
5 It is over 100 pages in length, and I can't -- I
6 don't think that I can do it justice within
7 20 minutes, so I'm going to try to pick some
8 highlights of this monitoring plan to help convey
9 to the Commission, to the audience, and to the
10 intervenors, the level of depth and information
11 that we've included in this monitoring plan, and
12 why we think it's done a really good job of
13 summarizing the key areas and doing a good job of
14 monitoring the project.

15 So why do we monitor? This is a slide
16 that I think is pretty important, and it was
17 something that we used as we developed the
18 monitoring plan from the beginning.

19 So some of the main questions are, you
20 know, we want to confirm the nature and magnitude
21 of effects. We want to assess effectiveness of
22 mitigation. We want to identify any unexpected
23 effects. We want to identify additional
24 mitigation measures. We want to confirm
25 compliance with regulatory requirements. And we

1 want to collect information to evaluate the
2 long-term changes or trends.

3 I think this is a pretty important
4 slide, because it underpins the entire purpose of
5 our monitoring program. And I'm going to refer
6 back to it at later stages within my presentation
7 today.

8 These are the six important factors
9 that we're constantly striving for within the
10 monitoring process for this project.

11 Lessons learned: I think this is a
12 familiar refrain for the Commission and everyone
13 who's been listening to these presentations over
14 the last week.

15 I want to speak how monitoring plans
16 for other projects conducted by Manitoba Hydro
17 have contributed to the development of the draft
18 monitoring plan for MMTP.

19 So the Wuskwatim transmission project,
20 the Bipole III transmission project, Keeyask
21 transmission project, and the Lake Winnipeg East
22 transmission project, all had approved
23 environmental monitoring programs as part of their
24 development. So all these plans helped us in
25 development of this draft plan for MMTP.

1 I think one of the key things that I
2 know, as someone who helped work in development of
3 this plan, was important is that we actually
4 started the monitoring plan right in the VC
5 selection process, so right at the beginning of
6 the project planning phase, we designed many of
7 our field programs and our data-collection process
8 to contribute to developing monitoring as the
9 project proceeded.

10 So it wasn't an afterthought; you
11 know, post project or post assessment, we thought
12 about monitoring. It was something that we
13 thought about right at the beginning of the
14 process.

15 We used statistically measurable
16 designs to ensure that we have information that we
17 can collect from the beginning right through
18 postconstruction, and have a valid scientific
19 approach as to understanding changes that we are
20 trying to measure throughout the project phase.

21 We've also employed third-party peer
22 review in this project, so the document you
23 received in the EIS hasn't been just developed by
24 us, but we have actually gone ahead and had
25 additional peer review of the document to make

1 sure that we've had a good cross section of
2 information included.

3 In this slide, I just want to
4 highlight some of the successes that Manitoba
5 Hydro has in working with indigenous groups,
6 including First Nations and Metis, as part of
7 monitoring projects for other projects, like
8 Keeyask, Bipole, and Winnipeg East.

9 I know there is some really good
10 examples from the Bipole project, where Manitoba
11 Hydro has worked with community members to do
12 traditional use plant surveys, to understand
13 traditional use plant harvesting sites.

14 And the picture on the bottom is a
15 good example, I think, of some work we did with
16 students from Otter Nelson School in The Pas, to
17 help incorporate their experiences -- pardon me,
18 help incorporate some interest they had in
19 wildlife and some of the interest we had in trying
20 to understand the distribution and the parasite
21 loading in white-tailed deer in the northern edge
22 of their range.

23 These are just a small handful of
24 examples where we've utilized the monitoring
25 process as part of further engagement with First

1 Nations and Metis, as part of the monitoring
2 process. And we look forward to continuing to
3 work with First Nations and Metis as part of our
4 indigenous monitoring working group, which has
5 been discussed at other panels here this week
6 already.

7 So we've had a lot of discussion about
8 the valued component selection process, so I won't
9 go through that again. But I just want to
10 highlight these five core areas that are an
11 important part of our monitoring program. And I'm
12 going to give just high-level overviews of what we
13 are hoping to do within this draft monitoring
14 program, and then I'm going to pick a subset of
15 these and provide you a little more detail about
16 what exactly we are proposing to do on the ground
17 and throughout the monitoring process.

18 For fish and fish habitat, as we've
19 already heard in previous panels, we're going to
20 be doing stream crossing assessments on key areas
21 along the project right-of-way.

22 For vegetation and wetlands, we're
23 going to be identifying and monitoring wetlands,
24 plant species of conservation concern, invasive
25 plant species, and traditional use plant species.

1 Wildlife and wildlife habitat, we're
2 going to be looking at amphibians, common garter
3 snakes, birds, ungulates and predators, and black
4 bear.

5 Under employment and the economy,
6 we're going to be working to monitor project
7 employment, direct and indirect business
8 opportunities, direct labour income, and taxes.

9 Under infrastructure and services, we
10 are going to be conducting a traffic monitoring
11 survey.

12 Now, this slide, I think, looks pretty
13 busy, and it is probably hard to read from a
14 distance, but if you flip through the
15 environmental monitoring plan, under Table 4, you
16 will find this under the schedule.

17 And I think it is an important
18 component of the monitoring plan, because it lays
19 out what I feel is a clear way of describing the
20 valued components that we are monitoring, the key
21 activities that are going to be conducted for each
22 monitoring component, and then a breakdown in the
23 schedule where we propose to conduct much of this
24 monitoring work as part of preconstruction,
25 clearing and construction, and finally

1 postconstruction.

2 So what I hope this provides evidence
3 of is careful thought that we put into studying
4 the valued components, the activities we are
5 proposing to conduct, to understand changes as
6 part of the monitoring program, and then an actual
7 schedule that outlines when we are proposing to do
8 this work, reflective of when this work needs to
9 be done.

10 So under each one of the key
11 monitoring activities, which I believe there is 22
12 of them in total, you will find in the monitoring
13 plan that we have a breakdown of not only when we
14 are going to do it, but even more detail,
15 including timing, the methods, the parameters we
16 are going to measure, the duration, the frequency,
17 the metrics.

18 And one thing that I think is quite
19 novel, and probably speaks to our incorporation of
20 adaptive management, is a section dedicated to
21 decision triggers and thresholds for action. I
22 hope, within this presentation, I can help convey
23 how the monitoring plan is not simply a process to
24 gather information, put it in a report, and file
25 it, but rather helping Manitoba Hydro in the

1 course of its operations to improve, to learn, and
2 to continually adapt, based on information we're
3 learning through this process.

4 I'm going to speak to some examples
5 coming up now. So I'm going to speak to four
6 individual key monitoring activities, that being
7 traditional use plant species, amphibians, birds,
8 and ungulates and predators.

9 Now, each of the 22 components I
10 listed on the previous slide have a detailed
11 breakdown, but in the interest of time and
12 interest of this panel and the Commission, I
13 wanted to focus on these four as examples. But
14 feel free to read through the document, if you
15 wish, to learn about what we are proposing to do
16 for the other monitoring activities.

17 Under traditional use plant species,
18 we had the benefit of land use and Aboriginal
19 traditional knowledge studies provided by eight
20 different communities listed here. All of these
21 communities provided information that reflected
22 their interest and their appreciation of
23 traditional use plants. And so, by going through
24 these Aboriginal traditional knowledge and land
25 use reports, we were able to take the information

1 and not only recognize its importance, but to also
2 develop a draft monitoring plan.

3 What we are proposing to do is to set
4 up long-term vegetation monitoring plots at key
5 traditional use sites identified within the
6 reports provided by the communities.

7 As you can see on this slide of the
8 project area, there is -- you know, the
9 transmission project is quite a length, all the
10 way from Dorsey down to Minnesota; and the green
11 dots represent areas where we are proposing to do
12 some sort of vegetation monitoring, whether that's
13 invasive plant species, or species at risk, or
14 species of conservation concern. The red dots are
15 areas that we've identified as being suitable or
16 good areas to conduct traditional use plant
17 monitoring.

18 Now, how did we arrive at those 14 red
19 dots on the map? Well, we went through the eight
20 reports that were submitted that provided
21 information on traditional use plants, and we
22 selected areas that represented areas that were
23 important for traditional use. So we used the
24 information provided, and have developed these
25 areas as spots where we propose to do long-term

1 monitoring prior to construction and through
2 postconstruction, to help understand any potential
3 changes to traditional use plant species.

4 Now, of course, this is still a draft
5 plan, and we are looking forward to continuing to
6 work with the indigenous monitoring working group
7 to improve or augment or confirm that these are
8 the locations that they feel are important for
9 understanding changes to traditional use plant
10 species.

11 As I spoke to you before, we have
12 those five -- I guess there is six main monitoring
13 questions that I outlined on Slide 5. And our
14 objective under each one of these key activities
15 is to answer those questions. Are we trying to
16 confirm that the magnitude was assessed correctly?

17 And there is a whole list of questions
18 that we really want to confirm for each one of
19 these monitoring activities. But what I want to
20 focus on for each one of these examples is our
21 decision triggers and thresholds for action.

22 Each one of our activities has these
23 specified and outlined in the monitoring plan, and
24 as an example, under traditional use plant
25 species, we have outlined that -- you know, if we

1 identify the significant unexpected decrease in
2 the abundance of traditional use plant species,
3 excluding trees, at locations identified by
4 communities in the PDA, what will we do? What is
5 our decision trigger?

6 Well, we have a plan in place that if
7 we identify that there has been a reduction, we
8 will report those results to the community that
9 identified the area and discuss mitigation
10 measures, such as opportunities for revised
11 vegetation management options.

12 We don't want to be very prescriptive,
13 because we can't anticipate every possible
14 outcome; but what we tried to incorporate in this
15 monitoring plan is just some general possible
16 outcomes, and how we are going to actually, as a
17 corporation, working towards adaptive management,
18 how can we change or adapt our operations to
19 incorporate this information we are learning
20 through our monitoring program.

21 Next, I just want to move to an
22 example of amphibians. There is two main species,
23 and we had a really good panel discussion on
24 amphibians prior to this. So the two I think that
25 are really quite important, as we've identified,

1 are northern leopard frog and eastern tiger
2 salamander.

3 This is a map showing areas that we
4 have already done some baseline data collection
5 for amphibians. And if you see the blue dots on
6 the screen, those are areas that we have done
7 analysis -- or we've done field surveys to
8 identify the amphibian communities in those areas.

9 The red dots represent areas we are
10 hoping to do more monitoring, as part of
11 preconstruction, construction, and
12 postconstruction. These sites would be areas
13 where we can understand potential changes to the
14 amphibian community, specifically focusing on
15 leopard frogs and tiger salamanders.

16 Some of the approaches we're hoping to
17 incorporate include some very basic measurements
18 that most biologists or scientists are familiar
19 with, using cool things like adult call surveys,
20 visual encounter surveys, funnel trap surveys, and
21 some basic water quality monitoring.

22 One species that I think is quite
23 interesting, and perhaps deserves a little extra
24 attention, is the eastern tiger salamander. Now,
25 we had a good presentation by Marcel Gahbauer

1 prior to this, where he spoke about some of the
2 endangered species in the region and the
3 mitigation that's proposed in the assessment. I
4 just want to speak briefly about how I think this
5 particular species -- this particular species is
6 quite unique.

7 In looking at the literature, you
8 might find yourself quite worried about the status
9 of the eastern tiger salamander, given that it is
10 listed as endangered, and Manitoba Hydro is
11 proposing a project in the one area in Canada
12 where this species is known to occur.

13 What I would like to just help convey
14 here is that we are proposing to do a monitoring
15 program for the eastern tiger salamander, but I
16 don't think we need to perhaps have quite the
17 level of worry as we might initially feel.

18 The scientists in 2001 identified that
19 we've probably, through DNA analysis, have two
20 separate species of tiger salamanders in North
21 America. So they did some DNA analysis, and when
22 they drew the new lines about where various
23 species occur, they drew a line from -- pretty
24 much Winnipeg down through Texas.

25 And as a result of very little field

1 work and a poor understanding of the distribution
2 of the species in Manitoba, mostly because we
3 thought they occurred in very high numbers
4 throughout the western part of the province, we
5 realized that we didn't have a good sense of where
6 these animals occur east of the Red River.

7 So when you do the literature review,
8 and when COSEWIC, the Committee on the Status of
9 Endangered Wildlife in Canada, I reviewed the
10 literature; then I realized that there were only
11 about six or seven sites in eastern Manitoba where
12 this species is known to occur. Not necessarily
13 because they are rare, but mostly because no one
14 has ever spent time looking for them in this
15 general location.

16 So Manitoba Hydro is concerned about
17 this, obviously, but we also -- we know that
18 through this monitoring process, not only can we
19 collect information that would be useful to the
20 scientific community, enhancing the understanding
21 of where the species is, because there has been
22 very little research on where the species actually
23 occurs in Manitoba, but the mitigation measures we
24 have incorporated and planned for this project
25 will be helpful in mitigating any effects to this

1 species.

2 But as a side benefit -- and I think a
3 benefit that many people, I'm sure, in the
4 scientific community will appreciate -- is the
5 effort Manitoba Hydro is doing to further
6 understand the range and the locations of this
7 species. Because our project will be traversing
8 an area that may support the species. And
9 actually, as part of our field studies in 2014, we
10 actually added an additional occurrence of the
11 species.

12 So I think there is some side benefit
13 to some of the monitoring work we are going to be
14 doing, not only for the project, but for the
15 greater scientific understanding of this
16 species -- and others, obviously.

17 Sorry, that was a bit of a sidebar. I
18 really like those little critters, so I like to
19 talk about them as I can.

20 Once again, we want to answer those
21 main monitoring questions. On Slide 5, we have
22 those five main pillars, I'm calling them, of our
23 monitoring program; we are going to be striving to
24 try to understand our effects on the species
25 through the monitoring process by answering those

1 five essential questions.

2 But we also have decision triggers
3 built in. So if we identify something, such as an
4 insufficient riparian buffer, a decline in
5 breeding activity of northern leopard frogs in the
6 project infrastructure, or even perhaps the
7 discovery of another location where the eastern
8 tiger salamander occurs, we have some actions in
9 place. And we have listed them on this slide, but
10 also in the monitoring plan.

11 And again, I think this is further
12 evidence of how we are hoping to incorporate
13 adaptive management into our process, and not
14 simply take the data and file it in a report, with
15 no feedback mechanism.

16 Birds. So this is another area that
17 we've heard, like many species in the monitoring
18 program, from public engagement, First Nation and
19 Metis engagement has been very important.

20 So we have four areas we're looking to
21 monitor for birds. These include bird-wire
22 collisions, species of conservation concern,
23 sharp-tailed grouse leks, and aerial stick nests.

24 Again, I have a map here showing where
25 we've done some survey work so far, to help

1 understand where bird collision survey risk may be
2 elevated. We had the benefit of looking at sites
3 near the proposed transmission line to help us
4 understand where there may be an elevated risk.
5 And so by using that information, and using
6 professional judgment and information we've
7 gleaned from other projects, we were able to
8 identify bird environmentally sensitive sites, and
9 those are indicated in red.

10 So we've already thought ahead enough
11 to figure out where we believe we need to put
12 added mitigation, and then also subsequent
13 monitoring of bird collision risk.

14 The next species -- I know we've heard
15 about this species already in the previous panel,
16 but I want to reiterate how we are committed to
17 the golden-winged warbler. This species does have
18 identified critical habitat, as outlined by
19 Environment Climate Change Canada.

20 The hatched area on this map indicates
21 the critical habitat identified by Environment
22 Canada in their recovery strategy. Now,
23 southeastern Manitoba is not the only place where
24 this species occurs in Manitoba; they are found
25 through the Interlake and through Riding Mountain

1 and Duck Mountain.

2 We know that we have sort of an added
3 responsibility for this species within this
4 portion of their critical habitat, and so what
5 we've proposed is two-part. One is a clearing
6 plan that recognizes that certain habitats are
7 actually preferred for this species, and so we are
8 looking to monitor whether or not the clearing
9 that we've proposed in these areas is going to be
10 effective at providing habitat for golden-winged
11 warbler. And secondly, we are going to be doing
12 point counts and callback surveys to help
13 understand whether the density of golden-winged
14 warblers during the breeding season -- which is
15 what we're hoping they'll utilize the area for --
16 whether the density is the same, or even better,
17 perhaps, as -- after the project is developed.

18 Sharp-tailed grouse. That's another
19 species that we heard a bit about in the previous
20 panel. Sharp-tailed grouse have a unique life
21 history characteristic whereby the males
22 congregate on a small patch of land every spring
23 to show off their dancing and try to impress the
24 female sharp-tailed grouse in their given region.

25 So they can be somewhat sensitive

1 during this breeding season. So what we want to
2 understand is whether the transmission line
3 changes, perhaps, the abundance of sharp-tailed
4 grouse on their traditional lek sites, and even
5 try to understand if there is any behavioral
6 changes. We don't quite know very much about what
7 might happen with sharp-tailed grouse near a
8 transmission line, and so we are going to be
9 testing some hypotheses as part of our monitoring
10 program.

11 And we will be using some unique
12 technology there, such as trail cameras, and some
13 traditional methodologies, like flush counts.

14 So we are going to try to answer those
15 main monitoring questions, again, from Slide 5,
16 but we also have some action -- some decision
17 triggers or thresholds in place to help us
18 determine what we should do if we identify things
19 in the monitoring program, and how we can improve
20 our activities and our operations moving forward.

21 It is quite a bit of text here; I'm
22 sure you can read this within the environmental
23 monitoring plan, but I just think it is important
24 to emphasize that we have options here to
25 primarily work with the regulators, to help them

1 inform us, as a utility company, what we can do to
2 improve our operations and improve our performance
3 on the landscape.

4 I think it is also important to
5 remember that we could -- definitely want to work
6 with an indigenous monitoring working group, to
7 also have them as part of this monitoring process,
8 so that we can seek guidance and information from
9 community members as to what they would like to
10 see happen, in the event that certain outcomes are
11 identified as part of the monitoring process.

12 Ungulates and predators; so this is
13 another portion of the monitoring plan. These
14 were valued components that were identified
15 through the assessment process, through public
16 engagement and through the First Nations and Metis
17 engagement process. So we have three main species
18 that we were interested in investigating here as
19 part of our monitoring program. These include
20 white-tailed deer, elk and wolves.

21 So this is kind of a fun slide.
22 Manitoba Hydro, as part of our preconstruction and
23 baseline data collection, has established two
24 large aerial survey monitoring plots as part of
25 our project. And so what you see here is actually

1 the results of our 2017 monitoring process. What
2 we have is a heat map that we developed based on
3 the number of white-tailed deer sightings in our
4 monitoring, 20 by 20 kilometre monitoring plots.
5 And what we are hoping to utilize this data for is
6 to help us understand the number and the relative
7 distribution of white-tailed deer within the
8 project area. And this data has been collected
9 already, and it is proposed to continue to be
10 collected in a systematic way through
11 preconstruction, construction and
12 postconstruction.

13 So what we've set up here as part of
14 our program is a systematic way to help us
15 understand any changes to, not only deer, but any
16 other large mammal that may be found within the
17 project monitoring area.

18 The red and green dots are areas where
19 we are proposing to put up trail cameras as part
20 of pair-wise monitoring program. This is how we
21 can not only learn about animal use during the
22 winter when an aerial survey is traditionally done
23 under appropriate snow conditions, but also
24 understand changes through other seasons,
25 including the spring, summer and fall.

1 If you are not familiar with trail
2 cameras, I think they are a really neat technology
3 that has helped wildlife biologists and others
4 actually understand the movement patterns and even
5 relative abundance of various species in different
6 habitats. So as a slide here, we used them
7 extensively in other projects and they are
8 effective in helping us understand the use of
9 various areas by species like white-tailed deer,
10 sandhill crane, bear, wolves, raccoon and even
11 animals as small as red fox. So when they are
12 applied and put up in a systematic manner, they
13 can really effectively help understand the use of
14 various wildlife species of a given area, either
15 on a right-of-way or off a right-of-way, as we are
16 proposing to monitor with this project.

17 Manitoba Hydro is also engaged in
18 sponsorship of other research projects in
19 southeastern Manitoba. And one I want to
20 highlight here is a project that we are sponsoring
21 with a student, he is actually from southeastern
22 Manitoba. He is a Metis gentleman from Great
23 Falls. And he is actually doing a PhD project on
24 the ecology of wolves in southeastern Manitoba.
25 He is doing this research project through Memorial

1 University in Newfoundland and Labrador. And he
2 is actually taking on this project as part of a
3 PhD. And what he wants to understand is the
4 relative use of linear features and natural
5 features of wolves as they roam through an area
6 known as game hunting area 26 in southeastern
7 Manitoba.

8 So what we are hoping to learn through
9 this project is to what degree wolves utilize
10 natural features and other linear features as they
11 go about their daily and monthly and annual
12 movements.

13 So this information that we will learn
14 through this project with this student will help
15 us in developing future projects, and also help us
16 in mitigation and operation of existing
17 transmission lines in Manitoba. We are really
18 excited to be working on this project multi-year
19 project with this PhD student.

20 One of the things we heard through our
21 engagement process was the importance of an elk
22 herd in southeastern Manitoba. And as part of
23 that engagement process, we also became aware of a
24 monitoring program that was going to be
25 established between the RM of Stuartburn, the

1 Nature Conservancy of Canada and Manitoba
2 Sustainable Development. What they were proposing
3 to do was to conduct an elk collaring study to
4 help understand the home range and habitat use of
5 the elk in southeastern Manitoba.

6 So Manitoba Hydro provided some
7 funding, and we became partners in this project.
8 And so what has happened to date is over the last
9 18 months there has been two separate collaring
10 events, and now there are approximately 12 elk
11 that are collared in this herd in Southeastern
12 Manitoba.

13 This information has helped us confirm
14 the information that we presented in our EIS, but
15 it is also going to, in an ongoing way, help us
16 monitor the movement patterns of this elk herd in
17 southeastern Manitoba that we have heard so much
18 about.

19 So the project will not only help us
20 understand home range and habitat use and calving
21 sites and general movements, but a part of the
22 project is also an ongoing long term population
23 monitoring. So we are happy to be partnering with
24 those groups as part of this monitoring program.
25 And I think it is important to emphasize that it

1 is going to be continued as part of our monitoring
2 program here.

3 Again we have those five main
4 monitoring questions that we want an answer for
5 every one of our key monitoring activities. But
6 we also have some decision triggers and thresholds
7 for actions incorporated into this plan. So if we
8 do, for example, identify that elk have moved into
9 the area, as unlikely as it seems based on what we
10 have learnt to date, that's something that we have
11 an action plan for. And if we do identify that
12 there is changes in ungulate or predator
13 occurrence or distribution relative to the project
14 or relative to baseline data, we have got some
15 mechanisms in place to communicate with the
16 regulators and utilize new or better information
17 as part of our ongoing management of the line.

18 So this can include simple things such
19 as altering, changing, removing human access
20 points, or perhaps adjusting some management
21 schedules, or prescription of vegetation, based on
22 what we are observing through the monitoring
23 process. And then other things that we may learn
24 through ongoing communications with the regulator
25 and/or the indigenous monitoring working group.

1 Adaptive management; it is not just a
2 slide or a page in our management or monitoring
3 plan. I think we have tried to convey and
4 intertwine adaptive management principles
5 throughout our monitoring program. We recognize
6 that this is an important advancement in the
7 development of large projects such as the MMTP.
8 So we have I think constantly tried to incorporate
9 previous learnings and lessons from other
10 projects, and incorporate mechanisms for us to
11 learn while we are conducting our monitoring
12 process and feeding them back into our process,
13 into ongoing operations.

14 So we have communications, we have
15 documents, we have processes and procedures and
16 mitigation measures outlined within the monitoring
17 plan that are fed back through the process and
18 provide Manitoba Hydro with I think confidence
19 that we are continually learning and using the
20 principles of adaptive management within our
21 process.

22 Finally we have reporting. So this is
23 something that we do for all of our monitoring
24 plans, not only is it required through regulation,
25 but we want to make sure that we convey what we

1 learn through our monitoring plans to interested
2 parties. So what we do is we have an annual
3 submission and annual report that we will be
4 putting on our website. We will obviously be
5 exhibiting it to regulators, those being Manitoba
6 Sustainable Development or the NEB, and also to
7 any other groups that may be interested in getting
8 copies of the report, if they would like to get it
9 separate from what we provide on our website.

10 And then of course we are open to
11 providing presentations to anybody who is
12 interested in learning about our monitoring
13 process. So if a report isn't really suitable, we
14 would be more than willing to meet with anyone
15 interested to provide a presentation similar to
16 this, with respect to the outcomes of our
17 monitoring process, just like we do for our other
18 projects.

19 So I think in wrapping up, I think --
20 I'm hoping that what I have tried to convey is
21 that we have a comprehensive, adaptive and
22 responsive environmental monitoring plan that
23 builds on the learnings and successes of other
24 approved Manitoba Hydro transmission line
25 environmental monitoring programs.

1 Thank you.

2 THE CHAIRMAN: Does that conclude the
3 two for today then? Yes, it does. Do we have
4 documents to file?

5 MS. JOHNSON: Yes, we do. Just a few
6 today. MH060 are the answers to the undertakings.
7 Sixty-one is the first part of this presentation.
8 Sixty-two is the second part. CAC 004 is the
9 excerpt from the Practitioners Guide. I think
10 that's it.

11 (EXHIBIT MH-60: Answers to
12 undertakings)

13 (EXHIBIT MH-61: Part 1 of
14 Environmental Protection Program
15 Presentation)

16 (EXHIBIT MH-62: Part 2 of
17 Environmental Protection Program
18 Presentation)

19 (EXHIBIT CAC 004: Excerpt from the
20 Practitioners Guide)

21 THE CHAIRMAN: All right. Thank you
22 any administrative matters?

23 MS. JOHNSON: No.

24 THE CHAIRMAN: Okay. Well, then we
25 are adjourned for today. We will continue with

1 this presentation -- not tomorrow, not Monday, but
2 Tuesday morning at 9:30, right back in this room.
3 Is that correct? Yep. So we will be back here,
4 9:30 Tuesday morning. Enjoy the long weekend. We
5 will see you all then.

6 MS. JOHNSON: Could I just add? We
7 have this room all weekend. They have given it to
8 us for free, so if you want to leave things here
9 you are free to.

10 THE CHAIRMAN: All right. Thank you.

11 (Adjourned at 4:45 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OFFICIAL EXAMINER'S CERTIFICATE

Cecelia Reid and Debra Kot, duly appointed
Official Examiners in the Province of Manitoba, do
hereby certify the foregoing pages are a true and
correct transcript of our Stenotype notes as taken
by us at the time and place hereinbefore stated to
the best of our skill and ability.

Cecelia Reid
Official Examiner, Q.B.

Debra Kot
Official Examiner Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.
The unregistered version of Win2PDF is for evaluation or non-commercial use only.
This page will not be added after purchasing Win2PDF.