

MANITOBA CLEAN ENVIRONMENT COMMISSION

MANITOBA-MINNESOTA TRANSMISSION PROJECT

VOLUME 12

* * * * *

Transcript of Proceedings
Held at La Broquerie Arena
La Broquerie, Manitoba
SATURDAY, MAY 27, 2017

* * * * *

CLEAN ENVIRONMENT COMMISSION

Serge Scrafield - Chairman
Laurie Streich - Commissioner
Reg Nepinak - Commissioner
Ian Gillies - Commissioner
Cathy Johnson - Commission Secretary
Cheyenne Halcrow - Administrative Assistant
Mike Green - Counsel

DEPARTMENT OF SUSTAINABLE DEVELOPMENT

Elise Dagdick
Tracey Braun

MANITOBA HYDRO

Doug Bedford - Counsel
Janet Mayor - Counsel
Shannon Johnson
Maggie Bratland
Glen Penner
Shane Mailey
Jennifer Moroz

PARTICIPANTS

CONSUMERS ASSOCIATION OF CANADA (Manitoba chapter)

Gloria DeSorcy - Executive Director
Joelle Pastora Sala - Counsel
Max Griffin-Rill

SOUTHERN CHIEFS' ORGANIZATION

James Beddome - Counsel
Grand Chief Daniels

PEGUIS FIRST NATION

Jared Whelan
Wade Sutherland
Den Valdron - Counsel

MANITOBA METIS FEDERATION

Jason Madden - Counsel
Megan Strachan
Marci Riel

MANITOBA WILDLANDS

Gaile Whelan Enns

PARTICIPANTS

SOUTHEAST STAKEHOLDERS COALITION

Kevin Toyne - Counsel

Monique Bedard

Jim Teleglow

DAKOTA PLAINS WAHPETON OYATE

Warren Mills

John Stockwell

Craig Blacksmith

INDEX OF PROCEEDINGS

Opening remarks by the Chairman 2734

Presentations by:

Albert and Monique Bedard 2740

Catharina Kanellis 2751

Jerry Carrier 2800

David Dawson 2805

Presentation on electromagnetic fields

William Bailey 2762

INDEX OF EXHIBITS

NO EXHIBITS MARKED

INDEX OF UNDERTAKINGS

NO UNDERTAKINGS

1 SATURDAY, MAY 27, 2017

2 UPON COMMENCING AT 9:30 A.M.

3

4 THE CHAIRMAN: Good morning,
5 everybody, and welcome to the Clean Environment
6 Commission hearings, or continuation of the
7 hearings into the Manitoba-Minnesota Transmission
8 Project.

9 I did say a few words to give a little
10 background of what we are doing on Thursday. I
11 will try and shorten it up a little bit today and
12 talk a little bit for those who weren't here
13 Thursday.

14 So, back in December of 2015, the
15 Minister appointed the Clean Environment
16 Commission, which is an independent body set up by
17 the Minister through Order-in-Council. It is an
18 organization that's been around for -- in this
19 form, since the late '80s, early '90s, so --
20 25 years or more.

21 The Minister asked us to review this
22 project, review Hydro's environmental impact
23 statement connected with the project, and to make
24 recommendations back to the Minister. There was a
25 slight upgrade or revision to those terms of

1 reference in January of this year, and so we'll
2 now -- so we have now begun reviewing the Hydro
3 environmental impact statement, and we've also had
4 three weeks of hearings, and this, Thursday and
5 today, are the continuation of those hearings.

6 It was also very important for us to
7 be sure we heard from the people who live in this
8 part of the project area. The project, as you
9 know, does circle about halfway around Winnipeg,
10 and then heads east and then southeast towards
11 Minnesota. So we had given an opportunity for
12 people in the Winnipeg area to speak, and we
13 thought it important to come here and hear from
14 people in this area as well.

15 And we did hear some interesting and
16 thoughtful things on Thursday night, and we are
17 hoping to hear the same today. If you've
18 registered to speak, that's great; if you would
19 like to speak, you could just leave your name with
20 Cheyenne Halcrow at the back table.

21 Before we start, I will ask our
22 Commissioners to introduce themselves, for those
23 of you who weren't here Thursday. My name is
24 Serge Scrafield, and I'm the Chair of the Clean
25 Environment Commission.

1 MR. NEPINAK: I'm Reg Nepinak.

2 MR. GILLIES: Ian Gillies.

3 MS. STREICH: Laurie Streich.

4 THE CHAIRMAN: We also have Cathy
5 Johnson, who is secretary, and Mike Green, who
6 gives us legal advice; Bob Armstrong, who will
7 help us write the report, and then we also have a
8 person in charge of the sound system, and of
9 course, most important of all, someone who is
10 recording and produces a daily transcription of
11 all the proceedings.

12 So just by way of information,
13 everything that is said today is -- becomes part
14 of the record, and that day-to-day record is
15 available on our website, and you can view it
16 there, along with many of the documents that have
17 been submitted. All of them are not up yet, and
18 it will take time to get some of them; we have
19 many, many documents. But eventually they will
20 all be up there for anyone to look at, including
21 what we receive today.

22 The other thing I should mention, for
23 those of you today who don't want to make an oral
24 statement, you can submit a written statement to
25 us. And that is given equal weight, so it will be

1 reviewed -- read and reviewed by all four of us
2 and will be considered in reaching the
3 recommendations that we have to make to the
4 Minister. So we would encourage you to do that.

5 Even if you make an oral presentation,
6 it is still helpful if you submit something in
7 writing. If you prefer to do it in writing,
8 that's fine. If you know of other people who
9 aren't here but would like their views to be known
10 and heard, by all means encourage them to do so,
11 in writing, to us, and that can be submitted --
12 well, by the old-fashioned way, by letter, if you
13 prefer, or it will also be submitted through our
14 website and by email.

15 All right. I don't think that I will
16 spend much more time on the background. We have a
17 list of three or four presenters so far today. I
18 think we'll start with Ms. Bedard, because she is
19 all ready to go; is that right?

20 Why don't we start with you. We have
21 a person with a long background in electromagnetic
22 fields, and Hydro -- it is my understanding that
23 Hydro may offer to have that person say a few
24 words to -- on that topic. So the next speaker,
25 we will decide that after we hear from Ms. Bedard,

1 who is all set up.

2 Do we have the video working?

3 I should have mentioned, but everyone
4 will have to affirm at the start, so Cathy will do
5 that.

6 (Albert Bedard and Monique Bedard sworn)

7 THE CHAIRMAN: All right. It is all
8 yours.

9 MR. BEDARD: Dear members of the Clean
10 Environment Commission, let me introduce myself.
11 My name is Albert Bedard, and I'm speaking on
12 behalf of myself and my wife Monique.

13 We reside in the RM of Ste. Anne, one
14 mile north of the town of La Broquerie. We will
15 be making two parts in our presentation: First
16 the technical part, and then the story of us, of
17 our little paradise.

18 As affected landowners, we are
19 concerned with the close proximity of the MMTP to
20 our residence. As you already know, this Hydro
21 line that is proposed and preferred by Manitoba
22 Hydro is scheduled to pass on rural residences,
23 farms, and properties in and around the town of
24 La Broquerie.

25 Allow me to tell you a bit of our

1 story. We have built a one-storey home in 2012 on
2 an 80-acre parcel that we plan on living in until
3 our retirement age. Our home will be within
4 500 feet of the MMTP preferred route.

5 When we attended the open houses held
6 in La Broquerie by Manitoba Hydro in February of
7 2015, we had really hoped that Manitoba Hydro
8 would have selected the route more to the east,
9 avoiding the towns of La Broquerie and Marchand.

10 Upon viewing the maps and satellite
11 imagines at the open houses in Round 2, my wife
12 and I noticed something peculiar in regard to the
13 proposed route that was planned to go across our
14 property: Our home was not included in these
15 maps, and on satellite images. Even now, with
16 Round 3 over, and the final route preferred by
17 Manitoba Hydro, our home is still not on their
18 maps.

19 We had examined this on the Manitoba
20 Hydro website, and this is the picture that is on
21 the screen at the present time.

22 I truly believe that the satellite
23 images are terribly outdated, probably dating back
24 to 2010. And this is unacceptable. The images
25 should be up to date. This misleads people into

1 thinking that there is nothing there but trees.

2 We have printed some Google Earth
3 images for you, showing the actual yard site that
4 was completed in 2012. There is three pictures.

5 MS. BEDARD: I just wanted to zoom out
6 to show you that it was really our place. If I
7 had taken it like this, you might not have known
8 that it was our house.

9 MR. BEDARD: The line is proposed to
10 pass us on that westerly edge that you see. It is
11 a small tree line; that's where it is scheduled to
12 pass.

13 MS. BEDARD: Right here.

14 MR. BEDARD: Our major main concern is
15 the close proximity of the Hydro line to our
16 house.

17 That would be on Image 5.

18 160 metres, according to the image
19 that we took off of the Manitoba Hydro website.
20 Of course, you can't actually see our home,
21 because the inaccuracy of the images, but we have
22 put an arrow where the house actually is now.

23 MS. BEDARD: Right here.

24 MR. BEDARD: We feel this is much too
25 close, and would pose risks to our health.

1 In Image 6, this shows the distance of
2 the line to our garden, which is 99 metres. We
3 are not experts, but we think that the risk of EMF
4 exposure in our fruit and vegetables is highly
5 probable at this distance.

6 Upon further examination of the
7 Manitoba Hydro website, we discovered other
8 properties with houses or barns in our area that
9 are not shown on the images. This is giving false
10 information to the viewer, being again
11 unacceptable.

12 Another one of our main concerns about
13 this power line placement is its close proximity
14 to our community, being near homes, schools,
15 farms, and businesses in and around La Broquerie.

16 Even though claims of EMFs not being
17 harmful or having potential health hazards, we
18 believe there is still the fear of the unknown
19 long-term effects of living too close to these
20 lines. Are we to find out in years to come that
21 because of exposure, people will have side effects
22 and health issues?

23 We do realize that every day -- that
24 every living organism doesn't have the same
25 reaction to its environment. But are we willing

1 to take that chance? We rather would not. Many
2 people are afraid; they fear the unknown. Fear
3 creates stress, and stress leads to health issues.
4 We don't want or need the stress.

5 And now the personal side of our
6 story. We have a large garden where we grow our
7 own vegetable -- sorry. Excuse me.

8 Our little paradise. In order to
9 understand the intensity of the love we have for
10 our home and land, you must know our story. My
11 parents first bought the property in 1949. They
12 lived there for five years, and then moved to town
13 because my oldest sister was to start school, and
14 there was no bus transportation at the time.

15 But they still kept the farmland to
16 raise cattle and seed crops. From when I was a
17 little boy of about nine years old to the age of
18 18, I worked on the property I now call home. It
19 is something I'll never forget. I'll always be a
20 farmer at heart. My father and I used to bale hay
21 and take care of the animals together on the
22 80-acre parcel we now own.

23 Many good memories come to mind when I
24 look out in the field, and many things remind me
25 of my youth. The land becomes part of your soul.

1 I had always wanted to buy this land from my
2 parents and raise our family, but my father was
3 never ready to sell.

4 So we patiently waited. We would take
5 our family out to the farm for picnics, in the
6 meantime, and waited for the day when we could own
7 the property. We waited over 30 years before my
8 father was ready to sell it to us.

9 We bought it in 2009. My wife and I
10 were ecstatic. We could finally build our home
11 and live on what we called our little paradise.
12 We sold the house we were living in at the time,
13 carefully chose what we were going to build, and
14 created our own house plans.

15 Since our intention was to live here
16 well into our golden years, we would build a
17 one-storey home, with wrap-around porch to
18 accommodate a wheelchair if ever needed.

19 I started building our home with my
20 best friend in the spring of 2011. It took a
21 whole year to build. I put a lot of time and
22 effort into building the right home for my wife
23 and I. It was a labour of love.

24 Now having -- living here for the past
25 five years, we have come to appreciate and love

1 our little paradise that much more. We sit on our
2 porch and hear the water flow in the creek just in
3 front of our home. We see the wildlife all around
4 us and find that we are very fortunate to live in
5 such a beautiful place. It is something that is
6 priceless; you just can't put a price on something
7 like that.

8 We have a large garden where we grow
9 our own vegetables and fruit, organically, and are
10 very proud of the fact that we have always been
11 organic. In this day and age, where living
12 healthy is of utmost concern, we do our best to
13 live in a healthy environment. That includes
14 eating fresh fruits and vegetables that we grow
15 ourselves, and being at peace in a beautiful
16 setting.

17 Another thing we do to stay healthy is
18 take walks down our mile road every day. If the
19 line is to be built, we would be exposed to EMFs
20 every time we walk under it. We will also be
21 exposed every day as we drive in and out of our
22 property. Over the course of many years, we
23 believe this could be dangerous to our health.

24 MS. BEDARD: If you look at Slide 7
25 here, this is our driveway coming out. I don't

1 know why I couldn't print the whole line here; I
2 tried to, and I couldn't.

3 It goes right through here. This is
4 our mile road, where we take our walks. And this
5 is our driveway. So we would be coming out here,
6 and driving under it all the time, and walking
7 under it.

8 MR. BEDARD: The love we have for our
9 home and land is immeasurable, and we are saddened
10 by the prospect of having towers and power lines
11 staring us in the face every time we will be
12 outside on our property. We just can't imagine
13 how it will ruin our landscape.

14 One of our favorite things is to have
15 bonfires in the back of our property and watch the
16 sun set. How can we enjoy that if we would be
17 staring at power lines and towers?

18 We would like to conclude by saying
19 that life is full of wonderful things. We lead
20 our busy lives, we work hard every day, only to
21 want to come home at the end of the day to a safe
22 and happy environment. To feel at home, to enjoy
23 what is good in life, like sitting on our front
24 porch and appreciating the view, this is what we
25 strive for, live for, and we want to keep our

1 little paradise just as it is.

2 Thank you to the Clean Environment
3 Commission for selecting La Broquerie for public
4 sessions, and thank you for taking the time to
5 listen to our personal stories and hearing our
6 concerns.

7 THE CHAIRMAN: Did you have a video as
8 well?

9 MS. BEDARD: Yes. Yes.

10 THE CHAIRMAN: Are you able to show it
11 by --

12 MS. BEDARD: Yes. My husband can hold
13 it. I'm not sure if we are going to hear sound,
14 but we will try.

15 THE CHAIRMAN: I was going to suggest,
16 if you can get it going at some point horizontally
17 today, we can watch it later. Or you can send it
18 to us as well, so that we can watch it after.

19 MS. BEDARD: I can give you the USB.

20 (Video playing.)

21 MS. BEDARD: I will start the other
22 one.

23 That's the wrap-around porch that I
24 was talking about.

25 This is our front view. We can't see

1 our neighbours at all.

2 That's the creek. You can't see the
3 creek, but that's where it is.

4 This is our garden, where the line
5 will pass, it would be along this stretch here.
6 And if you look at the map, these trees will be
7 gone.

8 So that's our shelterbelt from the
9 west side.

10 Our garden is right here. And this is
11 where they want to pass the line, where that tree
12 line is there. All these trees will be gone if
13 they pass the line.

14 And that's it.

15 THE CHAIRMAN: Thank you very much for
16 that, and you've got a very steady hand holding
17 that. I think if I held it, I would have trouble
18 keeping it on the screen there, but that's -- all
19 right.

20 Are there any questions for
21 clarification from the panel? I should -- and I
22 did mention this on Thursday: We don't ask
23 private citizens who are making presentations to
24 be subject to the same kind of cross-examining
25 that we do for some of the other people who have

1 been testifying, but we do ask questions, just to
2 clarify, to be sure we understood, if we have any.

3 So... anyone got questions?

4 I just had one or two about the video.
5 I don't think you've got to put it back on.

6 So when we are looking at the garden,
7 the one where you are looking at the garden, you
8 pointed to the trees at the end of it. Which
9 direction are we looking at?

10 MS. BEDARD: West.

11 THE CHAIRMAN: And when you go to
12 field beside the garden, that's looking in which
13 direction?

14 MR. BEDARD: That's looking north.

15 THE CHAIRMAN: That's looking north;
16 okay. So I have got it. So your driveway
17 actually turns on the way out; right?

18 MR. BEDARD: Um-hum.

19 THE CHAIRMAN: I was turned around
20 about 90 degrees there, but now I have got it.
21 Okay.

22 So looking north, and the line at that
23 point would be coming from north to south?

24 MS. BEDARD: Correct.

25 THE CHAIRMAN: Then I've got it. No

1 other questions. That was a very helpful
2 presentation, very thoughtful, obviously, and the
3 video really put a perspective on it.

4 So thank you very much for that, and
5 we will take that and all of the other
6 presentations that we hear into consideration. So
7 thank you.

8 MS. BEDARD: Thank you.

9 THE CHAIRMAN: My fellow panelist, on
10 the left here, was again straightening out my
11 sense of direction, so I think I do have it now.

12 All right. Before we go to the next
13 presentation, I would first of all like to ask
14 Hydro whether -- do they have a preference when
15 they would like to have Mr. Bailey talk about the
16 electromagnetic fields? No preference?

17 Okay, then I think we will go ahead
18 with our next presenter, if that's acceptable with
19 everyone, and that would be Catharina Kanellis.

20 MS. KANELLIS: Can you hear me now?

21 THE CHAIRMAN: Now we can, yes. It is
22 unfortunate, but you do have to speak fairly close
23 to these mics. They are going to ask you to
24 affirm before you start, so Cathy will do that.

25 (Catharina Kanellis sworn)

1 THE CHAIRMAN: It is all yours.

2 MS. KANELLIS: Thank you. That was a
3 very good presentation my stakeholder partner
4 presented. I didn't realize that we could do
5 photographs and stuff like that, so --
6 fortunately, I have a few on my phone, if that's
7 possible to show you. My presentation isn't very
8 long.

9 My name is Catharina Kanellis; you can
10 call me Kitty. I represent a family of seven. We
11 live in the RM of Springfield, at 37070 Centre
12 Line Road, on the northwest section of 17-10-7
13 East, approximately three miles southeast of the
14 town of Anola.

15 From the Mission corridor, the
16 proposed MMTP turns south, crossing municipal land
17 first before crossing over our land, dividing it
18 into two sections. In Round 1, it continued
19 south, crossing over the Winnipeg Water District
20 right-of-way and following the Eastdale Road. The
21 trouble was, the line was almost on top of several
22 homes along that route.

23 On the aerial map that Manitoba Hydro
24 provided, our house was visible. However, the
25 newer homes along Eastdale were not indicated.

1 One of those houses was built about 15 years
2 previous.

3 At the time of those early meetings,
4 the same question kept coming to mind: In this
5 day and age of Google maps and GPS and the like,
6 how come or why was Manitoba Hydro using outdated
7 maps? What was their methodology? It made
8 absolutely no sense. And from what I hear they
9 are still doing the same thing. Why?

10 I know if -- I know if Manitoba Hydro
11 were to -- let me see.

12 I know if Manitoba Hydro hired me to
13 create a route, one of the first things I would do
14 is get a current map. Makes sense.

15 In Round 2, Manitoba Hydro solved the
16 problem by using two corner towers, with a tower
17 in between, on less than a quarter-mile stretch of
18 our land, going from west to east along the
19 Winnipeg Water District right-of-way. This now
20 has us surrounded on two sides, west and south.

21 At least they moved the lines further
22 away from my neighbours on Eastdale Road.
23 However, my house faces west. Each evening we
24 enjoy phenomenal sunsets. In front of that sunset
25 is a tamarack forest, a bog forest, and it is just

1 breathtaking. A couple of weeks ago, we had a
2 sunrise rainbow so big I couldn't catch it on one
3 shot of my camera. All this will be marred by the
4 lines.

5 I'm sorry, but it begs the question on
6 what criteria or methodology were the route
7 decisions made? The idea of having such enormous
8 towers, lines, and power running along two sides
9 of our property boggles my mind.

10 The line that runs from the north to
11 the south crosses through bogland. It is dressed
12 in reeds and bulrushes, black spruce, and
13 tamarack, willow, and poplar. It is home to a
14 wide variety of birds and animals, plants and
15 herbs.

16 We live in the Cooks Creek
17 Conservation District. At one time, Edie Creek
18 ran through our land. Before our time, it was
19 diverted, and runs east to west along Centre Line
20 Road on the north side of our property, and that's
21 where our driveway is.

22 About a mile and a half northeast of
23 us, as the crow flies, it flows into a sizeable
24 wetland and large pond that is a nesting ground
25 for waterfowl, as well as a spring and fall

1 resting place for migrating birds.

2 The land is owned by Win-Toba Kennels.
3 They are affiliated with Ducks Unlimited, and over
4 the years together, they have created this area
5 and continue to develop it.

6 I'm greatly concerned that the
7 contractors Manitoba Hydro hires to keep the brush
8 under control will use herbicide in sensitive
9 areas. I know people who live along the Mission
10 corridor; they are on a no-herbicide list. If
11 they are not at home when these contractors show
12 up, they do use herbicides instead of cutting the
13 brush.

14 If I should be not at home one day
15 when they show up, it seems to me that Manitoba
16 Hydro has no control over the contractors they
17 hire. Their guarantee to us that no herbicides
18 will be used under the lines cannot be kept and
19 cannot be trusted.

20 The herbicide is used -- if the
21 herbicide is used on our land, the bog drains into
22 the creek, and the creek flows into the protected
23 wetlands managed by Win-Toba Kennels, and from
24 there it continues on.

25 I'm deeply concerned about all of the

1 above issues.

2 We do not use allopathic medicine. We
3 use the herbs that grow naturally wild in the
4 field and/or in our garden. My husband is a
5 Type 2 diabetic, and he only uses herbs to control
6 his illness. Using herbicides on the proposed
7 Hydro corridor could drift and compromise his
8 health, as well as other members of our family.
9 We grow organically. This too could be
10 compromised.

11 I'm deeply concerned about all of the
12 above issues, living things, for my family, my
13 neighbours, my fellow stakeholders, and for
14 myself. The sentiments expressed by Albert and
15 Monique, I can relate to those.

16 Thank you for your time and for your
17 patience.

18 THE CHAIRMAN: Thank you very much.
19 We will see if there is any questions -- these are
20 just questions for clarification. That was a
21 very -- again, a very personal and very well
22 put-together presentation, so thank you.

23 Any questions from the panel?

24 MR. GILLIES: I have one. Are you --
25 it is Ian Gillies here.

1 Is your residence on the southern loop
2 portion of the Hydro transmission line, or is it
3 on the portion that comes down from the southern
4 loop?

5 MS. KANELLIS: We are the first
6 property -- privately-owned property that the
7 Hydro line comes across when it turns off of the
8 mission corridor.

9 THE CHAIRMAN: Between us, we have a
10 question, but it might involve using the map,
11 which is a long ways away.

12 But are you close to the corner
13 where -- if I understood right from the last
14 question, you are close to the corner where the
15 line turns south?

16 MS. KANELLIS: Yes, the Mission
17 corridor, the line turns south.

18 THE CHAIRMAN: Right.

19 MS. KANELLIS: Winnipeg Water District
20 line, in order to avoid the houses along Eastdale,
21 they had to turn it. It hits the District line,
22 and then it follows along the District line.

23 THE CHAIRMAN: Okay. So --

24 MS. KANELLIS: So we have that
25 approximately -- it is less than a quarter mile,

1 with two huge corner towers.

2 THE CHAIRMAN: Oh, so that's what you
3 meant when you said --

4 MS. KANELLIS: Tower in the centre.
5 And then it crosses the right-of-way, and it
6 avoids the houses along Eastdale -- not by far,
7 but by enough.

8 THE CHAIRMAN: And the line where it
9 turns, there, is on a bit of a diagonal?

10 MS. KANELLIS: I think so, yes. Yes,
11 because it follows -- yeah, it follows that
12 corridor, and it runs at an angle.

13 THE CHAIRMAN: Okay. Good. I think
14 now we have it positioned right. For some reason,
15 originally, when you were talking about it, I
16 thought you were further north, but now I see
17 where it is, so -- okay.

18 MS. KANELLIS: And like the Bedards,
19 we have windows facing west, and we have windows
20 facing south. And they are ceiling-to-floor
21 windows. And we would be sitting in our living
22 room, in our dining room, and we would have that
23 line all around us in our view.

24 THE CHAIRMAN: Okay. So you are on
25 the -- sort of north and east, then, of that

1 corner, and therefore you will see them both
2 looking west and south?

3 MS. KANELLIS: That's right, yes.

4 THE CHAIRMAN: Good. Now I think --
5 we wanted to be sure we knew where you were.

6 MS. KANELLIS: It would help if I was
7 better prepared.

8 THE CHAIRMAN: This is very helpful,
9 so thank you very much.

10 MS. KANELLIS: Thank you.

11 THE CHAIRMAN: Any other questions?
12 Okay. Thanks.

13 Oh, sorry, we do have one more.

14 MS. STREICH: Laurie Streich here. I
15 am a little late in getting the question out.

16 You had mentioned early in the
17 presentation that the line, I guess in Round 1,
18 was cutting -- bisecting your property --

19 MS. KANELLIS: Yes.

20 MS. STREICH: -- and then in
21 Round 2 --

22 MS. KANELLIS: It still does.

23 MS. STREICH: Okay, so it does.

24 MS. KANELLIS: Yes. That line -- that
25 dissection is still there. It is just that it

1 couldn't continue south because it was going over
2 too many houses on Eastdale, so then they ran it
3 along the south side of our property instead, to
4 make that adjustment, having to use those two big
5 corner towers and one in the middle.

6 MS. STREICH: Okay. So the first did
7 not have the corner towers?

8 MS. KANELLIS: No. It just went
9 straight across.

10 MS. STREICH: One other question, for
11 clarification: The wetland that you mentioned,
12 whereabouts is that in relation to your property?

13 MS. KANELLIS: So when the -- the
14 Hydro corridor that runs north to south, it cuts
15 to the front of that. So the pastureland is to
16 the east, and the wetland is to the west.

17 MS. STREICH: Okay. So it cuts in
18 between those two things?

19 MS. KANELLIS: Yes. Actually, it runs
20 through the front of the bog, so it will take down
21 a lot of the trees.

22 MS. STREICH: Okay. Thank you.

23 THE CHAIRMAN: Thanks once again for a
24 helpful presentation and for putting up with our
25 questions. I think now we understand where your

1 house is and where the bog is, so -- thank you.

2 Is there anyone else who would like to
3 make a presentation this morning? We do have one
4 or two for this afternoon, but is there anyone
5 else? All right.

6 Would Manitoba Hydro like to do at
7 this point the short presentation on the
8 electromagnetic fields? Does that make sense?
9 Okay.

10 (RECESS TAKEN)

11 THE CHAIRMAN: All right. If you can
12 take your seats, we are ready to go. All right.
13 Thank you. So Mr. Bailey is going to give us a
14 presentation on the electromagnetic fields -- I
15 think I'm getting that right now -- and so we will
16 turn it over to you.

17 And it's my understanding that he will
18 be available after his presentation in the room at
19 the back, or wherever, for those who would like to
20 follow up with questions. So you are more than
21 welcome to do that, and take advantage of the fact
22 we have someone who understands the field, if you
23 will pardon that expression. So we will start
24 with the presentation.

25 Go ahead.

1 MR. BAILEY: Thank you, sir. Thank
2 you also for holding the meeting here, so I get to
3 see a different part of the province and this
4 beautiful town and surrounding area.

5 My name is William Bailey. I have
6 been involved in the field of bioelectromagnetics
7 for over 30 years. Basically that involves
8 looking at interactions between electromagnetic
9 fields at different frequencies, and their
10 potential effects on the environment or people or
11 animals.

12 I trained at Dartmouth College, the
13 University of Chicago, and the City University of
14 New York. Following that, I took two years of
15 additional training in neurochemistry under a
16 fellowship from the National Institute of Health
17 in the U.S., continued on as an assistant
18 professor of neurochemistry at the Rockefeller
19 University, and then headed the laboratory of
20 neuropharmacology and environmental toxicology for
21 the New York State Institute for Basic Research.

22 Throughout my career, I have been
23 involved in looking at these kinds of interactions
24 for fields, and here, in this project, I'm serving
25 as a technical resource to Hydro to provide

1 calculations of the electric and magnetic fields
2 associated with the proposed project and the
3 existing power lines on the right-of-way, and also
4 to update everyone on the status of research on
5 electrical and magnetic fields.

6 Next slide.

7 So here is the topics I'm going to
8 cover. What are EMFs, magnetic field sources and
9 levels, research on magnetic fields, what are the
10 views of health and scientific agencies on this
11 area of research. Some recent international
12 developments. We talked -- mentioned, what are
13 the guidelines for human exposure to fields.
14 Research on livestock, wildlife, and crops.
15 Electrical devices. And finally, what are the
16 fields associated with the proposed MMTP project.

17 Next slide.

18 So, what are EMFs?

19 Next.

20 Well, EMFs are really one of the four
21 fundamental forces of nature. We see here these
22 forces, these nuclear strong and weak forces that
23 are essentially what holds atoms together. And we
24 have gravity, and then we have electromagnetic
25 fields.

1 Next slide.

2 Now the distinguishing characteristic
3 of electromagnetic fields is that they are all
4 different, based upon the frequency of the fields.
5 So we have the spectrum here, that starts out with
6 DC, or direct current, which the field is constant
7 in direction and doesn't change. So that's like
8 the geomagnetic field of the earth that causes the
9 compass to point north.

10 And then you start having fields that
11 oscillate, where they change their intensity and
12 direction 60 times a second, and that is
13 everything that's connected to our electrical
14 system.

15 And then you go to still higher
16 frequencies. You have frequencies in which the
17 field oscillates millions or billions of times per
18 second, in the AM radio/cellular phones areas.

19 And if you still go up on higher
20 frequency, you eventually get to the wavelengths
21 and frequencies of visible light. We have
22 evolved, as many other animals have, to develop
23 sensory receptors that are uniquely able to detect
24 electromagnetic fields in the range of visible
25 light.

1 If you go to still higher frequencies
2 up here, you get to fields where the frequencies
3 are so high and the energies are so important, are
4 so intense, that they have the capability of
5 breaking chemical bonds. And these are X-rays and
6 gamma rays that are used in cancer treatment.

7 Next slide.

8 We have two types of fields that are
9 associated with our electrical system, and there
10 are electric fields and there are magnetic fields.
11 Now, when you talk about fields at higher
12 frequencies, like invisible light, electric and
13 magnetic fields are coupled together. So if you
14 measure the electric field, you can also know what
15 the magnetic field is, and vice versa. But at
16 these very low frequencies, like the static fields
17 of the earth or our power system, we treat them as
18 two separate forces.

19 So electric fields arise from electric
20 charges. So everything in our environment has
21 electric charges, and so if I hold something up
22 and look at it, if there is an equal number of
23 positive and negative charges, there is no
24 electric field coming from that. On the other
25 hand, if there is more positive charges than

1 negative charges, we will have a positive electric
2 field coming from it. We measure these fields in
3 units of volts per metre, or in thousands of volts
4 per metre or kilovolts per metre. The
5 characteristic of these fields, if you are at the
6 source, the fields are highest; and as you move
7 away from the source, the field diminishes quickly
8 in intensity.

9 And the interesting characteristic of
10 electric fields is that they are easily blocked or
11 shielded by common objects, such as trees, shrubs,
12 fences, or buildings.

13 Next slide.

14 Now, magnetic fields are also
15 associated with electricity. And here, the
16 electric fields are -- just the presence of
17 charges creates an electric field. But for a
18 magnetic field to be created, those charges have
19 to move. So the electricity flowing through a
20 wire will create a magnetic field, or in the case
21 of a permanent magnet, it is the spinning of the
22 atoms that cause this current flow and creates a
23 magnetic field from a permanent magnet.

24 We measure these fields and very weak
25 fields in units of milligauss, and like the

1 electric field, the strength diminishes as you
2 move away from the source. But magnetic fields,
3 in contrast to electric fields, are not easily
4 shielded by common objects such as trees, shrubs,
5 or walls.

6 So if I have a compass, and I put
7 it -- measure here, the compass needle will point
8 in a certain direction. I put it inside a block
9 of wood, I put it inside a surrounding block of
10 concrete, the magnetic field of the compass will
11 be unaffected, unless there is some kind of
12 ferromagnetic materials in those materials. So
13 the fields from the earth and fields from power
14 systems are not blocked by ordinary materials.

15 Next slide.

16 Let's talk about the sources and
17 levels of fields. I mentioned before, the DC
18 magnetic field or static magnetic field of the
19 earth, and it is caused by circulating currents of
20 basically iron ore, and also iron -- ferromagnetic
21 materials in the earth's crust. And it creates a
22 static magnetic field that's strongest here at the
23 equator -- I'm sorry, weakest at the equator --
24 about 300 milligauss here, and as you see, more of
25 these magnetic field lines are coming in at each

1 end of the north and south poles, and so the
2 intensity goes higher, up to about 700 milligauss.

3 Next slide.

4 Another place where you run into
5 magnetic fields are in lots of medical diagnostic
6 devices and treatment devices. This is from a
7 magnetic resonance imaging device, and this
8 machine employs a static magnetic field in the
9 range of 15 to 40 million milligauss. It has a
10 gradient magnetic field that at 60 hertz is
11 equivalent to about 479,000 milligauss. And
12 finally, if there is an oscillating radio
13 frequency field, that produces exposures up to
14 4 watts per kilogram.

15 Next slide.

16 Another source that's most common in
17 our environment are the magnetic fields from our
18 power system. And here you can see just a simple
19 diagram where electricity is generated,
20 transmitted over transmission lines, stepped down
21 at substations to lower voltages, and then
22 distributed out over distribution lines, and
23 eventually to our houses. And it is this power
24 coming into our houses that we use to power all of
25 our appliances and our lights in our houses.

1 Next slide.

2 I'm often asked, what are the typical
3 levels of magnetic fields associated with our
4 environment? And this slide is sort of
5 complicated, but if you look along here on the
6 bottom, this is the intensity of the field in
7 milligauss, and it goes from a 10th of a
8 milligauss to 10,000 milligauss.

9 This range of values here are -- in
10 the solid lines -- are common levels, and if you
11 go below and above that, these are less common
12 levels.

13 So let's start up at the top here. We
14 talk about the fields within homes, and here are
15 some examples. If you are away from appliances,
16 you have fields that might go up to 10 or
17 20 milligauss. Next to appliances, you can see
18 that the intensity of the fields jumps way up when
19 you are close to them; and then here are the
20 fields from electric blankets.

21 Then you go to the distribution lines,
22 which run outside of our -- down our streets. And
23 here, at the -- if there is an edge of a
24 right-of-way or roadway, it's typical levels, and
25 within the right-of-way, higher levels here, up to

1 perhaps 100 milligauss, or maybe less than that.

2 And then high-voltage transmission
3 lines, again, you have within the right-of-way,
4 closest to the conductors, you have higher range
5 of fields here, from a few dozen to hundreds of
6 milligauss, and lower values at the edge of the
7 right-of-way.

8 And then in some occupational
9 environments, you can have a higher range of
10 fields.

11 Now, what is interesting to look at
12 here is you can see that there is a considerable
13 overlap between the field levels here, that we
14 encounter from high-voltage transmission lines,
15 distribution lines, and our electric appliances.

16 So we have these exposures wherever we
17 go in our environment, in our homes, workplace,
18 and schools, and they occur whether or not we have
19 a high-voltage transmission line in the vicinity.

20 Next slide.

21 Just to further illustrate the range
22 of field levels associated with common devices in
23 our homes, here is again distance in feet, here,
24 and this is the strength of the field going in
25 this direction.

1 So it is immediately apparent that
2 when you are very close to any of these appliances
3 here -- drills, hair dryers -- the field is much
4 higher, and then quickly, as you move away, even a
5 few feet away, the field reduces in intensity much
6 more quickly.

7 Next slide.

8 Now, researches on electromagnetic
9 fields has been going on for hundreds of years.
10 The ancient Greeks started looking at electric
11 fields from electric fish as a way of treating
12 patients with various types of diseases. And in
13 the 1800s, there are scientists who were doing
14 experiments to see if electricity might have some
15 therapeutic effects.

16 But the modern age of research has
17 focused, particularly from the late '60s and the
18 early '70s, on the idea that -- well, you know,
19 are there some effects of our power system that we
20 haven't explored?

21 Now, to answer questions like this, we
22 look at how science contributes to public health.
23 One way is by conducting research. And so,
24 literally, there have been thousands of research
25 studies looking at potential effects of electric

1 and magnetic fields on animals and people's
2 health.

3 Another part of our investigation is
4 to analyze these existing studies. It is very
5 hard to draw conclusions based upon just a few
6 studies, so we look at all of the research, and we
7 evaluate and interpret this data, based upon the
8 weight of the evidence. We judge the quality of
9 these studies, and then we consider, how do they
10 all fit together?

11 It is kind of like putting a puzzle
12 together and making sure that those puzzle pieces
13 fit in a way that we can understand what the
14 results mean.

15 And this allows us to characterize
16 potential risk. Now, the one thing that science
17 cannot do is that it cannot guarantee safety, and
18 we cannot prove that something does not exist.
19 What we can do is, through continued
20 experimentation, we can test hypotheses and look
21 at the evidence either supporting or not
22 supporting those hypotheses.

23 Next slide.

24 So here are the components of the
25 weight-of-the-evidence reviews that agencies carry

1 out. And you can see here that it is a systematic
2 evaluation and the entire body of evidence. And
3 the kind of data that we consider are first of all
4 epidemiology studies of people.

5 So you may have read that the research
6 that's been going on to look to see if there is a
7 relationship between the lower incidence of heart
8 disease in populations living around the
9 Mediterranean -- let's say Italy -- and whether
10 that might be related to their diet. Is it
11 drinking of wine? Is it eating more vegetables,
12 getting more exercise, more sunlight during the
13 year? Lots of different things have been looked
14 at.

15 So that is what we call an
16 association, statistical association. The
17 question is, what are those components in that
18 environment that are responsible for this lower
19 incidence of heart disease? And these are sort of
20 epidemiology study observations on people in large
21 groups, and trying to draw inferences about their
22 exposures.

23 Then we have laboratory studies. And
24 these are studies in which animals are brought
25 into experimental conditions, and you can isolate

1 what the effects of a particular exposure are.
2 And these studies are ideally suited to
3 determining cause-and-effect relationships, and it
4 is these studies that are the basis for
5 determining the safety of almost all of our drugs
6 and medicines.

7 And then finally, if we have some
8 hypotheses about how a chemical or a physical
9 exposure might interact with the body, then we can
10 look at cells and tissues to try and see if there
11 is a mechanism that might explain how some kind of
12 biological response might occur.

13 Next slide.

14 The take-home messages about
15 epidemiology -- and it applies also to the
16 experimental studies -- is that one study is not
17 enough. And I will give you an example, as we go
18 through the presentation later, as to why we don't
19 want to look at just one study. All studies are
20 not created equal; they all have different
21 strengths and weaknesses, and so you want to look
22 at all the evidence.

23 And a statistical association is not
24 the same thing as causation. Just because there
25 is an association between living in a

1 Mediterranean country and low heart disease
2 doesn't tell us what that cause is.

3 Next.

4 The reviews that have been done on
5 EMF, performed by national and international
6 organizations, consist of large panels of
7 scientists with a balanced composition in terms
8 of -- often different countries, or different
9 backgrounds; they are experts in multiple
10 disciplines. Sometimes there can be anywhere from
11 10 to 30 different people on these panels. They
12 follow a defined methodology, and their
13 conclusions represent a consensus of the members.

14 Next.

15 Here are some of the reviews of EMF
16 and health research that I've indicated here,
17 going from 1998 to 2007. And the U.S. government,
18 the Congress mandated that the National Institute
19 of Environmental Health Sciences conduct an
20 investigation to determine if power lines were --
21 and appliances were potentially hazardous.

22 The International Agency for Research
23 in Cancer, I was a member of a scientific review
24 panel assembled by this agency.

25 We have some others here. In Canada,

1 we have this organizational I will say a little
2 bit more about, and finally in 2007, the World
3 Health Organization.

4 Next.

5 The Federal-Provincial-Territorial
6 Committee in Canada performed a review of
7 epidemiology and laboratory research, and here are
8 their conclusions.

9 They said adverse effects have not
10 been established. And since there is no
11 conclusive evidence that exposure to EMFs at
12 levels normally found in Canadian living and
13 working environments is harmful, their committee
14 is of the opinion that moderate measures and
15 participation in the process of acquiring new
16 knowledge is sufficient.

17 Next.

18 The World Health Organization has
19 conducted one of the most comprehensive reviews
20 and assessment of the research.

21 And if you could move the slide over
22 just a little bit; for some reason, it is not
23 fully showing up on this -- well, basically,
24 for -- I will sort of -- since we can't read
25 off -- ah, there we go. Thank you.

1 So what they point out here is that --
2 they are describing in this part here that there
3 is a statistical association, from the
4 epidemiology studies, between estimated exposure
5 of populations to higher magnetic field levels and
6 childhood leukemia. But because the evidence is
7 limited, and therefore exposure limits based upon
8 epidemiological evidence are not recommended, but
9 some precautionary measures are warranted, and I
10 will talk about that later.

11 Next slide.

12 And here what they are saying is
13 implementing very low-cost precautionary measures
14 to reduce exposures is reasonable and warranted.

15 I mean, the rationale that the WHO is
16 presenting here is not that we have found that
17 there is a problem with our exposures to electric
18 and magnetic fields, but because essentially
19 everyone who uses electricity will have these
20 exposures, and so we want to make absolutely
21 certain that even the smallest possibility of a
22 health risk has not been overlooked.

23 And they suggested that changes to
24 engineering practice could be considered, provided
25 they yield additional benefits, such as greater

1 safety, or involve little or no cost; and
2 government/industry should promote research
3 programs to reduce the uncertainty of the
4 scientific evidence on health effects of ELF field
5 exposure.

6 Next slide.

7 After the WHO review, there are --
8 other reviews have been involved. Here are the
9 major ones: The International Commission on
10 Non-Ionizing Radiation Protection, which is
11 affiliated with the World Health Organization, has
12 done their review. The Swedish Radiation Safety
13 Authority has continually published updates over
14 the years. And most recently, the Scientific
15 Committee of the European Commission in 2015
16 issued their review.

17 Next slide.

18 So here is the SCENIRH review, and
19 they covered exposures across the electromagnetic
20 spectrum. Terahertz, radio frequency,
21 intermediate frequency, extremely low frequency
22 fields -- that refers to the 60 hertz fields for a
23 power system -- static magnetic fields, combined
24 effects, and co-exposures to EMF and other
25 exposures. Chemical stressors.

1 Next slide.

2 Here are their conclusions. And they
3 talk about the epidemiological studies. They go
4 on and point out that no mechanisms have been
5 identified for this association, there is no
6 support from experimental studies, and that the
7 limitations of the epidemiological studies prevent
8 a causal interpretation of a relationship between
9 higher magnetic fields and childhood leukemia, and
10 that there is not a basis, from existing studies,
11 for relationship between magnetic field exposure
12 and more general symptoms, like headaches and so
13 on. Nor do they provide convincing evidence of
14 increased risk of neurodegenerative diseases, or
15 an effect on reproduction function.

16 Next.

17 So these reviews, in some cases, are
18 hundreds of pages long; I think the World Health
19 Organization review is almost 400 pages. So there
20 is a lot to read there, so I've sort of condensed
21 what their conclusions are in these few bullets.

22 They agree there is little evidence
23 suggesting that EMF is associated with adverse
24 health effects. They believe that there is some
25 epidemiological evidence for a statistical

1 association of magnetic fields at high average
2 levels with childhood leukemia; we are talking
3 about levels here that might be encountered by
4 only maybe 3 per cent of the population. And they
5 agree that laboratory data do not support a link
6 between EMF and any adverse health effect,
7 including leukemia, or concluded that it is known
8 to cause any disease.

9 Next.

10 Briefly, I would like to go over some
11 recent studies in two of the areas that have been
12 the focus of interest in recent years:

13 Epidemiology studies of childhood leukemia, and
14 also neurodegenerative diseases. So, beginning a
15 few years ago, there was a flurry of new
16 epidemiology studies, shown here, from different
17 countries, and we will go through those.

18 Next slide.

19 The first is a study called the GEOCAP
20 study, a study done in France.

21 Let me explain a little bit about the
22 design of the studies that I'm going to talk
23 about. Basically, in what is called a case
24 control study, the investigator will assemble a
25 population of children or adults with some disease

1 of interest -- in this case it was childhood
2 leukemia -- and they will assemble from the same
3 area a group of children or adults who are from --
4 same age, same sex, and they want to compare their
5 exposures. And the way they compare the exposures
6 is, what are the odds that a child -- let's say
7 with leukemia -- is exposed compared to the odds
8 of a child without leukemia is exposed.

9 If their exposures are the same, there
10 is no association. If the children with leukemia
11 tend to have higher exposures, then there is an
12 association, or if they have lower exposures,
13 there is an association.

14 So what they did is they assembled
15 these thousands of cases of children with
16 leukemia. They selected 30,000 controls. And
17 they went to a database of residences and put in
18 their address. And they looked to see what is the
19 proximity of their birth address to the nearest
20 transmission line with these voltages.

21 Overall, they did not find that there
22 was a relationship between how far a child lived
23 from a transmission line and whether or not they
24 had childhood leukemia.

25 Next slide.

1 Here is a study that was done in
2 Denmark. Same type of design, comparing cases of
3 leukemia to controls. They did a better job of
4 getting these addresses more accurately. Here
5 they are looking at 220, 132 to 400 kV
6 transmission line. Again, they found that
7 children with leukemia were not more likely to
8 live closer to these transmission lines.

9 Next.

10 One of the most interesting studies is
11 the study of the -- in the United Kingdom by Bunch
12 and Colleagues. And I'm going to go back a little
13 bit, because in 2005, Richard Draper and his
14 colleagues at the Oxford University did a study in
15 which they looked at the birth addresses of
16 children, with or without leukemia, and distances
17 to overhead transmission lines. What they
18 reported was that there was an association, that
19 children with leukemia appeared to be about twice
20 as likely to live within a few hundred metres of
21 overhead transmission lines than did control
22 children.

23 They went back and continued their
24 studies for an additional 13 years. They looked
25 at more lines at lower voltages, and they added

1 data from all of Scotland. So now we have a large
2 number of cases, 53,000 cases, over this period
3 from 1962 to 2008. 66,000 controls. And again,
4 like the previous studies I talked about, they
5 compared the address at birth and distance to
6 overhead transmission lines.

7 Next.

8 What they found is that when they
9 looked in the 1960s -- this is the Draper study --
10 they see this association of children living
11 within 199 metres, children with leukemia are more
12 likely to live within these distances than the
13 control children at greater distances.

14 And you can see here, the association
15 is -- this is the association for children at
16 200 to 599 metres, and this is about 1, so this
17 shows that there is no association; and as you go
18 up here, this shows a stronger association.

19 But when they -- in this recent work,
20 they went back and looked over this whole period,
21 and not just here, they found that the association
22 got weaker, weaker, weaker, weaker, and now the
23 association from the mid-1980s is totally gone.

24 And the question is, what might
25 account for this? Well, it is not because power

1 lines or appliances or anything have gotten less
2 common; if anything, they are more common today
3 than they were in the 1960s.

4 So something else has accounted for
5 this. And what they believe is that there is some
6 sociological or demographic change that might
7 account for this. Other people suggested that it
8 may have been that during this period of time,
9 that there was ionizing radiation coming from
10 nuclear fallout that may have been involved, or
11 that there is a virus that might be circulating in
12 communities that is a cause of cancer in adults
13 and cats and cattle; something like that.

14 But they report in 2014, and they have
15 had two later studies, to show that this
16 association is not present. And they are even
17 more convinced today that it is not magnetic
18 fields.

19 Next slide.

20 Finally, here is a study that was done
21 more recently, in 2016. It was done in
22 California. And these investigators wanted to see
23 if the original 2005 Draper findings could be
24 replicated in California. And they looked at
25 address to birth, address to birth to distance to

1 overhead transmission lines in this range, from
2 100 to 500 kilovolts, and they also reported no
3 association between distance of transmission lines
4 and whether or not the child has leukemia.

5 Next.

6 Now, we've been talking about these
7 studies that have looked at statistical
8 associations of human populations. I just want to
9 interject here that there has been a lot of
10 research done on experimental studies, and the
11 ones that scientists paid most attention to with
12 regard to cancer is, what happens if animals were
13 exposed over their entire lifetimes?

14 And here are some studies that have
15 addressed that question. Professor Yasui and his
16 colleagues in Japan exposed rats to 50-hertz
17 fields up to 5 millitesla, which is 50,000
18 milligauss. Dr. Mannedville and her colleagues in
19 Quebec exposed rats to 60-hertz fields over their
20 lifetime to 20,000 milligauss, that's two
21 millitesla. And in the U.S., Bormann and
22 McCormick looked at rats and mice exposed up to
23 10,000 milligauss.

24 Overall, these investigators found no
25 increase in any type of cancer of the animals,

1 when autopsied at the end of their lifetime.

2 Next.

3 Another topic which has come up
4 involves research on Alzheimer's disease. And
5 although there have been some studies of workers
6 and occupations looking at -- say, whether
7 electrical workers might be at greater risk of
8 Alzheimer's disease.

9 This study here, by Huss and
10 colleagues in 2008, really got some interest.
11 Like the previous studies, they are looking at the
12 addresses of persons with Alzheimer's disease
13 relative to transmission lines.

14 And it is hard to see -- this is the
15 distance to the nearest 220 to 380 kV power line
16 down here. And if they spent any duration living
17 near a power line, there seemed to be a weak
18 association here. These error bars include one,
19 so they are not significant. But with looking at
20 the population who live five years, ten years, and
21 15 years, it appeared that in fact there was a
22 statistically significant association with persons
23 living within 50 metres, but not living at
24 greater -- at greater distances.

25 So this sparked a lot of interest.

1 Next slide.

2 So scientists in Denmark used the very
3 good Danish Registry to identify new cases over
4 this period of time, and to very accurately record
5 their address history. And also, instead of
6 dealing with mortality data, Alzheimer's
7 disease -- as you may know if any family member
8 has ever been affected -- it is very hard to
9 diagnose while a person is alive. It is very hard
10 to do studies if you don't have an accurate
11 diagnosis.

12 So basically, in these previous
13 studies, they had looked at death records. Here,
14 they actually went and used the medical history of
15 individuals and looked at their diagnosis
16 beforehand, and so they were able to get much more
17 accurate data and rule out other types of diseases
18 that may have been compounded with Alzheimer's.
19 And they reported no consistent association
20 between Alzheimer's disease, or any other
21 neurological diseases, and distance to power
22 lines.

23 Next.

24 And here are the results broken down.
25 So here is distance to the power line. Here is

1 the number of cases that they looked at. The
2 number of in each of these distance categories.
3 And then they compared these in ratio form, and
4 you can see here, the proportion of people with
5 Alzheimer's disease at -- living 200 to
6 600 metres, that ratio is 1; and you can see the
7 ratio of people living a closer distance is also
8 about 1.

9 And then over here, this is the
10 statistical confidence interval about those, and
11 you can see that that confidence interval extends
12 below 1 to slightly above 1. So that's the
13 uncertainty about these point estimates here.

14 And then here is looking at cumulative
15 time living within 50 metres of an overhead power
16 line by years. Less than five years, five to
17 nine, ten years. Again, you can see here people
18 always living at these greater distances have an
19 odds ratio of 1, and it is similar,
20 approximately 1, not statistically different for
21 people living there for a longer period of time.

22 Next slide.

23 So overall, the agencies and the
24 research have not come to the conclusion that EMF
25 causes the disease. We don't have a consistent

1 statistical association between magnetic fields
2 and any disease, except in those earlier studies
3 that I've talked about. There is no association
4 or a weaker association in the more recent
5 studies. Short and long-term animal studies, as a
6 whole, do not show adverse effects, and laboratory
7 studies of cells and tissues have not confirmed a
8 mechanism for harm.

9 Next.

10 And here are the overall conclusions
11 of these agencies. And most recently the WHO, on
12 their website, you can read this opinion that they
13 offered. Based upon recent in-depth review of the
14 scientific literature, the WHO concluded that
15 current evidence does not confirm the existence of
16 any health consequences to exposure to low-level
17 electromagnetic fields.

18 Next.

19 Scientists have also been interested
20 about whether fields might have an effect on
21 livestock or plants or wildlife. Obviously, some
22 of these might spend considerable amount of time
23 underneath the power lines. So we have certain
24 kinds -- here is the kinds of studies that have
25 been done. We have studies of farm -- of cattle

1 living near high-voltage transmission lines. We
2 have experimental studies in which groups of
3 animals have been placed directly underneath a
4 power line and then compared to a group of animals
5 selected from the same herd that have been placed
6 2,000 metres away. Those studies have been done
7 for cattle, sheep, and swine.

8 In Quebec, we have a very extensive
9 series of studies in which cattle were exposed to
10 magnetic fields characteristic of 735 kV
11 transmission lines. There have been studies
12 looking at corn and soybeans in fields near
13 transmission lines. Experimental studies of more
14 than 70 plant species that have been grown in a
15 laboratory and exposed to electromagnetic fields.

16 And overall, there is no effect of
17 these high-voltage transmission lines, or of
18 similar EMF exposures in the laboratory.

19 Next.

20 Often I'm asked, because of the
21 growing prevalence of pacemakers in the population
22 as we get older, more and more people have these
23 implanted devices in order to have that pacemaker
24 take over stimulation of the heart, or for some
25 reason due to disease, their heart doesn't

1 normally initiate the beat.

2 And we had more concern about this in
3 the past, because we didn't have shielding, good
4 shielding of the cases by titanium and other
5 metals. The pacemakers today have built-in
6 filters and switches, and the sensitivity can be
7 adjusted.

8 And so we have looked at this
9 literature in some depth. We also consulted
10 databases in Canada, United Kingdom, and the U.S.
11 And while there are numerous reports in these
12 databases of other sources of electromagnetic
13 fields causing interference to pacemakers, such as
14 the magnets from stereo speakers have been
15 reported to actually turn people's pacemakers off.
16 The surveillance electromagnetic fields that are
17 used in airports and stores, the ignitions of
18 automobiles interfering with pacemakers.

19 But there are no medically confirmed
20 and documented interference events of interference
21 to pacemakers from power lines.

22 Next. Next slide.

23 This is the scope of the work that we
24 did to evaluate the EMF levels. We looked at the
25 transmission line here, and it is routed on

1 existing right-of-way, except in Sections E1
2 and E2, and we looked at some of the equipment at
3 these stations as well.

4 Next.

5 Here, you are familiar with this; this
6 is the preferred route. And here we identified
7 each one of these different sections as having
8 different characteristics, in terms of the type of
9 towers that were adjacent to the line, or the
10 loading levels, and so on. And so we did
11 evaluations of all of these different sections of
12 the line.

13 Next.

14 We looked at electric fields, and we
15 also looked at the effect of electric field on
16 inducing currents and voltages on large objects
17 parked underneath the conductors, such as a farm
18 combine.

19 We looked at magnetic fields, audible
20 noise, and radio noise. Radio noise I'm sure you
21 are familiar with, if you are driving underneath a
22 transmission line, you have your AM radio on, and
23 if you drive under the line, you will hear some
24 static. It doesn't occur with FM radio, but we
25 evaluated that as well.

1 Here I give an example of one of the
2 route sections. This is Section G. It has one of
3 the highest EMF levels at the edge of the
4 right-of-way. Here you can see the existing line
5 here, and here is the proposed line. And you will
6 notice that it is slightly higher -- the conductor
7 is slightly higher off the ground than this line.

8 Next.

9 We calculated the electric fields
10 along this route. And you can see, if you just
11 take the existing gold line, and you can see that
12 underneath this line here, the electric field is
13 highest; and as you go away from the line, it gets
14 weaker and weaker. And when this line is added,
15 below here, the blue line shows what is the field
16 of both lines together.

17 And you can see that what happens is
18 directly underneath the new line, the fields also
19 increase, not to the same extent as the existing
20 line, and also diminish with distance as you go
21 towards the edge of the right-of-way.

22 We subsequently discovered that the
23 heights of the conductors that have been given to
24 us in the preliminary phase of design are
25 different than what is in the final design, and

1 that the conductor heights in this area, and in
2 this area a little bit, are a little bit higher,
3 and much higher here in this area, so that these
4 fields -- well, because the higher conductor
5 height, the fields underneath the line are going
6 to be lower.

7 Next slide.

8 Here is the magnetic field, and you
9 can see the same sort of thing. The gold line
10 represents the strength of the magnetic field.
11 When you add the new line here, it doesn't really
12 change the fields on this side of the
13 right-of-way. Underneath this -- the new line,
14 the field is going to increase, and then again it
15 diminishes with distance as you go towards the
16 edge of the right-of-way.

17 Next.

18 Looking at audible noise. Again, the
19 levels of audible noise are very low. This is,
20 let's say, about 25dBA; that's what you would
21 expect in a very quiet room, and it gets weaker
22 and weaker with distance. The quiet rural
23 background levels are higher, so under these
24 circumstances, it is doubtful under most
25 circumstances, unless you were right on the

1 right-of-way, listening for it, you wouldn't be
2 able to hear the line.

3 Next.

4 Houses. Electric and magnetic fields,
5 like everything else in our environment, obey the
6 same kind of laws of toxicology; that is,
7 basically, more is potentially worse.

8 So in the case of things in our
9 environment -- you know, I stub my toe against the
10 wall, it is a little bit painful, but obviously it
11 is much worse if I hit it with greater force or
12 somebody takes a hammer to it. So the idea is
13 that the higher the exposure, the greater the
14 effect should be.

15 So people have looked at electric and
16 magnetic fields, and these two organizations have
17 come up with guidelines, recommended levels, that
18 would protect against adverse effects.

19 Next.

20 So here are the guidelines. These are
21 the guidelines here for controlled environments,
22 basically for workers. And you can see these
23 values are all higher than for the general public.
24 And these values for magnetic fields range from
25 2,000 to 9,040 milligauss. And these are levels

1 that can be -- people can be exposed to for
2 unlimited periods of time.

3 Here are the values for electric
4 fields.

5 And in both of these guidelines, if
6 you do more detailed calculations, you can have
7 higher permitted exposures. So, actually, this
8 organization, on transmission line right-of-way,
9 allows up to 10 kV per metre, as does the Canadian
10 standards.

11 Next.

12 When we were looking at the existing
13 lines, and the data that we were given by Manitoba
14 Hydro, we noted because of the higher electric
15 fields there, and suggested to them that we look
16 at the effect of those electric fields on the
17 largest vehicle or -- that could be found
18 underneath a line. So we did calculations of the
19 effect of the electric field on a large combine,
20 the idea being that if you park a large combine
21 directly underneath the line, and a person walks
22 up and touches it, is that they could get sort of
23 a tingle shock from the vehicle if that vehicle is
24 not well grounded.

25 And so we did these calculations, and

1 so long as the short-circuit level is less than
2 5 milliamps, there isn't a harmful shock.

3 And so we looked at all of the
4 sections, and they are all very low in this range,
5 less than 3.3 milligauss. But we found in
6 Sections F and G of the route, due to the existing
7 line, that you could have a -- for those
8 clearances we were given, a current of about
9 5.6 milliamps, just slightly above this.

10 Again, in the final design, the
11 clearances of the line is much higher, and so all
12 of the calculated values are now below this
13 short-circuit limit.

14 Next.

15 And this basically reiterates -- this
16 induced voltage depends upon the size of the
17 vehicle, the electric field level, what kind of
18 insulation do you have; obviously it is different
19 if you are in bare feet than if you are wearing
20 shoes.

21 And we did these calculations, and
22 overall, based upon the new clearances, the new
23 line and the existing line will meet the limits on
24 induced currents on vehicles.

25 Next.

1 And here are the conclusions from the
2 environmental impact statement. Again, the MMTP
3 line will increase these levels on the
4 right-of-way, but result in only a small change in
5 these parameters at the edge of the right-of-way
6 and beyond. And all of these calculated values
7 will comply with standards and guidelines.

8 And the current consensus among
9 numerous national and international scientific
10 agencies that have reviewed this body of research
11 is there are no known adverse health consequences
12 of exposure to ELF, EMF, at levels generally found
13 in residential and occupational environments,
14 including proximity to electric transmission line
15 and distribution facilities, and results from
16 research do not provide evidence to alter this
17 conclusion.

18 Next slide.

19 Okay. Thank you for your attention.
20 I will be available to follow up with any specific
21 questions that people have in the back.

22 Thank you.

23 THE CHAIRMAN: Thank you very much,
24 Mr. Bailey, for an informative and very
25 comprehensive presentation.

1 As Mr. Bailey indicated, he will be
2 available -- I'm not sure how long you are going
3 to be here; do you know?

4 What's that? As long as needed?
5 Okay.

6 So he will be available at the back to
7 answer any detailed questions or specific issues
8 you might want to raise with him. And take
9 advantage of it, because it is not often that we
10 will have someone with this kind of background
11 available to us.

12 Is there anyone else who would like to
13 make a presentation or speak at this point?

14 Yes? You would like to? Come on up.

15 If you didn't leave your name at the
16 back -- I don't know if you did -- you did? Okay,
17 good. Thank you. I was just going to mention
18 that you could do it afterwards, but that's fine.

19 Well, the floor is all yours, and we
20 are anxious to hear what you have to say.

21 MS. JOHNSON: Not quite yet.

22 THE CHAIRMAN: Oh, yes. Sorry. You
23 have to affirm.

24 (Jerry Carrier sworn)

25 MR. CARRIER: To begin with, my

1 presentation is short, and it's sweet, and it
2 doesn't have a lot of video. My name is Jerry
3 Carrier.

4 I'm in opposition to the proposed
5 route. I live approximately 400 metres east of
6 where this proposed line crosses Provincial
7 Road 501, on the -- I'm on the southwest corner of
8 Section 2297, near the 501/Monominto intersection.

9 I have lived on this property for over
10 60 years, and I've seen first-hand how a power
11 line changes the landscape. I'm a Metis
12 harvester, and I've seen how the Bipole line,
13 approximately 1,500 metres west of me, on property
14 leased by my grandparents and now by my father,
15 has devastated the harvest of fruit, plants,
16 mushrooms, and game. This proposed line will be
17 approximately three times that size.

18 On a quiet evening, my wife and I sit
19 on our front south-facing deck, winter and summer,
20 and on occasion we can hear the constant buzz and
21 pop of that line. I can't imagine the noise that
22 we will get from a line 800 metres closer and
23 several times larger.

24 Another of my concerns is the waste of
25 useful land. Mark Twain said it best: "Buy land.

1 They are not making any more."

2 Putting this line through so many
3 properties, and forever taking it out of
4 production for agriculture and residential use,
5 makes no logical sense when a more easterly route
6 is available with much less disruption.

7 The southeast region is one of the
8 fastest-growing in the province. I would ask that
9 the CEC consider what they want the landscape to
10 look like in 50 years, when my grandchildren are
11 looking for a property to retire on.

12 I thank you for the opportunity to
13 express my concerns.

14 THE CHAIRMAN: Thank you for a good
15 presentation, and yes, you made, I think, a very
16 clear presentation too.

17 Are there any questions for
18 clarification from the panel? No?

19 MS. STREICH: Laurie Streich here.

20 You had mentioned that the Bipole line
21 was -- how many metres from you?

22 MR. CARRIER: About 1,500. It is a
23 little over half a mile.

24 MS. STREICH: Okay. Thank you.

25 MR. CARRIER: And I can hear it on

1 pretty much any evening that there isn't a wind,
2 or if the wind is from the right direction, you
3 can still hear that one. And this one is going to
4 be less than half that distance away.

5 THE CHAIRMAN: So, just to be clear I
6 understood it, the existing line is 500 metres
7 away?

8 MR. CARRIER: About 1,500.

9 THE CHAIRMAN: Oh, 1,500. I'm sorry.

10 MR. CARRIER: It passes on -- just
11 west of the Monominto/501 intersection, and I live
12 just east of that.

13 THE CHAIRMAN: Okay. And the new one
14 will be about half that distance?

15 MR. CARRIER: Yeah, a little less than
16 half.

17 THE CHAIRMAN: Okay, good.

18 Anyone else? Okay. Well, thank you
19 very much for your presentation.

20 Are there any other presentations at
21 this time? We do have one or two listed for after
22 the lunch break, but I wanted to make sure there
23 was no one else here who wanted to do one.

24 Okay. We will take a break now, then.
25 Is there any announcement in between? And we will

1 reconvene until after lunch. That will be
2 around --

3 MS. JOHNSON: No, we will just hang
4 around, and if somebody shows up, we will --

5 THE CHAIRMAN: Okay. Sure. We can do
6 it that way.

7 MS. JOHNSON: -- fit them in.

8 THE CHAIRMAN: We will be here if
9 someone does want to speak, and for sure we've got
10 at least one or two people speaking after lunch.

11 Okay. Thanks.

12 (Recess taken)

13 Proceedings resumed at 1:30 p.m.

14 THE CHAIRMAN: Well, good afternoon,
15 everyone, and welcome back to our hearings into
16 the Manitoba-Minnesota Transmission Project.

17 I did make some introductory remarks
18 this morning. Some of you were already here, so I
19 don't think I will repeat it all, but just to say
20 that we are here because the Minister asked us,
21 the Commission, an independent organization that's
22 been holding hearings for several decades now, to
23 hold a hearing prior to her making a licensing
24 decision on this project. So, we don't make
25 decisions, but we do make recommendations to the

1 Minister.

2 And as part of that, she asked us to
3 hold public hearings, which we have been doing for
4 about three weeks now in Winnipeg. Thursday night
5 we came out to La Broquerie, and today we are here
6 in La Broquerie because, of course, it is very
7 important to hear from people all along the -- all
8 through the study area and all along the route.
9 And so that's what we are doing.

10 So with that, I will say that so far
11 we have one person registered to present this
12 afternoon. If any of you would like to present or
13 add to a presentation you have already made, just
14 let Cheyenne know at the back, and you can speak
15 next.

16 As I mentioned earlier, we also accept
17 written submissions. So if any of you would
18 prefer to do a written submission, or you know
19 other neighbours and friends who would like to do
20 written submissions, they are more than welcome,
21 and they are given the same value as a
22 presentation here at the hearing. So we will look
23 at those carefully, just as we listen carefully
24 here.

25 So with that, I would like to turn it

1 over to our next person who would like to make a
2 submission or an oral statement to us, and that's
3 Mr. David Dawson. So if you would like to move up
4 to the mic here, and before you start, you will
5 have to affirm, and Cathy here on my left will
6 look after that. Thanks.

7 (David Dawson sworn)

8 MR. DAWSON: Thank you. My name is
9 David Dawson, as you indicated. I'm a resident of
10 La Broquerie, and I've lived here for 30 years,
11 pretty well.

12 I noticed that you said the
13 proposed -- sorry, you are having these hearings
14 along the route, not one of the alternatives to
15 the route. And that kind of concerned me slightly
16 when you said that, because it sounded to me as if
17 it was a fait accompli, rather than one of two
18 alternatives.

19 I'm here today to give you my reasons
20 for opposing this route, which is one of the
21 proposals. And I have two main reasons.

22 The first one, it is wrong.
23 Absolutely wrong. And the second one, it is a
24 mistake. And I think it is a big mistake. I will
25 expand on those two points separately.

1 I think it is morally wrong, first of
2 all. We have currently seven and a half billion
3 people on the planet earth, and it's been
4 estimated that a sustainable number of people on
5 the planet would be 2 billion. We are already
6 five and a half billion people on the planet
7 beyond the sustainable number. We already have
8 millions of people dying of starvation across the
9 world, in Africa, the Middle East. The drought in
10 Africa currently, there is a huge problem in -- I
11 believe in Ethiopia and Sudan, and countries
12 around there, with people not having enough to
13 eat. Yet this proposition is proposing to consume
14 agricultural land when it is not necessary.

15 One of the reasons why we have such
16 large numbers of immigrants coming out of Africa
17 and out of the Middle East is a result of lack of
18 food resources. They are coming out, yet we are
19 wasting agricultural land.

20 Now, if a private developer wanted to
21 build houses on some land and that private
22 developer didn't have access to the land, he
23 couldn't go and expropriate land from his
24 neighbour or her neighbour, just take it, to put
25 in an access to this land-locked piece of land for

1 a house development or some other kind of
2 development.

3 But if it was, for example, they
4 needed to put a new school on a land-locked piece
5 of land, maybe there would be a good case for
6 expropriation of land for something that is in the
7 public good, if there is no alternative. In that
8 case it might be acceptable to expropriate the
9 land for building a school.

10 The government, in their wisdom, has
11 provided other governments -- municipalities,
12 Crown corporations and so on -- with the ability
13 to expropriate land where it is necessary, where
14 there is no alternative, and where it is in the
15 public good.

16 Now, in this case, with this Hydro
17 line, there were two routes proposed. One goes
18 through La Broquerie, and the other one goes
19 further east, through the Sandilands Forest. Now
20 the government already owns the Sandilands Forest.
21 It is Crown land. But for some reason they do not
22 wish to use their own land to put this line in;
23 they want to expropriate the land of private
24 individuals whose business is going to suffer as a
25 result.

1 Many tractors these days have GPS
2 units on them, and the tractors go straight up and
3 down the fields, and if you go to a hydro tower
4 right in the middle of your field, you can't use
5 your tractors in the traditional or modern way;
6 you have to drive around it all the time. It is a
7 nuisance. It is ruining their ability to farm.

8 And as I said before, when there is no
9 alternative to doing a project, then under those
10 circumstances, it may be -- or is, even --
11 acceptable to expropriate the land from a private
12 individual. But in this case, there is an
13 alternative. The alternative is to go through
14 their own land, not take land from private
15 individuals.

16 And this is why I say it is wrong, it
17 is morally wrong, and it is taking advantage, an
18 unfair advantage of the powers that were invested
19 in government bodies with this expropriation
20 ability. Do you follow me?

21 It is morally wrong, when you have
22 your own land, to take somebody else's.

23 Now, the second point I want to raise
24 is it is a mistake. I don't know what Mr. Green
25 over there does; he is paying close attention, I

1 must say. Okay. We will leave that.

2 As I say, it is a mistake, and I have
3 seen many mistakes made by Manitoba Hydro in the
4 last few years. One of them, I would suggest --
5 and I don't have the facts here, the exact facts;
6 this is what I've heard on the radio and other
7 sources. But when you drive down in southern
8 parts of Manitoba, you see many, many wind
9 turbines generating electricity.

10 And what I've read and heard on the
11 grapevine, I suppose, the Manitoba Hydro -- these
12 turbines are privately owned, and Manitoba Hydro
13 encouraged private owners to erect these turbines
14 by paying them something like 14 cents per
15 kilowatt hour of electricity generated.

16 Now Hydro is paying 14 cents for that
17 electricity, and they are selling it to the United
18 States for 4 cents a kilowatt hour. In other
19 words, they are making a loss on every
20 kilowatt-hour that's generated, and that
21 difference is having to be made up by you and me
22 on our Hydro bills every month.

23 Now, to me, if somebody is a house
24 builder, for example, and he builds a house for
25 \$100,000, you'd think it would be madness to sell

1 that house for 30,000, and then build another and
2 sell that for 30,000.

3 This is what Hydro is doing. They are
4 paying 14 cents a kilowatt-hour, and they're
5 selling it for 4. It's crazy.

6 Similarly the dam, dams up in the
7 north of Manitoba, which -- and the Bipole III, we
8 hear that they are now billions of dollars in
9 debt, and they can't afford the payments. And
10 they are planning to increase our Hydro rates by
11 8 per cent plus, or more, for the next five years,
12 and it is currently before the Public Utilities
13 Board. Making an increase in the next five years
14 of 46 per cent on our Hydro bills.

15 Recently we heard from the Bank of
16 Canada that the average personal debt of Canadian
17 adults is something in the region of \$22,000. And
18 that's not counting mortgages; that's for things
19 like car payments, who knows: Skidoos,
20 four-wheelers, any gadgets and toys you care to
21 think about, probably.

22 Now, I wrote an article about this in
23 The Carillon newspaper a little while ago, and
24 what I thought was, well, if you had -- what would
25 you do if you'd got payments and you couldn't

1 afford to make the -- you lost your job, or you
2 couldn't afford -- you made a mistake, and you
3 couldn't afford to make your car payments. Would
4 you go to your boss and say, "Look, I can't afford
5 my payments; can I have a 46 per cent increase in
6 pay?" Well, I don't think the boss would be very
7 sympathetic. But this is exactly what Manitoba
8 Hydro has got itself into.

9 They made a mistake with these dams
10 and Bipole IIIs and so on. They can't afford the
11 payments, and they can't go to the boss and get a
12 45 per cent increase in pay, or 46 per cent. They
13 are coming to us, and they're not saying "Please";
14 they're just going to take it. Take it or leave
15 it; you know? Go without electricity or pay. We
16 have no option.

17 They made a mistake. They made a
18 miscalculation. They made a miscalculation, or a
19 bad mistake, in my view, on the wind generators,
20 and I think they made a bad mistake on the dams
21 and the Bipole IIIs, and I suspect they are making
22 another big mistake on this line. But they are
23 certainly making a mistake on where they are
24 putting it through private land.

25 So that about covers what I wanted to

1 say, but one other thing did come up. I don't
2 know if you've ever been to New Zealand, but when
3 you go to New Zealand, they are very, very careful
4 about bringing in diseases which might affect
5 their agricultural industry. Even if you are --
6 you have to take your boots off, and they have to
7 be clean, scrubbed clean. If you've got shoes in
8 your backpack, they have to be taken out and
9 scrubbed clean.

10 But here in La Broquerie, we have a
11 large hog industry, and biosecurity on these hog
12 plants, hog buildings, barns, is very, very
13 severe, very strict, with lots of diseases that
14 spread very easily, and all of the workers -- I
15 don't know if you are familiar with this, but when
16 you go in, you have to have a shower, change of
17 clothes. You work in the barn; when you come out,
18 you have another shower, change your clothes.

19 And if you go in for work, and then --
20 "Darn it, I left my sandwiches in the car." You
21 have to come out and get your sandwiches. You
22 have to have another shower, change your clothes,
23 pick up your sandwiches, go back in, have another
24 shower, and then go to work. You know, they take
25 their biosecurity very, very seriously.

1 But here, if we allow this line to go
2 through, we are going to have all kinds of Hydro
3 workers tramping all over the land, driving their
4 trucks over the land, potentially spreading
5 diseases from one hog barn to another, one area to
6 the next. And I think it could be quite serious.

7 I'm pleased to see you are making lots
8 of notes.

9 Thank you very much. I think that
10 concludes what I had to say. If you have any
11 questions -- I know I was limited to 15 minutes,
12 but since I'm the only speaker, I could probably
13 go on all afternoon, but -- and there is no clock
14 anyway.

15 THE CHAIRMAN: If you need a little
16 more time, go ahead.

17 MR. DAWSON: I think I've run out
18 already. Thank you very much.

19 THE CHAIRMAN: Thank you.

20 Are there any questions from the
21 panel?

22 I just had a question around New
23 Zealand, because you mentioned New Zealand. I
24 have not been there. You asked if any of us had
25 been; I have not.

1 You talked about biosecurity, and I'm
2 not surprised, because I know they have two or
3 three agricultural industries that are very, very
4 important.

5 Have you been -- you have been there?
6 Or --

7 MR. DAWSON: I have, yes.

8 THE CHAIRMAN: Do they also
9 practice -- I mean, they must have situations
10 where other people, whether it is utility workers
11 or other kinds of infrastructure workers, go onto
12 the land there. Do they -- they must practice --
13 you know, they must have to get at least to the
14 same level of care in biosecurity as would the
15 workers who operate those facilities. So they
16 must have protocols they have to follow there. Is
17 that --

18 MR. DAWSON: I can't speak -- I don't
19 know. I only went there on a visit. But I would
20 say that when I went in there, they ask you -- I
21 mean, here we go through security, and you get
22 asked all sorts of questions when you are going
23 through the airport: "Did you pack your suitcase
24 yourself?" That sort of thing.

25 There, they want to know, do you come

1 from a farm, or have you visited any farms, or do
2 you have clean shoes -- also, if you have apples
3 in your bag, or if you have some honey -- in my
4 case, I was taking a gift of some honey to some
5 friends; it was all confiscated. They will not
6 allow any agricultural produce in the country.

7 Thank you.

8 THE CHAIRMAN: Well, thank you. And
9 thanks for answering the question, and for a very
10 good presentation. Thank you.

11 MR. DAWSON: Thank you. You're
12 welcome.

13 THE CHAIRMAN: Do we have any other
14 presentations? And -- yes?

15 MR. BLONSKI: I have heard from people
16 that said that they are going to pop in for the
17 day, but they can't commit to the entire Saturday.
18 So I don't now -- I can't say -- I do imagine that
19 there would be people that are expecting us to be
20 open until closing time.

21 THE CHAIRMAN: Well, we are going
22 to -- that's a good point, actually, because we
23 are going to stay here. So we will be here. So
24 if anyone comes in and wants to speak, we will
25 just reactivate things.

1 I did want to mention that we do have
2 an expert in electromagnetic fields who spoke this
3 morning, and stayed for the rest of the morning,
4 and is here this afternoon. If there is anyone
5 who has questions about that area, he is also
6 sitting at the back of the room.

7 So I think I will leave it at that for
8 now. We will just wait.

9 MS. JOHNSON: Mr. Bailey is here
10 until 2:00 o'clock.

11 THE CHAIRMAN: Oh. Okay.

12 I think you all heard that, but
13 Mr. Bailey, William Bailey, the expert on
14 electromagnetic fields, will be here until
15 2:00 p.m., so not much longer. So grab him now if
16 you want to ask any questions.

17 Thanks.

18 (Recess taken)

19 THE CHAIRMAN: I have a quick
20 announcement to make. On Thursday night there was
21 a couple of names mentioned during the course of
22 presentations here. And we've had a discussion
23 about it and it's been in the history of the
24 operations of the Clean Environment Commission,
25 and just makes it common practice in tribunals, so

1 we will not be printing those names in the
2 official record which we post on our website. So
3 the names that were mentioned, were individuals --
4 where individuals were mentioned or things are
5 said about individuals, those are not to be
6 mentioned in the record or transcript of the
7 proceedings. Just so you are all aware. All of
8 the points that are made throughout will be there,
9 but not associated with names.

10 Just so you are all aware of that,
11 that's what we will be doing with the record.
12 Thanks. And we are still here waiting if any of
13 you have presentations or for others to arrive, so
14 thanks.

15 (Hearing panel stood down)

16 (Adjourned at 3:10 p.m.)

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OFFICIAL EXAMINER'S CERTIFICATE

Cecelia Reid and Debra Kot, duly appointed
Official Examiners in the Province of Manitoba, do
hereby certify the foregoing pages are a true and
correct transcript of our Stenotype notes as taken
by us at the time and place hereinbefore stated to
the best of our skill and ability.

Cecelia Reid
Official Examiner, Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.
The unregistered version of Win2PDF is for evaluation or non-commercial use only.
This page will not be added after purchasing Win2PDF.