

MANITOBA CLEAN ENVIRONMENT COMMISSION

REGIONAL CUMULATIVE EFFECTS ASSESSMENT

WORKSHOP

\* \* \* \* \*

Transcript of Proceedings  
Held at Manitoba Hydro Building  
Winnipeg, Manitoba  
THURSDAY, JUNE 15, 2017

\* \* \* \* \*

CLEAN ENVIRONMENT COMMISSION

Serge Scrafield	- Chairman
Terry Johnson	- Commissioner
Glennis Lewis	- Commissioner
Neil Harden	- Commissioner
Tim Sopuck	- Commissioner
Cathy Johnson	- Commission Secretary
Phil Shantz	- Consultant
Doug Smith	- Report writer

## INDEX OF PROCEEDINGS

## AGENDA TOPICS:

1. Introduction by Ms. Tracey Braun	6
2. RCEA Methodology by Allison Zacharais	14
3. MH system description by Nick Barnes	28
4. People by Laura McKay	46
5. Physical Environment:	
Water Regime by Brian Giesbrecht	90
Erosion and Sedimentation by Wil De Wit	106
6. Water:	
Water Quality by Megan Cooley	126
Fish Community & Quality by Richard Remnant	139
Sturgeon by Cam Barth	153
Mercury in Fish by Wolfgang Jansen	159
Seals & Belugas by Chandra Chambers	172
7. Land:	
Terrestrial Habitat & Intactness by James Ehnes	175
Waterfowl, Colonial Waterbirds, Aquatic Furbearers by Rob Berger	192
Moose, Caribou, Polar Bears by Doug Schindler	217
8. Integrated Summary Report - Summary of aquatic & terrestrial effects	
By Gary Swanson	231
By Don MacDonald	235
By Rachel Boone	259
9. Wrap up and next steps by Shelley Matkowski	272

1 THURSDAY, JUNE 15, 2017

2 UPON COMMENCING AT 8:30 A.M.

3 MS. ZACHARIAS: Okay. I was going to  
4 quickly -- I'm Allison Zacharias, by the way. I  
5 work at Manitoba Hydro, in the Environmental  
6 Licensing and Protection Department. I was going  
7 to start by reviewing the agenda for the day.

8 So I don't have my back to anybody.  
9 Sorry.

10 Okay. So as far as the day, this is  
11 how we have broken it up. We are going to have  
12 Tracey Braun come up and give an introduction,  
13 talk about the purpose of the workshop and the  
14 RCEA terms of reference. I'm going to do a  
15 presentation on the RCEA methodology.

16 We are then going to have the Manitoba  
17 Hydro system description, which will be done by  
18 Nick Barnes. The People section, which will be  
19 done by Laura McKay.

20 We'll take a break. We then have the  
21 physical environment sections; that will be done  
22 by Brian Giesbrecht for the water regime, and Wil  
23 DeWit for the erosion sedimentation.

24 We will then start our water technical  
25 presentation with an intro water quality

1 presentation by Megan Cooley at North/South. The  
2 fish community and fish quality by Richard  
3 Remnant, North/South. We'll have a lunch break in  
4 there; lunch will be provided.

5 We'll then continue after lunch with  
6 water presentations. We have a sturgeon  
7 presentation by Cam Barth, from North/South.  
8 Mercury in fish, Wolfgang Jansen, from  
9 North/South, and seals and belugas by Chandra  
10 Chambers, from North/South.

11 And then we will move into the land  
12 technical presentation. We will have the intro on  
13 intactness and terrestrial habitat, which will be  
14 done by James Ehnes from ECOSTEM.

15 We'll then move into waterfowl, moose,  
16 colonial water birds, polar bears, by Rob Berger  
17 at Wildlife Resources Consulting, and then some  
18 caribou herds will be done by Joro Consulting,  
19 Doug Schindler.

20 We'll then take an afternoon break,  
21 and then we're going to go into our integrated  
22 summary report. This is the summary report based  
23 on the Phase II report. And we are going to have  
24 Gary Swanson talk about the process that we  
25 undertook to come up with that report. And then

1 Don MacDonald and Rachel Boone, to talk about some  
2 of the findings coming out of that report.

3 Then we will have open discussion, and  
4 then Shelly Matkowski is going to end up with  
5 wrapup and next steps.

6 So, any questions before we get  
7 started?

8 So, because this is being transcribed,  
9 we have to make sure that our transcriber can  
10 clearly hear everyone. So if there are questions  
11 that are coming up, and if she can't hear answers,  
12 you may have to come up and use the microphone.  
13 She'll give us the signal if she can't hear what  
14 we're saying.

15 Okay. So, with that, I will turn it  
16 over to Tracey Braun.

17 MS. BRAUN: Great, okay.

18 Good morning, everybody, and welcome  
19 to today's workshop on the Regional Cumulative  
20 Environmental Effects Assessment, also known as  
21 RCEA. I'm pleased to provide the introduction to  
22 you today. And with that, I will get into -- see  
23 if I can use this machine here. There we go.

24 So the purpose of today's workshop is  
25 to provide an overview of the RCEA process and

1 what the key findings were of that process, and to  
2 provide information to the Clean Environment  
3 Commission members to assist with their public  
4 outreach process, which is just beginning early  
5 this spring and throughout the summer.

6 With that, I would like to introduce  
7 the members of the Clean Environment Commission.  
8 Here is -- Mr. Scrafield is the Chair of the  
9 Commission. And we have Cathy Johnson, who is the  
10 Secretary to the Commission.

11 And did I miss anyone else in here?  
12 No? Okay.

13 MS. ZACHARIAS: I think there are  
14 additional members.

15 MS. BRAUN: Oh. I apologize. Okay.

16 I would like to introduce the other  
17 members of the CEC. Could you raise your hand for  
18 me, and -- Serge, can you help me out?

19 THE CHAIRMAN: Sure.

20 MS. BRAUN: Sorry, I don't know their  
21 names.

22 THE CHAIRMAN: Terry Johnson, and  
23 Glennis Lewis. And Neil Harden. Doug Smith.  
24 Phil Shantz, who is our consultant. And Tim  
25 Sopuck.

1 MS. BRAUN: Okay. Thank you. Sorry  
2 about that, Serge. I didn't mean to put you on  
3 the spot. I really didn't.

4 So -- okay. Background, and terms of  
5 reference. Where this all came about: Some of  
6 you may remember back in the Bipole days, in the  
7 hearings, the CEC at the time wrote a report with  
8 licensing and non-licensing recommendations. And  
9 one of the non-licensing recommendations was as  
10 we've said it here; I'm not going to read the  
11 exact assignment here. You can see it there.

12 But basically they recommended that a  
13 full Regional Cumulative Effects Assessment be  
14 done for a specific area in the north of Manitoba  
15 before any future licences would be considered or  
16 granted -- with the exception of Keeyask, because  
17 that project was already underway, in terms of the  
18 regulatory side.

19 So, that is what kicked this off. And  
20 the Minister at the time agreed to adopt this  
21 recommendation, and that's how we started to do  
22 this work.

23 So, the terms of reference for the  
24 RCEA were developed and approved by -- in  
25 cooperation with Sustainable Development, and also



1 by Manitoba Hydro. And the terms of reference  
2 basically provide the scope, the study approach,  
3 the challenges, the end products, the process for  
4 collaboration between Manitoba and Manitoba Hydro,  
5 and then of course the schedule.

6           Those terms of reference are available  
7 publicly on the registry and websites. One of the  
8 things -- key things in the terms of reference is  
9 we were going to be able -- what we wanted to do  
10 was identify and describe what the cumulative  
11 effects had been up in the North, and document  
12 those, and then how those cumulative effects  
13 impacted the people that lived in that area over  
14 the past, and then what can we do going forward,  
15 what kind of monitoring should we implement, what  
16 sorts of next steps should we be doing, based on  
17 our assessment of those two things. That was the  
18 overall objective of the study.

19           And it was -- here again I am going  
20 into a little bit more detail in the terms of  
21 reference. But it was to identify and describe,  
22 as I mentioned, that -- describe the current state  
23 of the environment. And it was really based on a  
24 review and synthesis of past and ongoing studies  
25 and monitoring programs. And it came in -- and it

1 included hydroelectric developments along the  
2 Nelson, Burntwood, and Churchill River systems.

3           And we actually ended up deciding --  
4 the working group decided on doing an area larger  
5 than that, because from an environmental  
6 consistency perspective, it made sense to extend  
7 the area a little bit larger. So that's what we  
8 did.

9           And we made a commitment at the  
10 beginning of the project, and I believe it was  
11 back in 2015, that we would do some form of public  
12 outreach. Again, we weren't sure exactly how that  
13 would look, but that's the commitment that we  
14 made. And between the two organizations, we  
15 developed a working group team. And that's how we  
16 kicked this whole thing off.

17           Is that the end of my slides? Is it?  
18 Okay.

19           Well, I wanted to just identify a  
20 couple more things. One is that if -- we decided,  
21 because of the volume of work that had to be done,  
22 is that we wanted to do it in chunks, you know,  
23 sizeable chunks. So we started off with going and  
24 taking all of the information and monitoring that  
25 had been done in this area for the past, you know,

1 30 years or so, way before the days of computers  
2 and that sort of thing, when people used  
3 typewriters and files and things like that.

4           So the folks at Manitoba Hydro really  
5 put a huge effort, over six months, in getting all  
6 of this past historical information and making it  
7 electronic, so that it would be available for  
8 future generations, and that it won't be lost.

9           And it really -- it wouldn't be a fun  
10 task, so to speak, because it involves a lot of --  
11 you know, putting the stuff in a -- you know,  
12 putting it electronically. But it certainly is  
13 worthwhile in terms of the future development in  
14 the area, because any time anybody wants to go now  
15 and do something there, they have the history of  
16 data to be able to build upon in the environmental  
17 impact approach.

18           So it was a good exercise to do, and  
19 it was finished in a report that was basically a  
20 Phase I report. And it is just a report that has  
21 all of the information in it. It is a large  
22 compendium of information. It is not meant to be  
23 read from cover to cover. It is there as a  
24 resource.

25           Then we embarked on Phase II of the

1 RCEA. And Phase II basically was taking all of  
2 that information and getting a working group  
3 together and setting out what are the key things  
4 that we would want to assess in terms of  
5 cumulative effects.

6 So we came up with some measures, and  
7 you will be hearing about those later today. And  
8 then we started to assess the current environment  
9 against those things.

10 And that was our Phase II report. And  
11 that was finished, I believe, in December of last  
12 year.

13 And both of those reports and all of  
14 that information is available on the websites and  
15 electronically, and I think our working group is  
16 confident that it will become a good source of  
17 information for Manitoba going forward.

18 We also developed -- because we wanted  
19 to have an easier-read-type document, what we call  
20 an executive summary. And it takes all of that  
21 work and puts it into a simple language format,  
22 and could be used as we go into our next stage,  
23 which is where we are right now, the public  
24 outreach. And that document, the summary  
25 document, will be used to help facilitate that

1 public outreach.

2                   And that's where we have the Clean  
3 Environment Commission coming in. They have  
4 kicked off that program, and that's where we are  
5 right now. I anticipate it to take place over the  
6 summer, and sometime in the fall we will get some  
7 feedback, or towards the end of the year. And  
8 then that feedback will help us to conclude what  
9 the final part of our terms of reference is, which  
10 is what do we do going forward, and what kind of  
11 monitoring should be undertaken to continue to  
12 manage this area appropriately for future  
13 generations.

14                   So that's my introduction. I'm sorry  
15 I eliminated the slide. I wasn't supposed to do  
16 that, but anyway, I did.

17                   Unfortunately, I will not be able to  
18 be with you here all day today, but I would like  
19 to introduce two of my representatives, should you  
20 have any questions of the Environmental Approvals  
21 Branch.

22                   I can't remember if I introduced  
23 myself at the beginning. I'm Tracey Braun; I'm  
24 the director of the Environmental Approvals Branch  
25 with Manitoba Sustainable Development.

1                   I would like to introduce Darryl  
2   Guenette and Bruce Webb and Rob Matthews, are all  
3   in my branch. They will be here with you all day  
4   today. So if you have any questions, from a  
5   government perspective, please feel free to ask  
6   them. They are very friendly folks, and I'm sure  
7   they will be happy to talk to you.

8                   With that, thank you very much, and  
9   enjoy your day.

10                  MS. ZACHARIAS: Any questions for  
11   Tracey before we move on?

12                  Thank you. Okay. I'm going to talk  
13   about the RCEA methodology. So, as I mentioned  
14   earlier, I'm Allison Zacharias; I work here at  
15   Manitoba Hydro.

16                  Tracey nicely touched on this, so I  
17   don't have to go into a lot of detail, but we did  
18   undertake a phased approach for the Regional  
19   Cumulative Effects Assessment.

20                  So we did a Phase I, as Tracey  
21   mentioned, that was completed back in May 2014.  
22   This was considered what we called an interim  
23   product, and it provided an early indication of  
24   the approach and available documentation that  
25   would be used to undertake the RCEA, Phase II.

1                   This was also an opportunity for  
2 Manitoba and Manitoba Hydro to get together and  
3 ensure that we were all on the same page with  
4 respect to the approach for Phase II.

5                   We then undertook the Phase II, which  
6 was completed in December 2015. And this  
7 document, quantitatively where possible, or  
8 qualitatively, describes post-project cumulative  
9 effects of hydroelectric development on the  
10 people, the water and land in the region of  
11 interest, and I will speak about region of  
12 interest on the next slide.

13                   It also describes, to the extent  
14 possible, the current health of the ecosystem in  
15 the region.

16                   So with respect to the spatial scope,  
17 or the region of interest, as we call it, this  
18 area was selected to encompass the main areas  
19 directly affected by Manitoba hydroelectric  
20 development associated with the Lake Winnipeg  
21 Regulation, Churchill River Diversion, and  
22 associated transmission and infrastructure  
23 projects. So it included the Nelson, the  
24 Burntwood, and the Churchill River systems.

25                   As Tracey mentioned, this region

1 encompassed a broader area than was recommended by  
2 the CEC in the Bipole III report. The Bipole III  
3 recommendations spoke about the Nelson River  
4 subwatershed, and specifically mentioned that at a  
5 minimum, we needed to include Jenpeg, Kettle, Long  
6 Spruce, Limestone, Bipole I, Bipole II, Bipole III  
7 to the extent possible, and associated  
8 infrastructure in the RCEA.

9           So, recognizing the impacts associated  
10 with the Churchill River Diversion, we felt it was  
11 important to ensure that we were including both  
12 Lake Winnipeg Regulation and the Churchill River  
13 Diversion in this document, and also recognizing  
14 that a lot of the concerns that the Clean  
15 Environment Commission had heard came from  
16 communities affected by not only Lake Winnipeg  
17 Regulation, but also the Churchill River  
18 Diversion. This area also encompasses resource  
19 management areas, as well as registered traplines  
20 that have been also directly impacted by  
21 hydroelectric development.

22           So this map shows the region of  
23 interest. You can see the black line outline here  
24 shows the entire region of interest. And as I  
25 said, it includes the Lake Winnipeg Regulation,



1 Churchill River Diversion, transmission and  
2 associated projects.

3           Continuing on with scope, as far as  
4 the information that was used for the RCEA, we  
5 used, to the extent it was available,  
6 pre-development data to describe pre-development  
7 conditions. We also then used information on  
8 hydroelectric-specific effects that had been  
9 collected from approximately 1950s to the present  
10 date.

11           As far as the developments that we  
12 included in the scope, it was all existing  
13 Manitoba Hydro development, starting with  
14 Kelsey GS in 1957 to present, which we took up to  
15 2013.

16           As far as developments that were  
17 currently under construction in the region of  
18 interest, including Bipole III and Keewatinook  
19 Converter Station and Keeyask, the information was  
20 used to the extent possible.

21           While the RCEA focused primarily on  
22 Manitoba Hydro impacts, we also did look at  
23 non-hydro projects and activities, to the extent  
24 that they provided either important context for  
25 the assessment or additional information relevant

1 to understanding the current state of the  
2 environment.

3           Often we found, when we were  
4 undertaking the assessment, it was difficult if  
5 not impossible to tease out Hydro-specific effects  
6 from other factors that had been happening in the  
7 region, whether it be domestic harvest, commercial  
8 harvest. And so we did try to include that  
9 information, because that was part of the story as  
10 well.

11           And then as far as additional  
12 information on understanding the current state of  
13 the environment, when we were looking at something  
14 like habitat fragmentation, we took into account  
15 other projects and activities on the landscape as  
16 well.

17           So, as mentioned, this is a  
18 retrospective study that used, to the extent  
19 possible, actual contemporary environmental  
20 assessment and post-project assessment methodology  
21 to meet the objectives of the terms of reference.

22           It is important to note that the  
23 differences in environmental assessment  
24 requirements from the 1960s and '70s to present  
25 day has really influenced the type and the

1 quantity of available data that was used to  
2 conduct the RCEA.

3           So, while Manitoba Hydro met the  
4 requirements of the time, we need to acknowledge  
5 that environmental assessment methodology has  
6 evolved from being nearly absent in the '70s to  
7 more of an ecosystem-based approach in the 2000s.  
8 And that -- as I mentioned, these have influenced  
9 the methods that were used for RCEA.

10           So as far as information sources, I  
11 won't go through this in a lot of detail; there is  
12 a lot of data on this slide. But suffice to say  
13 that a very comprehensive literature search was  
14 undertaken, and there were lots of different  
15 pieces of information that were pulled together  
16 for the RCEA. This information came from many  
17 different sources, including Manitoba Hydro,  
18 Manitoba, federal government, affected First  
19 Nations, as well as others.

20           Also important to note that some of  
21 the early studies in the '70s and '80s, the  
22 issues -- the way the studies were focused were  
23 more issue-specific. So it might have been a  
24 particular fish on a particular water body. So  
25 again, that affects the type of data that's

1 available from the '70s and '80s.

2           As we moved into the '80s and '90s,  
3 the scale started to get a little broader for the  
4 assessment. And then we come to current day,  
5 where we are looking at a more ecosystem-based  
6 approach to monitoring conditions.

7           For example, the Manitoba/Manitoba  
8 Hydro coordinated aquatic monitoring program, we  
9 relied heavily on the data from that program, as  
10 well as environmental assessment baseline studies  
11 for some of our recent developments, including  
12 Bipole III, Keeyask, Wuskwatim.

13           There are some challenges in  
14 undertaking a retrospective assessment dating back  
15 many, many years. And just a few examples of some  
16 of the challenges: Quantitative pre-development  
17 data is really hard to come by. So to the best of  
18 our ability, we included it where we could.

19           Also data sets, over time, change.  
20 So, whether it is analytical methods or equipment,  
21 that will also affect how you can use the data  
22 sets and how you can compare between data sets.

23           Also, as I mentioned, differences in  
24 the types of study or the objectives of the study;  
25 that sometimes makes comparisons between data sets

1 difficult. And the ability to quantify effects  
2 from Hydro being masked by other factors or  
3 effects from other activities.

4           So, again, the fact that there are a  
5 lot of other projects and activities happening  
6 throughout the region of interest, and it is very  
7 difficult at times to pull out  
8 hydroelectric-specific effects, because of these  
9 other compounding factors.

10           Also, Regional Cumulative Effects  
11 Assessments are typically government tools. They  
12 are used for planning purposes for regional  
13 development. The Clean Environment Commission and  
14 terms of reference speak to assessing past  
15 Manitoba Hydro developments, and the fact that  
16 major decisions about this area were made over  
17 40 years ago, and so there has likely been some  
18 confusion with the term "Regional Cumulative  
19 Effects Assessment."

20           As far as the Phase II report, the  
21 structure, at a high level, it was broken down as  
22 follows: We had an introduction and approach. We  
23 talked about hydroelectric developments in the  
24 region of interest. We had a section on people,  
25 physical environment, water, and land.

1 I did want to mention that originally  
2 we had talked about identifying data gaps as part  
3 of the Phase II reporting process. As part of  
4 Phase II, we did hear some concerns from  
5 communities that they were not being consulted as  
6 part of the Phase II process, and so we thought  
7 that it would be faster for us to hold off on  
8 presenting what we felt the gaps were until we  
9 completed outreach and heard the perspectives from  
10 communities.

11 So things like data gaps will be  
12 considered as part of our "next steps" approach.

13 So as far as healthy approach to the  
14 People section of the Phase II report, it  
15 documents Manitoba and Manitoba Hydro's  
16 understanding of the socio-economic effects,  
17 hearings by communities throughout the region of  
18 interest, and it is broken down by type of  
19 development, generating station versus  
20 transmission. It also provides a summary of key  
21 settlements, or settlement agreements programming,  
22 mitigation, and remedial works that have been  
23 established that address these effects.

24 This is just one of the maps that was  
25 used in the People section, and Laura McKay will

1 probably speak to it a little bit more in her  
2 presentation. But basically it outlines both the  
3 resource management areas and registered traplines  
4 for the key communities in the region of interest.

5           As far as the general approach to the  
6 Physical Environment section, this section  
7 describes the key changes to the physical  
8 environment resulting from hydroelectric  
9 development, and includes changes to water regime,  
10 ice regime, erosion, sedimentation, area flooded,  
11 and terrestrial landscape changes.

12           This is one of the maps that was used  
13 in the Physical Environment section. You can see  
14 that the areas throughout the region are broken  
15 into four areas: Area one, which is the upper  
16 Nelson; area two -- sorry, area two, which is the  
17 lower Nelson; area three, which includes Southern  
18 Indian Lake and the Churchill River Diversion; and  
19 area four, which is the Churchill River.

20           In the Physical Environment section,  
21 they then further subdivided those areas into what  
22 they called hydraulic zones of influence. And  
23 Brian Giesbrecht I'm sure will talk more about  
24 those hydraulic zones of influence and how they  
25 were chosen.

1                   As far as the general approach to the  
2 Water and Land sections, we provided an assessment  
3 of the effects of hydroelectric developments on  
4 both the aquatic and terrestrial environment, and  
5 where possible, quantitative description was  
6 provided. And where sufficient data was not  
7 available, a qualitative description was provided.

8                   In order to try to focus the Phase II  
9 assessment for the water and the land, we  
10 developed what we called regional study  
11 components. So we came up with a set of criteria  
12 for determining regional study components, and  
13 these included importance or value to the people  
14 and communities in the region; whether something  
15 was considered an umbrella indicator for groups of  
16 species and ecosystem components; its importance  
17 or value to the overall ecosystem functioning; and  
18 whether it was susceptible to direct or indirect  
19 effects from hydroelectric developments.

20                   So this lists the water and land  
21 regional study components that we came up with,  
22 based on the criteria. So for water, we have  
23 water quality, fish community, lake sturgeon,  
24 mercury and fish quality, beluga whales, seals.

25                   And on the land side, we have



1 terrestrial habitat, intactness, colonial  
2 waterbirds, waterfowl, aquatic furbearers, moose,  
3 caribou, and polar bears.

4 Both the approach to water and land  
5 used a "pathways of effects" approach. For the  
6 water assessment, to provide the most meaningful  
7 assessment, we broke down the region of interest,  
8 again, into those same areas that were used in the  
9 Physical Environment section, so areas 1  
10 through 4.

11 And then for each water RSC, they were  
12 further broken down as made the most sense for the  
13 RSC. And typically it was dependent on the  
14 development for each area, hydroelectric  
15 generating station, how it was operated,  
16 et cetera.

17 And so areas were further decided, and  
18 then cumulative changes across the region of  
19 interest as a whole were then discussed.

20 For the land assessment, again, to  
21 provide the most meaningful assessment, land  
22 regional study components were broken down into  
23 six ecozones throughout the region of interest.  
24 And then these ecozones were further broken down  
25 to terrestrial regions, as it was found that

1 ecozones were too broad to assess effects.

2           The assessment areas for wide-ranging  
3 populations, such as the barren ground caribou,  
4 that move well beyond the region of interest, were  
5 based on the population's range.

6           So, given the strong link between  
7 habitat changes, the effects on wildlife  
8 populations, and then the effects on resource  
9 users or harvesters, the regional study components  
10 for land were broken into two -- broken down to  
11 two scales.

12           So a local scale, which acknowledged  
13 that there has been substantial effects as a  
14 result of particularly hydroelectric generating  
15 stations. So the fact that shorelines have been  
16 substantially affected, and that by affecting the  
17 shorelines, this has then affected the wildlife's  
18 ability to use the shoreline, which then affected  
19 the resource harvesters in the area.

20           So if we only looked at the regional  
21 scale, the localized effects, which have been  
22 profound for the communities, would have been lost  
23 on a regional scale. So we felt it very important  
24 to acknowledge those impacts.

25           Then things were wrapped up at a

1 regional level, and we describe the cumulative  
2 effects on the terrestrial regions.

3           This map, the different colours denote  
4 the different ecozones. There are six ecozones  
5 throughout the region of interest, and those  
6 ecozones were further subdivided into  
7 17 terrestrial regions for the purpose of the  
8 assessment.

9           We also then developed appropriate  
10 indicators, metrics, and benchmarks for each of  
11 the regional study components.

12           So just as an example, so under water  
13 quality, which was one of our regional study  
14 components, one of the indicators was water  
15 clarity. One of the metrics, because there were  
16 three under water clarity, was total suspended  
17 solids. And the benchmark that we used to compare  
18 against was the Manitoba Water Quality Standards,  
19 Objectives, and Guidelines.

20           So, again, that is one example of the  
21 indicators, metrics, and benchmarks that were used  
22 for the various regional study components. And  
23 additional details will be provided in each of the  
24 specific RSC presentations.

25           So, in summary, submission of the

1 Phase II report in December 2015 fulfilled the  
2 CEC's recommendation. At over 5,000 pages, it is  
3 a very comprehensive collection of environmental  
4 and community knowledge, and we feel that it will  
5 be a very important resource for Manitoba as a  
6 whole.

7                   And as Tracey mentioned, from it we  
8 did develop an integrated summary report,  
9 recognizing that 5,000 pages is a lot of  
10 information to go through. So we do have a  
11 presentation talking about integrated summary  
12 later as well.

13                   That's it. Any questions on  
14 methodology?

15                   If anyone wants to top up a coffee, or  
16 -- there are some waters that have come. Please  
17 help yourself.

18                   If not, I will introduce Nick Barnes,  
19 who is going to give the history of hydroelectric  
20 development in the region of interest.

21                   MR. BARNES: Thanks, Allison, and  
22 thanks to the Provincial EAP reps and the Clean  
23 Environment Commission representatives here today.

24                   As you probably know, it is going to  
25 be a very information-heavy day, so hopefully you

1 can get something useful to help you in your  
2 process.

3 My job today is to talk about the  
4 history of hydroelectric development in the region  
5 of interest. As Allison mentioned, my name is  
6 Nick Barnes. I'm currently with the Licensing  
7 Environmental Branch of the transmission staff. I  
8 actually joined Hydro in 2000 to coordinate the  
9 environmental assessment of the major generation  
10 projects that we had as well; Keeyask, and  
11 potentially Conawapa at the time.

12 It's funny, when I was assigned this  
13 task, I was thinking back: You know, I've  
14 actually been working on Manitoba Hydro projects  
15 for more than 30 years. My first job in Manitoba  
16 was to work on a portion of the Lake Winnipeg  
17 Regulation project. And as we got that -- I  
18 worked with Provincial Fisheries on the Limestone  
19 project, and I did my master's thesis on the  
20 subject in Lake Missi Falls. So I've got some  
21 hands-on experience with some of the elements I'll  
22 be talking about today.

23 So, basically I'm going to be talking  
24 about this graphic, which if you've read the  
25 integrated summary, you will notice -- I think it

1 is on page 9 -- talking about basically where we  
2 are at right now and how we got there, in terms of  
3 Manitoba Hydro.

4 So I'm not going to spend a lot of  
5 time on this, but I'll give you some examples of  
6 the information that's on this graphic right now.

7 I thought I'd start with Manitoba  
8 Hydro, what we have at the present time, our  
9 current integrated system. As you know, it's  
10 primarily water-power-generated hydroelectricity.  
11 Renewable resources. We have 15 generating  
12 stations. I think we have six in the region of  
13 interest, potentially seven, hopefully seven, in  
14 the very near future.

15 We have a number of other aspects to  
16 the utility, a lot of potential still remaining in  
17 the province in terms of resources. We have a  
18 number of wind farms right now, a couple in  
19 Southern Manitoba. We have a couple of  
20 thermogenerating stations.

21 We have, obviously -- every generating  
22 station needs to have transmission lines, so we  
23 have quite a network of transmission distribution  
24 lines in the province. And in those remote areas  
25 in Northern Manitoba, we still have a number of

1 diesel facilities. As I mentioned, we have an  
2 integrated system in terms of generating  
3 electricity. So that's where we're at right now.

4           Actually, you can go back a further  
5 step in the past and talk about electricity in  
6 Manitoba and where things came from. It started  
7 in the -- I guess when -- European settlement, and  
8 Winnipeg being the gateway to the West, a lot of  
9 activity in Winnipeg in terms of electrical  
10 development. A number of independent companies  
11 generated and sold electricity. And development,  
12 primarily in rural areas, agricultural development  
13 was really expanding quite rapidly, so there was a  
14 need to provide power.

15           What evolved was a number of  
16 independent companies providing that power. And  
17 there was a recognition by the Province that there  
18 was a need to coordinate the growth and  
19 development of electricity. So there was the  
20 formation of the Manitoba Power Commission, whose  
21 primary function was to try and manage and  
22 consolidate responsibility for power generation.

23           After the War, a lot of industrial  
24 development in Winnipeg, and Manitoba in general.  
25 So, again, a sort of almost exponential increase

1 in the need for electricity.

2 The Winnipeg River was developed  
3 further. The hydro generation on the Winnipeg  
4 River certainly began at that time. And there was  
5 a recognition of the need to maybe be more  
6 structured in the planning of developments.

7 And that's probably one of the primary  
8 reasons that the Manitoba Power Commission and the  
9 Manitoba Hydroelectric Board joined. 1949 is when  
10 the Manitoba Hydroelectric Board was established  
11 to do that more structured forward planning. And  
12 then in 1961, there was a merger of those two  
13 organizations, to really look at basically what we  
14 had and where we're going in a more structured  
15 kind of way.

16 So there was a lot of development, and  
17 recognition that there was a need to really do  
18 some forward planning in how we supplied that.  
19 The Winnipeg River facilities had pretty much been  
20 tapped out, and there was a search for -- how are  
21 we going to supply this electricity?

22 There were a couple of factors --  
23 probably more than a couple of factors, but two  
24 primary factors that actually caused the activity  
25 in our region of interest. One was in the late



1 '50s and early '60s, development of this  
2 high-voltage direct-current technology.  
3 Transmission lines had been alternating current.  
4 And this technology, that allowed much less line  
5 loss over long distances, really was a catalyst  
6 for development in the North. AC transmission,  
7 five, six hundred kilometres, was really not being  
8 efficient, and Thompson is more than  
9 730 kilometres away from Winnipeg, so it wasn't  
10 feasible to bring power.

11           So, it was that, in combination  
12 with -- I think actually it probably stimulated as  
13 part of the transfer of some of the Northwest  
14 Territories to Manitoba in 1912 or so, and there  
15 was a big federal study in what is now Northern  
16 Manitoba, by the Department of Mines. And one of  
17 the focuses actually was to look at power  
18 development in the Nelson and Churchill River. So  
19 there was that really good, detailed data base,  
20 which seemed to demonstrate that there was a lot  
21 of opportunities.

22           So those two things in combination,  
23 the fact that there was another source available,  
24 and to get that power down to the South was what  
25 stimulated the Federal/Provincial development.

1 And it was actually the formation of the Nelson  
2 River Programming Board in 1963 that began to, in  
3 a very organized way, look at how we are going to  
4 extract that power from primarily the Nelson  
5 River.

6                   So there were a number of projects  
7 developed, as you heard; Allison touched them.  
8 Lake Winnipeg Regulation, that had evolved. I  
9 guess initial studies of that was looking at  
10 controlling Lake Winnipeg, primarily for flood,  
11 from a flooding perspective; local land owners,  
12 Lake Winnipeg. And there looked to be some  
13 opportunities with that project.

14                   The diversion of the Churchill River  
15 into the Nelson was another obviously big  
16 component. And then of course developing a  
17 generating station to start with, and an HVDC  
18 transmission line to bring that power down South.  
19 So those were the key elements of the first phase  
20 of activity.

21                   Just to sidetrack, just so we are  
22 aware, it was -- this activity and development was  
23 also done in a very different age, in terms of  
24 societal development, and governments took a very  
25 paternalistic kind of perspective in developing

1 projects and so on. There were a number of very  
2 strong pieces of legislation, both federal and  
3 provincial, but there wasn't detail in terms of  
4 some of the environmental aspects, environmental  
5 and socio-economic aspects.

6 We had the Federal Constitution Act,  
7 but it was much later that there was the  
8 sensitivity to Aboriginal rights. The Federal  
9 Fisheries Act, we get to have a policy that  
10 defines some of the details.

11 Interestingly, in 1968 is when we had  
12 the Clean Environment Act, where the Clean  
13 Environment Commission was established, with quite  
14 a limited role to today, so it was a more limited  
15 role than today. It was more an approvals role  
16 back in the '60s.

17 So there was legislation, but not the  
18 type of legislation that put a lot of constraint,  
19 and a very different mindset in terms of  
20 development, which influenced how things evolved.

21 The other thing I want to mention -- I  
22 think Allison touched on it too -- yes, hydro  
23 power development dominated this area that we're  
24 talking about, but there were other activities  
25 occurring; throughout the project, there were

1 other things occurring. Railways, commercial  
2 trapping and fishing, mining roads, and so on. So  
3 we weren't the only game in town, for sure, but we  
4 were certainly probably the biggest.

5           So the other thing I want to mention  
6 is -- actually, interesting enough; this was prior  
7 to the formation of Manitoba Hydro. The Manitoba  
8 Hydroelectric Board responded to a request from  
9 Inco, in the Thompson area, to provide a source of  
10 power for the mining development; a big stimulus  
11 for the development of Thompson.

12           So there was an initiative to develop  
13 the Kelsey Generating Station on the Nelson River  
14 to provide -- it was all AC power -- to provide  
15 that local power source to Inco.

16           So we're talking about the time frame  
17 now, and again, if you're looking at the RCEA  
18 study, 1950 to 1976 is the phase that we're  
19 talking about right now.

20           So, all four of those projects I  
21 mentioned previously, developed by the Nelson  
22 River Programming Board, were constructed between  
23 1966 and 1976. And the elements -- I'll use this  
24 screen over there; hopefully everyone can see  
25 this.

1                   So we're talking about the CRD  
2 project, which was basically providing control on  
3 either end of South Indian Lake, Missi Falls to  
4 the north and Notigi to the south, raising the  
5 lake 10 metres, diverting basically 80 per cent of  
6 the Churchill River through a channel that  
7 connected the Rat River and the Burntwood River  
8 into Split Lake, and into the Nelson drainage  
9 basin.

10                   There was a need to develop reliable  
11 power in the Nelson River. One of the challenges  
12 that we have in development of electricity is it  
13 doesn't match the natural flow of rivers. We get  
14 the spring freshet, and then of course things  
15 dissipate with the summer. The needs for  
16 electricity are typically in the winter, when it's  
17 cold, and in the summer, when it's hot. So that's  
18 when your big power supply needs are. So there  
19 was a need to kind of develop a power source that  
20 met those needs, and that required reservoirs. So  
21 that was one element.

22                   The other big project was the Lake  
23 Winnipeg Regulation, and that was developing a  
24 control structure at Jenpeg, and doing some  
25 channel modifications to make the flow of water --

1 particularly in the winter time, with ice  
2 issues -- more efficient into the system. And as  
3 I mentioned, the generating station and the HVDC  
4 transmission line.

5           So I'm going to just briefly go  
6 through those examples. We have the generating  
7 station, the Kettle generating station, and that  
8 was -- construction started in 1966 and went until  
9 1974. We had the HVDC transmission lines. One  
10 was Bipole, and because they established a big  
11 right-of-way, they were able to put both the  
12 Bipole I and Bipole II in the right-of-way.

13           Converter stations: When you move  
14 electricity through -- high voltage, direct  
15 current -- you need to bring it up from  
16 alternating to direct and then take it back down  
17 to alternating. So there was a need to put  
18 converter stations both in Northern Manitoba and  
19 one in Southern Manitoba, so you could link back  
20 to the -- to and from the alternating current  
21 systems that we had.

22           As I mentioned, Lake Winnipeg  
23 Regulation was certainly one of the big  
24 components. And so the Jenpeg control structure  
25 controlled the flows and the levels in Lake

1 Winnipeg, and the flows through these channels  
2 that were converted that were developed into the  
3 Nelson River.

4           And then the CRD, as I mentioned  
5 before, you had the Missi Falls control structure  
6 at the north end of South Indian Lake and the  
7 Notigi structure at the south end of South Indian  
8 Lake that raised the lake levels and allowed the  
9 flow of water against the flow to the south and  
10 into the Nelson River.

11           And then Phase II was the development  
12 of a number of power stations on the Nelson River.  
13 Long Spruce was started in 1973. And, yeah, that  
14 was a sidetrack I wanted to talk about, is this  
15 phase of development sort of post '76 or post '80.

16           Now we began to transition into a much  
17 greater awareness of some of the environmental and  
18 socio-economic issues associated with projects.  
19 There were amendments to existing pieces of  
20 legislation, to be more sensitive to some  
21 important aspects. The federal government  
22 developed its first form of environmental  
23 assessment review process. It wasn't really an  
24 approval process, but at least it was a structured  
25 planning process.

1                   The Fisheries Act had a bit more  
2   structure and details, so instructions and  
3   guidance in how it should be addressed. The  
4   Environment Act came out in the late '80s, which  
5   was way ahead of its time at that time, and  
6   provided very good guidance and requirements in  
7   terms of assessing and approving projects.

8                   And then later, of course, we had the  
9   Canadian Environmental Assessment Act, a couple of  
10  versions of that.

11                  And then more recently, some of the  
12  more recent projects, we've been working through  
13  the new implications in terms of federal  
14  legislation, based on Bill C38, with the Canadian  
15  Environmental Assessment Act, Fisheries Act,  
16  Navigation and Protection Act, that provided  
17  additional instruction and guidance to the  
18  regulatory environmental assessment process.

19                  So, anyway, in that sort of time  
20  frame, the next project was the Limestone project,  
21  started in 1976, postponed because -- I guess the  
22  decrease in -- well, lower than expected load  
23  growth, and then restarted in 1985, is when I was  
24  involved in it.

25                  Wuskwatim, we're probably all familiar



1 with. It was actually a transitional project  
2 between the old Environmental Assessment Act and  
3 the new. That's now constructed, in 2012.

4 And we are dependent on a number of  
5 these aspects. Bipole III, of course, we are all  
6 aware of that, with the associated converter  
7 stations, both in the North and the South.

8 And then Keeyask, under construction  
9 right now, started in 2012. Not only the  
10 generating station, but the associated  
11 infrastructure, the roads were started earlier  
12 than the generating station for the construction  
13 camp, and the generating station itself and the  
14 associated transmission, which is planned to be  
15 finished in 2021.

16 So that, basically, is what I want to  
17 talk about. So, again, we're back to where we  
18 started, and this is the configuration that we  
19 have for a number of generating stations. We have  
20 the Churchill River Diversion project, the Lake  
21 Winnipeg Regulation project, generating stations,  
22 and then HVDC transmission, to be converted, and  
23 bring that power down to Southern Manitoba.

24 So that's what I have to say. I hope  
25 I didn't go too fast, and you sort of picked up

1 what I was communicating. If there are any  
2 questions I'll try my best. I'm not expert in  
3 some of these things; somebody may have more  
4 understanding of the history than I do.

5 THE CHAIRMAN: This is -- I realize it  
6 is not directly related to the project, but -- at  
7 what point did Hydro make the decision, or did it  
8 begin exporting power? I guess those are two  
9 different dates. Do you have any idea of that?

10 MR. BARNES: I know there are others  
11 that can answer more specific. Power export, it  
12 was actually another ingredient in the thinking  
13 about developing the North. From the federal  
14 side, I know there was interest in that grid, the  
15 national grid, and I know there was some  
16 discussion and interest in exporting.

17 Is there anyone here that's more  
18 familiar with exactly when that happened? We can  
19 list that as a question. I'm not sure.

20 THE CHAIRMAN: And I raise it only  
21 because, obviously, the timing of developments in  
22 the North would have been affected, I assume, by  
23 that factor. That's what I'm assuming. But I  
24 don't actually know the dates.

25 MR. BARNES: Obviously, the primary

1 incentive was addressing the needs of the domestic  
2 load growth. But as I say, I know there was an  
3 interest in opportunities not only to export to  
4 other provinces -- which happened in the  
5 late '50s, I think; we began to develop  
6 transmission East and West. But I think there was  
7 discussion even then about potential  
8 opportunities.

9 MR. DAVIES: I think it was thought  
10 about as early as the Bipole I and II because  
11 Canada originally paid for of development of  
12 Bipole I and II and then Manitoba Hydro I believe  
13 later paid them back.

14 THE CHAIRMAN: Yes. I wonder if I  
15 could interrupt for a second. Because we are  
16 having this all transcribed -- that's our doing,  
17 not yours, so I apologize, in a sense, for that --  
18 I wonder if you could speak up--

19 MR. BARNES: I can repeat it, if you  
20 like.

21 What Stu was saying is his saying is,  
22 from his understanding -- and he's been around for  
23 a long time -- that Bipole I and II, during that  
24 period, they were actually built by Atomic Energy  
25 of Canada, a federal organization. So that was

1 probably another reason their interest, probably  
2 for export power.

3 MS. COLE: We should probably make the  
4 point that the primary driver for most of that  
5 early development was domestic need; we weren't  
6 exporting a lot of power.

7 Export of our power to the U.S. really  
8 started to ramp up throughout the '90s and early  
9 2000s, and that's when we started to export some  
10 of our -- with the export market in mind, knowing  
11 we need them long term, like Wuskwatim. But prior  
12 to that, there weren't -- it wasn't the same as  
13 it is now.

14 And the exports are primarily done to  
15 keep rates low within Manitoba, so we're exporting  
16 our power typically at a higher cost, to keep  
17 rates lower in Manitoba. But the primary driver  
18 is domestic need; it is not the export market.

19 THE CHAIRMAN: So at least up until --  
20 I think you said the '90s -- the primary reason,  
21 the driver, was the domestic load, and then the  
22 surplus, or the unused capacity, was exported;  
23 whereas in more recent years, there's been more  
24 attention to the export.

25 MS. COLE: Yeah, still the primary

1 driver is the domestic market. There has to be  
2 domestic need.

3 MR. JOHNSON: If it is of assistance,  
4 with regards to the export side of things, you  
5 might want to refer to Line Y20P that delivers  
6 power to the United States out of the La Verendrye  
7 substation, and also Ridgeway with the Man Dam  
8 line that went into service back in the '70s.

9 MR. BARNES: Yeah.

10 MS. LEWIS: You described the  
11 environmental assessment legislation in Canada. I  
12 wonder if you can elaborate a little more on how  
13 the federal environmental process fits into  
14 assessment of these projects.

15 MR. BARNES: Of the -- well, we can go  
16 back to that slide; maybe that would help a little  
17 bit.

18 It's been evolving, and as I  
19 mentioned, in terms of federal EA, you had the  
20 environmental assessment review process in  
21 the '80s, but it didn't have a lot of teeth; it  
22 was more of a planning tool. Again, people like  
23 Stu probably know more detail about that.

24 It wasn't until '92 that the Canadian  
25 Environmental Assessment Act was in place, and

1 it had an approvals process of the projects.

2 Prior to then, I think it was more planning and  
3 guidance.

4 Am I missing anything?

5 MS. ZACHARIAS: So, Nick, I think our  
6 first big project that went through the federal EA  
7 process was Wuskwatim.

8 MR. BARNES: Yeah, it would have been  
9 Wuskwatim, for the review process, for sure. The  
10 earlier version of Conawapa was I guess happening  
11 when -- it was transitioning, but -- yeah, that's  
12 right.

13 Other questions?

14 Okay. I'll be around if you have any  
15 that you think of later. Thank you very much.

16 MS. ZACHARIAS: Next up we have Laura  
17 McKay, who is going to speak about the People  
18 section of the report.

19 MS. MCKAY: Good morning, everybody.  
20 My name is Laura McKay, as Allison mentioned, and  
21 I work in Manitoba Hydro's indigenous relations  
22 area.

23 If I speak too fast, please let me  
24 know, as that's my natural tendency.

25 As Allison mentioned, today we'll be

1 speaking to you about Manitoba Hydro's Phase II  
2 People submission. I'm going to spend a little  
3 bit of time speaking about communities in the  
4 region of interest, talk a little bit about the  
5 approach, the People submissions, and as well the  
6 limitations and challenges we experienced when  
7 putting the materials together.

8           And for the remainder and large part  
9 of my presentation, I'm going to focus on  
10 providing a summary of key effects and related  
11 compensation, mitigation, and remediation measures  
12 that have been taken to address those effects.

13           If you have any questions throughout,  
14 please feel free to stop me as we go along.

15           Allison already showed you this map.  
16 This is our RCEA region of interest. This map  
17 does show the community resource management area  
18 and registered trapline areas.

19           In the region of interest, we have  
20 eight First Nations communities, eight Northern  
21 Affairs communities, three towns, and one major  
22 city.

23           The Phase II People submission  
24 includes five chapters. The first is an  
25 introduction, the second being study scope,

1 approach, and methodology.

2           The third chapter is a regional  
3 profile, and the regional profile includes a  
4 summary of key historic events that have affected  
5 people in the region of interest, as well as a  
6 demographic profile, over time, of this region.

7           The demographic profile summarizes the  
8 information we have on key demographic indicators  
9 related to population, economy, other  
10 socio-economic topics, like education and crime.  
11 And it also presents information we have on  
12 regional planning and health and well-being.

13           The fourth chapter provides a summary  
14 based on Manitoba and Manitoba Hydro's  
15 understanding of hydroelectric effects at a  
16 regional level, as well as, again, the related  
17 compensation, mitigation, and remediation measures  
18 that have been taken to address those effects.

19           And the fifth chapter presents a  
20 summary of community information that was  
21 available at the time of the study.

22           The summary of community information  
23 is broken down by community. It includes  
24 background information and demographic information  
25 by community. It also includes a summary of



1 hydroelectric development relevant to each  
2 specific community.

3           It provides a summary of what we've  
4 heard from the communities over time. Those  
5 summaries are based on materials we have from the  
6 communities themselves, and while they don't  
7 replicate the communities' voice, their intent is  
8 to share what we have from the communities over  
9 time about their experiences and perspectives.

10           The summary of community information  
11 also includes and provides information on resource  
12 use trends over time, and our understanding of  
13 hydroelectric effects on those resources.

14           The RCEA People Phase II submissions,  
15 overall, attempt to document perspectives and  
16 understanding of effects, as well as  
17 socio-economic trends that have been observed over  
18 time in the available information.

19           The approach was guided by a number of  
20 important factors. The first, which has already  
21 been spoken to, is that hydroelectric development  
22 in this area spans six decades. Many of the  
23 projects pre-date monitored environmental  
24 assessment. As a result, the types of information  
25 that were collected at the time of development are

1 very different than the type of information we  
2 look at collecting and documenting today as part  
3 of our environmental assessment process.

4           The approach has also been affected by  
5 the fact that there have been significant and  
6 substantial other developments and policy in this  
7 area. I won't talk a lot about this, because  
8 other folks have already spent time speaking to  
9 this issue. What I will say is when we think back  
10 60 years, in the region of Northern Manitoba, the  
11 City of Thompson, for example; Gillam looks very  
12 different, and the town of Snow Lake. The  
13 regional transportation and infrastructure looks  
14 quite different as well.

15           The third major factor that affected  
16 our approach to the People submission -- and it's  
17 an important one -- and it again looks back to the  
18 timing and the fact that many of our early  
19 projects pre-dated monitored environmental  
20 assessments is that effects weren't predicted and  
21 documented in the same way. Community concerns  
22 were addressed as they arose, oftentimes following  
23 construction and operation of the development.  
24 Issues were resolved through negotiated  
25 settlements, and as part of that process -- which

1 you often had with the involved parties -- each  
2 undertaking their own studies to inform  
3 negotiations.

4           Oftentimes those studies didn't align.  
5 Sometimes they did, but oftentimes they didn't.  
6 And what we came out with in the end is when you  
7 look back at the record of information, there is  
8 an absence of mutually agreed-upon record of  
9 effects. Many of them were reached in an  
10 adversarial process related to settlement  
11 negotiation.

12           So by focusing on understanding the  
13 perspectives of effects, and documenting available  
14 historical information, the People approach  
15 recognizes that there has been a significant  
16 history of interactions between Manitoba, Manitoba  
17 Hydro, and the communities in the regions of  
18 interest.

19           There is a very complex history of  
20 settlement negotiations and agreements between  
21 communities, and again, Manitoba, Manitoba Hydro,  
22 and in some cases Canada. And we are  
23 acknowledging that there is the presence in some  
24 cases of divergent views on scope and magnitude of  
25 effects.

1                   As you would expect, looking back  
2   60 years and trying to pull together a historical  
3   record, there were a number of limitations and  
4   challenges in putting the document together. In  
5   the regional profile, we did have to be selective  
6   in what we included in the history piece.

7                   I don't mean to belabour the point,  
8   but there are many -- entire books dedicated to  
9   the history of Northern Manitoba, even entire  
10  books dedicated to the history of the registered  
11  trapping system, commercial trapping and fishing  
12  activities in this area.

13                  There is very little pre-project  
14  demographic data available for this area. What is  
15  available is generally spotty and random. For  
16  example, you may have noticed that when you look  
17  at the demographic indicators, most of those  
18  indicators were not collected in the Canada census  
19  until the 1980s. So that would include all the  
20  major indicators related to population, economy,  
21  and health and well-being.

22                  For another example, data on  
23  Aboriginal identity wasn't even collected until  
24  the 1990s.

25                  We also found that it was very common

1 to find data suppression in the communities, and  
2 that would be for entire census years, or for the  
3 NACs overall for a number of years. Data would be  
4 suppressed due to small population sizes in some  
5 cases, or just errors in the collection over time.

6           When we were pulling together the  
7 summary of effects, compensation, and mitigation,  
8 we are aware that we are missing historical  
9 information on certain agreements. As was already  
10 mentioned, this is a long period of time. It was  
11 a very complicated period. Settlement  
12 negotiations, a vast amount of material, accounts  
13 for how much material is available in relation to  
14 settlement agreements.

15           So we did our best to pull together  
16 agreements and processes as we were able to,  
17 looking back. And the focus here is on Manitoba  
18 Hydro processes.

19           When we were looking at pulling  
20 together the summary of community information,  
21 pretty early on, we realized a significant  
22 challenge was that we were dealing with  
23 confidential materials in many cases by community.  
24 The reason being that -- again, as I referenced, a  
25 lot of the studies were undertaken as part of the

1 settlement negotiations, so those materials were  
2 obviously privileged and confidential. So we set  
3 out to ask communities, on an individual basis, to  
4 have access to those materials specifically for  
5 the purpose of the regional cumulative effects  
6 assessment. For the most part, we were successful  
7 in obtaining that information, and those  
8 confidential materials have been related  
9 throughout the RCEA documents.

10 We also found that there was  
11 substantial variation in the breadth of materials  
12 available by community. Just as an example, in  
13 the community profiles, you might notice that  
14 there was more information available for  
15 communities like Cross Lake than there was for a  
16 community like NCN.

17 And so that -- those differences in  
18 materials don't necessarily reflect a difference  
19 in scope and magnitude of effects experienced;  
20 it's just a function of how the history evolved  
21 over time. As settlement agreements proceeded,  
22 different studies were undertaken.

23 Lastly, in terms of obtaining  
24 information, one limitation -- and it is an  
25 important one -- is that information available

1 from community documentation often pre-dates  
2 compensation and mitigation measures. So today,  
3 when we undertake an environmental assessment, you  
4 pull together a baseline that demonstrates what  
5 the conditions were pre-development, and you  
6 monitor effects following construction, and then  
7 following compensation and mitigation and  
8 remediation measures, you look at your remedial  
9 effects. It is not possible to do that, looking  
10 back 60 years, from available materials.

11           The limitations and challenges based  
12 in pulling together the resource use summaries in  
13 the community materials include that there was an  
14 incomplete and sometimes absent record of  
15 harvesting consumption information that makes  
16 pulling together very challenging.

17           We found there are methodological  
18 differences among the studies. There can be high  
19 annual variations that are present in some species  
20 in terms of abundance that influence perception of  
21 effects, and the degree of post-development  
22 recovery. As well, perceptions of fish and  
23 wildlife quality vary by individual, and sometimes  
24 depending on the context.

25           As well, we also have socio-economic,

1 and cultural effects that have influenced resource  
2 harvesting and use over time.

3           For the remainder of my presentation,  
4 I'm going to focus on providing an overview of  
5 chapter 4 in the RCEA submission, which presents  
6 Manitoba and Manitoba Hydro's understanding of the  
7 effects on people at the regional level, and  
8 provide a bit of an overview of the settlement  
9 agreement processes over time.

10           The settlement agreements are  
11 generally intended to cut across a number of  
12 effects, and so you will see that theme recurring  
13 throughout the slides. I felt it important to  
14 give you a bit of an overview of that process up  
15 at the front.

16           Then I'm going to focus on providing a  
17 high-level overview of what we call key areas or  
18 key things of effect at the regional level. This  
19 includes effects on culture, way of life, and  
20 heritage resources; navigation, transportation and  
21 public safety; resource use, home relocation,  
22 worker interaction, loss of Reserve land, health  
23 issues and concerns, personal property loss and  
24 damage, employment and training opportunities, and  
25 benefits of electrification.



1                   Given the volume of material that was  
2 submitted, I will be doing a high-level overview  
3 of each of the key things, so please feel free to  
4 pause and ask me any questions that you have.

5                   Over time, over the 60-year period,  
6 there have been various development processes to  
7 resolve grievances. This would include the  
8 Northern Flood Agreement, the Comprehensive  
9 Implementation Agreement, as well as other  
10 settlement agreements.

11                   As well, measures have been  
12 established to reduce, mitigate, or compensate for  
13 effects over time.

14                   Our understanding of effects, and how  
15 to address effects, have been informed by a long  
16 history of communication and interaction with  
17 First Nations, Northern communities, and groups in  
18 the region of interest.

19                   The Northern Flood Agreement was  
20 signed on December 16, 1977. The agreement was  
21 signed by Canada, Manitoba, Manitoba Hydro, and  
22 the Northern Flood Committee.

23                   The Northern Flood Committee  
24 represented five First Nations: Cross Lake First  
25 Nation (Pimicikamak Okimawin), Nelson House First

1 Nation, which is now known as Nisichawayasihk Cree  
2 Nation; Norway House Cree Nation; Split Lake First  
3 Nation, now known as Tataskweyak Cree Nation; and  
4 the York Factory First Nation.

5           The Northern Flood Agreement provided  
6 the framework for addressing effects on land,  
7 pursuits, activities, and lifestyles. It included  
8 key provisions for land exchange, notice and  
9 consultation in relation to future developments,  
10 navigation and safety issues. It included broad  
11 policy issues. It included provisions for  
12 remedial and compensation measures, and included  
13 provisions regarding the fishing and trapping  
14 programs that were intended to encourage people of  
15 the community to be out the land carrying out  
16 their pursuits.

17           The Northern Flood Agreement  
18 introduced the concept of community resource  
19 areas. It included what we call a reverse onus  
20 clause. Under the reverse onus clause, there was  
21 an obligation of Manitoba Hydro to prove the  
22 effect did not occur. The Northern Flood  
23 Agreement also included an arbitration process to  
24 resolve things related to the disputes.

25           At the time the Northern Flood

1 Agreement was signed, not all effects on  
2 communities were well known or completely  
3 understood. That meant that it did have broad  
4 languaging, which proved challenging to implement,  
5 and left a lot of room for interpretation.

6 In the wake of an initial limitation  
7 period in the 1980s, a number of claims were filed  
8 by the communities. This did result in the filing  
9 of a number of agreements, particularly related to  
10 resource use activities. Many claims went to  
11 arbitration, which is a particularly adversarial  
12 process and can be quite cumbersome for all  
13 parties involved, but from a community perspective  
14 would be quite cumbersome, given that the issues  
15 were dealt with on a claim-by-claim basis, with  
16 requirements for documentation and process being  
17 very substantial.

18 As a result of that process, in 1986,  
19 the Northern Flood Committee proposed global  
20 negotiations to address all outstanding land  
21 claims under the Northern Flood Agreement. While  
22 efforts did occur to achieve that, the global  
23 approach did not succeed. Individual CIAs were  
24 eventually negotiated, however, starting with  
25 Tataskweyak Cree Nation in 1992, the York Factory

1 First Nation in 1995, and Nisichawayasihk in 1996,  
2 and Norway House in 1997.

3           Comprehensive implementation  
4 agreements are each unique, but they do include  
5 common elements across the agreements. Overall,  
6 they address outstanding grievances, resolve  
7 claims as one, rather than on a claim-by-claim  
8 basis, and they included provisions for  
9 compensation, trust indentures, land exchange --  
10 land exchange was a much more favourable route to  
11 the communities than the Northern Flood Agreement.

12           Resource management areas,  
13 environmental monitoring, and consultation on  
14 future development.

15           Negotiations did occur with Cross  
16 Lake, with the objective of reaching a  
17 comprehensive implementation agreement, between  
18 1994 and 1997. In 1997, Cross Lake decided to  
19 proceed within the specific terms of the Northern  
20 Flood Agreement on an ongoing basis. Since that  
21 time, we have worked with communities to develop  
22 action plans to address ongoing NFA obligations.

23           Today, Manitoba Hydro continues to  
24 work with Cross Lake/Pimicikamak, Manitoba, and  
25 Canada to implement the Northern Flood Agreement.

1                   Examples of programs that would be  
2   undertaken; shoreline protection measures,  
3   installation of docks, elder (inaudible) programs,  
4   safe ice travel programs, portages, alternative  
5   route programs, school hot lunch programs, the  
6   establishment of a community information centre,  
7   construction of an arena in the community, the  
8   debris program, and the weir.

9                   At the time these other points are  
10   being initiated on comprehensive implementation  
11   agreement, we undertook efforts to finalize other  
12   settlement agreements with a number of  
13   communities. Over time -- these settlement  
14   agreements are outlined in the Phase II People  
15   submission; but just at a high level, this is  
16   included: South Indian Lake, Fox Lake, War Lake,  
17   Wabowden, Cross Lake Northern Affairs Community,  
18   Nelson House Northern Affairs Community, Norway  
19   House Northern Affairs Community, the Town of  
20   Churchill, the City of Thompson, as well as  
21   agreements with various resource user groups and  
22   individuals.

23                  Manitoba Hydro is continuing to work  
24   on an ongoing basis with the Thicket Portage,  
25   Pikwitonei, and Norway House Northern Affairs

1 Community, to reach an agreement.

2 More recently we have engaged in  
3 future development agreements as part of our  
4 current projects, and have established agreements  
5 with the Manitoba Metis Federation.

6 Before moving to summarizing the  
7 effects on a regional level, are there any  
8 questions about the settlement agreement  
9 processes?

10 MR. SOPUCK: Briefly, I just -- if you  
11 could explain this very briefly.

12 So Cross Lake went back to the  
13 Northern Flood Agreement; that just means --  
14 basically left open? It's not settled? Or ... ?

15 MS. MCKAY: It means it continued to  
16 operate under the provision of that agreement,  
17 meeting our obligations under that existing  
18 framework from 1977. So if they left the  
19 agreement and came back, we have continued to  
20 operate under the obligations and provisions of  
21 that agreement.

22 MS. COLE: We should mention that for  
23 all the key -- the NFA communities. What was  
24 negotiated were agreements on how we were going to  
25 implement the NFA. The NFA is still in place with

1 those communities. It is just we have  
2 implementation arrangements that have been  
3 negotiated and how we will implement them.

4 MS. MCKAY: Hydroelectric development  
5 in the region of interest has had effects on ways  
6 of life and heritage resources. These effects are  
7 inter-related with resource use, navigation, and  
8 the way the landscape looks. These effects are  
9 related to physical changes on the landscape and  
10 on affected waterways, and they are described by  
11 communities as changes in their connection to the  
12 land, and their ability to practice customs and  
13 traditions, and their ability to transmit  
14 traditional teachings across generations,  
15 traditional teachings that are at the core and  
16 centre of their cultural well-being.

17 These effects are described as "mino  
18 pimatisiwin," which is "living the good life,"  
19 which is centred on living in balance and  
20 connection and harmony with the earth.

21 Specific examples of effects on  
22 culture, way of life, and heritage resources  
23 include the loss of or reduced access to  
24 traditional spiritual sites, burial grounds,  
25 meeting places, important navigational markers,

1 beaches, and seasonal family campgrounds.

2 A number of measures have been taken  
3 over time to address effects on culture and way of  
4 life. This includes archeological programs.  
5 Examples are provided in the submission, but will  
6 include, for example, the Sipiwesk Lake  
7 archeological program and the system-wide  
8 archeological program.

9 Effects have been addressed broadly in  
10 the settlement agreements through ongoing  
11 shoreline protection measures.

12 For more current projects, cultural  
13 effects are addressed in part through ongoing  
14 cultural ceremonies that happen in different  
15 periods in the construction cycle to acknowledge  
16 the effect of disturbance on the lands, and what  
17 that means for communities.

18 Heritage resource impact assessments  
19 are undertaken as part of the environmental  
20 assessment process, to identify important  
21 resources and ensure protection.

22 It is important to note, though, when  
23 we are talking about effects on culture, way of  
24 life, and spirituality, that those losses can't be  
25 replaced or substituted. For these effects,



1 specifically, place and connection to the land is  
2 important.

3           So, for example, if your grandmother  
4 is telling you a story that is related to a  
5 specific island or landscape marker, and that  
6 story was taught to her by her grandmother, and  
7 her grandmother, and her grandmother, and so on,  
8 if that island or land marker is flooded or lost,  
9 that's a loss that's not replaceable. You can't  
10 replace the history of intergenerational  
11 transmission and meaning of that site.

12           Hydroelectric development has also had  
13 effects on navigation, transportation, and public  
14 safety in the region of interest. Shoreline  
15 erosion and woody debris has inhibited access to  
16 shorelines and bays, and created navigational  
17 hazards in the water.

18           These pictures give you a good example  
19 of what these effects look like on the waterway.

20           Changes to water regime have altered  
21 timing and quality of ice cover, which has  
22 adversely affected winter travel. This includes  
23 things such as slush ice and hanging ice.

24           These pictures provide a good  
25 understanding of what this looks like out on the

1 landscape.

2                   Manitoba Hydro has undertaken a number  
3 of measures over time to address effects on  
4 navigation, transportation, and public safety.  
5 Again, these measures include the broad covering  
6 of the settlement agreements, as well as a  
7 waterways management program.

8                   That program is intended to support  
9 and promote the safety of people traveling on  
10 affected waterways. It includes three elements:  
11 Our boat patrol program, our debris management  
12 program, and our safe ice travel program.

13                   The boat patrols are focused on having  
14 patrols of about two people from those communities  
15 out on affected waterways collecting log debris.

16                   The debris management program was  
17 originally an NFA obligation, but became formally  
18 the debris management program, which was expanded  
19 later on. It includes working with communities to  
20 identify sites where debris has been beached, and  
21 collecting that debris so that it doesn't reenter  
22 the waterways and become a navigational hazard.

23                   Our safe ice travel program includes  
24 working with local resource users to install and  
25 maintain trails out on the land, to help ensure

1 safe travel during the winter season. Trails are  
2 marked and monitored and tested for ice thickness  
3 throughout the season, for safety.

4           We also have our water level forecast  
5 notice program in place. The water level forecast  
6 notice program was initially an NFA obligation  
7 that has been significantly expanded throughout  
8 the region, and included monthly notice forecasts  
9 of our water level forecast. And again it is  
10 intended to provide information to people living  
11 on affected waterways to ensure their safety when  
12 they're traveling on water and on the land.  
13 Notices are provided in Cree and in English, and  
14 is posted on Manitoba Hydro's website.

15           I would like to show a short video --  
16 it's just a few minutes -- but this is was pulled  
17 together recently by Manitoba Hydro to provide our  
18 waterways management program, which gives a strong  
19 sense of why we do these programs and what they  
20 mean for local people. It gives a sense of the  
21 impacts of hydroelectric development that they are  
22 intended to address.

23           The video is not working today. It is  
24 just unfortunate, because it is a good project  
25 that was done to profile that work, and the

1 involvement of communities and why they do it.

2 We can provide that afterwards. Plus  
3 it is more interesting to listen to me talk for  
4 45 minutes.

5 The RCEA considered -- in terms of  
6 effects on resource use, we considered effects on  
7 domestic and commercial harvesting and effects on  
8 fishing, trapping, hunting, and gathering.

9 Effects on resource use in the region  
10 of interest include effects on presence and  
11 abundance of resources, include increased access  
12 along transmission rights-of-way and along roads,  
13 the loss of access to shorelines for hunting and  
14 gathering, and the presence of fewer safe landing  
15 sites. And we just spoke about the navigational  
16 hazards on the water.

17 Those two effects increase both costs  
18 and risk to resource users while they're on the  
19 land practising hunting, trapping, and gathering.

20 Hydroelectric effects on resource  
21 users also include effects on the knowledge of the  
22 landscape and the resource itself.

23 Overall, when you look at these  
24 together, there has been an effect on individual  
25 confidence and the sense of pride one has in

1 providing for one's family from the landscape.

2           The specific effects on hunting,  
3 trapping, and gathering include changes to the  
4 abundance and distribution of plants and animal  
5 communities, changes to the pattern of animal  
6 movements, concerns about reduced potency of  
7 traditional medicines, and reduced reliability,  
8 again, of knowledge about animal locations and  
9 behaviour.

10           Important considerations when thinking  
11 about effects on trapping include that effects can  
12 vary significantly by trapline. The scope and  
13 magnitude of effects is dependent on proximity to  
14 an affected waterway, right-of-way, or other  
15 infrastructure.

16           Trapping in Northern Manitoba has been  
17 strongly influenced by fur prices and by species  
18 abundance. In overall, trapping activity has  
19 declined over time, but it remains an important  
20 cultural activity in this region.

21           Measures taken to address effects on  
22 hunting, trapping, and gathering have again  
23 included the settlement agreements. This has  
24 included specific agreements with commercial and  
25 domestic trapping groups, as well as agreements to

1 address effects on community traplines.

2           The Northern Flood Agreement included  
3 a registered trapline program, and that program is  
4 time-limited. It was intended to address effects,  
5 and included trapline compensation of losses as  
6 well as rehabilitation efforts. We also have an  
7 ongoing program in the Cross Lake registered  
8 trapline that is implemented as part of an ongoing  
9 implementation of the Northern Flood Agreement.

10           Effects on domestic fishing include  
11 debris in nets, causing net fouling and equipment  
12 damage; navigation challenges; changes in fish  
13 abundance and distribution; changes in the  
14 knowledge of the resource; concerns about soggy,  
15 thin, and poor-tasting fish; fear of mercury and  
16 other pollutants in fish; and resulting changes in  
17 the traditional diet.

18           Commercial fishing has been affected  
19 in ways similar to domestic fishing. However, it  
20 is important to note that commercial fishing is an  
21 important industry to Northern Manitoba. It is  
22 affected, however, by other factors, including  
23 fish prices, transportation costs, subsidies, and  
24 overall market demand.

25           Measures to address effects on

1 domestic and commercial fishery have included  
2 settlement agreements; the waterways management  
3 program; ongoing processes with O-Pipon-Na-Piwin  
4 Cree Nation, which includes environmental  
5 monitoring in South Indian Lake; sturgeon boards  
6 and enhancement programs; Keeyask adverse effects  
7 programming, which is intended to encourage  
8 continued consumption of fish; and the coordinated  
9 aquatic monitoring program.

10           In the region of interest, there are  
11 two cases where communities have experienced  
12 partial relocation. We know that community  
13 relocation and home relocation can have  
14 substantial socio-economic effects on a community  
15 as a whole.

16           The first example is South Indian  
17 Lake. In South Indian Lake, approximately  
18 40 per cent of households -- can't hear me?

19           In South Indian Lake, post-CRD,  
20 communities were located on both the east and west  
21 side of the narrows. At the time of the CRD,  
22 discussions got underway to relocate approximately  
23 40 per cent of community households from the west  
24 side of the narrows to the east side of the  
25 narrows. The reason for this was the CRD was

1 going to change the water regime in the narrows  
2 after development, and this raised safety concerns  
3 for local residents.

4           Prior to CRD, community members  
5 regularly crossed the waterway as part of daily  
6 life, to access the store and the school, family  
7 members, and other infrastructure in the  
8 community. After CRD, in the winter, it was  
9 predicted that there would be open-water  
10 conditions that would make travel unsafe for  
11 people. So about 96 lots were developed as part  
12 of that relocation.

13           Following relocation, community  
14 concerns were raised, both about the quality of  
15 housing and also the social impacts on the  
16 community structure.

17           When you look back at the  
18 documentation, the community has indicated that  
19 the design of the old community reflected family  
20 and kinship networks. People weren't located  
21 close together; they were actually quite spread  
22 out, and social interactions weren't -- for the  
23 community as a whole, were not a common  
24 occurrence. Families tended to keep to themselves  
25 somewhat, except for larger celebrations and other



1 important events.

2                   When they were moved to the east side  
3 of the narrows, people were now living in close  
4 quarters to one another, and the design of the  
5 town did not reflect the same family kinship  
6 patterns. Ongoing community concerns led to NFA  
7 claims, and these claims were addressed in a  
8 broader settlement with the Community Association  
9 of South Indian Lake in 1992.

10                   In Gillam, just in terms of a bit of  
11 background, the Fox Lake Cree Nation, there's  
12 documented efforts that Fox Lake Cree Nation was  
13 attempting to establish a Reserve in Gillam as  
14 early as 1920. In the 1960s, as we proceeded with  
15 development along the Nelson River, Gillam was  
16 developed as a key Manitoba Hydro operations and  
17 service centre, and became the LGD of Gillam.

18                   This led to significant changes almost  
19 overnight as the community described them. At  
20 this time, Fox Lake Cree Nation families residing  
21 in Gillam were viewed by the government as  
22 squatters, and homes were demolished, or moved,  
23 and residents were relocated. Over time Bird  
24 established a reserve in 1985, and a small urban  
25 reserve was legally recognized at Kettle Crescent

1 in Gillam in 2010. Today, we work with Fox Lake  
2 Cree Nation quite intensively to collaborate on  
3 community planning through the Harmonized Gillam  
4 Development Committee.

5           There have been concerns, over the  
6 60-year period of hydroelectric development in the  
7 ROI, about worker interactions. Worker  
8 interaction issues are associated with both  
9 construction camps and more permanent settlements.  
10 They are related to the influx of non-local  
11 workers, permanent or transient workers.

12           Worker interaction issues are  
13 associated with a range of social impacts.  
14 General change, including things just for example  
15 concerns about racism, concerns about impacts on  
16 local infrastructure, increased demand for  
17 services. They also include concerns about  
18 treatment of local women and violence and crime.

19           Worker interaction concerns have been  
20 addressed in past settlements. And for more  
21 recent projects, as our understanding of these  
22 specific concerns has evolved, we've addressed  
23 worker interaction concerns in our plan for our  
24 current projects, including for Keeyask,  
25 Wuskwatim, Keewatinohk. Those include measures

1 that are intended to reduce off-hour visits. So  
2 that would be the establishment of construction  
3 camps to house workers, where we provide a number  
4 of amenities, hopefully to make it enjoyable and  
5 desirable for people to stay on site.

6           We have established a Keeyask worker  
7 interaction subcommittee that meets in Gillam a  
8 few times a year, involves the town, Manitoba  
9 Hydro, and Fox Lake Cree Nation. They talk  
10 about -- focus on issues and concerns related to  
11 current work force in the areas as part of our  
12 current developments.

13           On an ongoing basis, we have the  
14 harmonized Gillam development process. And  
15 another important measure that we do for our  
16 current projects is undertake cultural awareness  
17 training on site. In that program, we seek to  
18 both educate incoming workers on the region, the  
19 history and the people, and also create an  
20 awareness of the impact of certain actions and the  
21 long-lasting effects certain behaviors can have.

22           Again, hydroelectric development has  
23 resulted in the inundation of Reserve land through  
24 flooding. This flooding, and potential future  
25 loss of land due to erosion, has been addressed

1 through the granting of an easement over land  
2 below a severance line.

3 Under the NFA, Reserve land taken is  
4 compensated by replacement land at a 4-to-1 ratio.  
5 Under the compensation implementation agreements,  
6 that ratio was significantly increased, I think  
7 over 10 to 1, for different communities.

8 We also undertake shoreline protection  
9 measures along Reserve land, and for transmission  
10 lines, our site selection and environmental  
11 assessment process is used to route transmission  
12 lines away from Reserve land.

13 We have heard a number of health  
14 issues and concerns from communities in the region  
15 of interest over time. I'll speak about a few  
16 today.

17 One positive benefit of hydroelectric  
18 development has been the establishment of new  
19 health infrastructure in Gillam, which includes  
20 the hospital in Gillam, which now is available to  
21 regional residents. We have heard concerns about  
22 potable water raised by the Northern Flood  
23 Agreement Committee. These issues have been  
24 resolved between the parties as part of the claims  
25 process. While there are outstanding concerns

1 about potable water raised by communities, these  
2 are the ongoing responsibility of the federal  
3 government.

4           Concerns about mercury, as a result of  
5 flooding, have resulted in stress and anxiety for  
6 community members, and have resulted in changes to  
7 traditional food consumption. Communities will  
8 tell you that in some cases they are scared to eat  
9 the fish. This has, in some cases, resulted in  
10 individuals and families consuming more foods --  
11 more store-bought foods. Those foods are often  
12 more expensive, and can be of less nutritional  
13 value.

14           Mitigation measures to address  
15 concerns about mercury have included monitoring  
16 programs undertaken by the Federal, Provincial --  
17 and Provincial Government, Manitoba Hydro, that  
18 included monitoring programs related to mercury in  
19 fish, and monitoring programs related to mercury  
20 in humans. Mitigation measures have also included  
21 fish consumption guidelines.

22           Specific community concerns raised  
23 regarding transmission line effects have included  
24 concerns about electric magnetic fields, and their  
25 effect on health. These have been addressed

1 through ongoing research and educational research.

2 We have heard about concerns related  
3 to audible noise, the hum of the transmission  
4 line. Those effects are addressed by provincial  
5 guidelines regarding noise levels.

6 Herbicide use has also been a concern  
7 raised by communities. Concerns about herbicide  
8 use are typically addressed through public  
9 notifications, low-disturbance clearing methods in  
10 sensitive areas. They are also directed by the  
11 site selection and environmental assessment  
12 process, whereby through the routing of a  
13 transmission line, we seek to avoid sensitive  
14 areas where possible.

15 There have been instances of personal  
16 property loss and damage in the region of  
17 interest. This would include damage from floating  
18 or submerged debris, exposed rock surfaces, slush,  
19 and adverse ice conditions.

20 These pictures provide examples of  
21 what that damage can look like, or how it can  
22 occur.

23 There has been damage to outboard  
24 motors, snowmobiles, boats, nets, and traps.  
25 Claims processes to address these effects have

1    been instituted in the Northern Flood Agreement,  
2    the Comprehensive Implementation Agreement, and  
3    other settlement agreements. There is also  
4    provision to address personal property damage and  
5    loss in the cumulative effects agreements for  
6    Keeyask and Wuskwatim.

7                   Manitoba Hydro also has a property  
8    compensation policy for transmission lines.

9                   My last two slides are focusing on the  
10   positive benefits in the ROI, the region of  
11   interest, that have resulted from hydroelectric  
12   development. This includes employment, training,  
13   and business opportunities, for both short- and  
14   long-term employment and business opportunities.  
15   Over time, Manitoba and Manitoba Hydro have  
16   developed a number of programs and policies that  
17   are designed to encourage and enhance indigenous  
18   representation in both projects and operational  
19   work forces and temporary work forces, and to  
20   promote participation of northern indigenous  
21   businesses. This includes training, for example.

22                   Lastly, I will speak a little bit to  
23   the benefits of electrification. When we look  
24   back to the 1960s, there was limited electrical  
25   service for many communities in the region of

1 interest. Often small generators were used, and  
2 they were powered by diesel or gas, and electrical  
3 services were only provided for stores, nursing  
4 stations and government offices.

5 Many communities were connected to the  
6 Provincial grid in the 1970s, and they were  
7 provided with full electrical service, which  
8 eliminated the environmental risks that are  
9 associated with the transportation and burning of  
10 diesel fuel. The provision of the service would  
11 have had substantial socio-economic effects for  
12 individuals, families, and communities in the  
13 region of interest.

14 And that's all the slides. Are there  
15 any questions?

16 SPEAKER: Laura, so -- I don't really  
17 have so much a question as a comment. You and  
18 Allison both touched on -- sorry. Effects on  
19 people are profound and ongoing. And one of the  
20 challenges of the RCEA is we can look at  
21 hydroelectric -- the effects of hydroelectric  
22 development, but there are other things that  
23 happen in the ROI prior to, and one of the things  
24 that struck me over and over is the effect on  
25 culture.



1                   Hydroelectric development has major  
2 effects on the ability to practice traditional  
3 lifestyles and ways. It's also an example where  
4 you do have other influences, and the one that  
5 I've come across a number of times is, for  
6 example, residential schools. So in cases where  
7 people were physically removed from their  
8 community, that was another example of an  
9 interruption in the ability to practice culture  
10 and pass on traditional teachings, and it is also  
11 an example where you can't differentiate  
12 proportionate influences hydroelectric development  
13 versus residential schools. But I think it is  
14 safe to say that they do impact on each other. So  
15 it is really an example you have multiple forces  
16 and influences at play.

17                   MS. MCKAY: Yes. And that would be  
18 why I spoke of a different -- that reality was a  
19 determining factor in the approach to the RCEA  
20 materials.

21                   Today I focused on what we understand  
22 as specific hydroelectric effects. But when you  
23 look at the region, as Mark said, it has -- over  
24 this time period, and immediately prior to the  
25 period of hydroelectric development -- has

1 undergone significant socio-economic change  
2 related to a number of factors, including  
3 infrastructure and road development, changes in  
4 hunting, trapping, and fishing -- even just the  
5 arrival of the commercial fishing industry in this  
6 region had a longstanding effect on people.

7 Government policies, like residential  
8 schools, the establishment of the Reserve system,  
9 the Indian Act: Those types of government  
10 policies have intergenerational effects that were  
11 created prior to hydroelectric development, or  
12 during hydroelectric development, and occur today.

13 Recognizing that when you look back  
14 over this period, you can't tease these effects  
15 out. We chose to focus on documenting, when  
16 possible, without signing attribution, trying to  
17 document this type of socio-economic change that  
18 we've observed in available information over time,  
19 focusing specifically on -- in chapter 4, what we  
20 know to be specific hydroelectric effects.

21 Property damage, for example; that's a  
22 very specific kind of electrical effect. The  
23 effect on people's ability to get out onto the  
24 land and the resulted changes to the waterways;  
25 that's a specific hydroelectric effect.

1                   Those effects, yes, are common, and  
2     there are other things occurring in the  
3     socio-economic environment.

4                   So, yes.

5                   MR. SOPUCK: Was there any thought  
6     given to analyzing communities that were directly  
7     affected by Hydro, versus communities in the North  
8     that were not? It strikes me that's kind of a  
9     natural experiment that teases out Hydro effects  
10    versus all of the other effects that were  
11    discussed.

12                  I know it could be a coarse analysis,  
13    but it might be the only way in which you can  
14    address that question of Hydro effects.

15                  MS. MCKAY: That has been considered,  
16    and you'll find various sections of the RCEA  
17    document actually do those comparisons,  
18    particularly when we look at what is available in  
19    terms of information on how -- for example, we do  
20    compare to Manitoba First Nations, as an example.

21                  And for most indicators, not all, you  
22    do find the trends are actually quite similar.  
23    The problem with those types of comparisons is  
24    that again, First Nations in Canada have  
25    undergone -- over this time period have undergone

1 such significant change, it's hard to tease out  
2 what is causing which.

3           But also, each community history is  
4 some what unique. So even in Manitoba, if you  
5 choose to compare to -- you have to be pretty  
6 careful. Even in terms of our affected  
7 communities, there would be significant  
8 differences in their evolution over time that are  
9 a function of what is their proximity to a road,  
10 for example; what other effects have occurred  
11 in -- I'm just trying to think of a good example.

12           If you were to look at War Lake First  
13 Nation, in the War Lake -- sorry, in the Ilford  
14 community, if you were to look at trends of what  
15 happened over time, comparing it to a  
16 non-hydroelectric community would be somewhat  
17 skewed, because there have been such other  
18 significant changes in that particular region that  
19 were related to what we refer to as the Hub of the  
20 North, and a number of factors changed that  
21 community's destiny over time.

22           So trying to look at that community,  
23 as an example, and compare it to an off-system  
24 community, it's just not a -- it's not a perfect  
25 comparison.

1                   But what I can say, is we where we  
2    have at certain indicators in the RCEA, comparing  
3    ROI communities to non-ROI communities some of  
4    these health and well-being things can be quite  
5    similar.

6                   MR. JOHNSON: Terry Johnson speaking.

7                   Picking up on what Tim just asked, is  
8    it possible, or was there some discussion in the  
9    working group about comparing the cumulative  
10   effects on First Nations communities in the region  
11   of interest versus the similar effects that  
12   occurred on First Nations communities that  
13   occurred in, possibly, Quebec, when they underwent  
14   a large development of their resources, just for  
15   comparative purposes, to see whether the effects  
16   were similar or what the outcome was?

17                  MS. MCKAY: I'll make a few points.

18   The first would be, it is important to note, too,  
19   in terms of when you do an assessment and you are  
20   looking at key indicators of change, and this is a  
21   theme that you hear a lot about today, even  
22   looking at pre- and post for the affected  
23   communities is difficult. I mean you can go to the  
24   census data, which we often use to pull together a  
25   baseline understanding, those indicators aren't

1 even available until the 1980s, and postdate  
2 almost all of these developments we're talking  
3 about.

4           So your ability even to do pre- and  
5 post for effects on community, looking at those  
6 indicators, it is impossible. You can't do it.

7           So the regional profile presents  
8 information that for the most part starts in 1980s  
9 going forward, because that's what we have.

10           So what we do look at is, how do  
11 communities -- what is our understanding, based on  
12 our experience working with these communities, and  
13 what have communities told us?

14           An important point to make in thinking  
15 about indicators versus talking about  
16 understanding, I could pull together, based on  
17 available census information, some really neat  
18 information that's going to tell you all kinds of  
19 things about communities, both in the ROI and --  
20 you know, for example, no matter where you are  
21 income levels have generally increased over time.  
22 Employment circumstances have generally got  
23 better. You're seeing less infectious disease,  
24 but you are seeing more diabetes, universally,  
25 across Canada.

1                   It doesn't matter how many indicators  
2 I look at, so they are going to tell me a lot of  
3 things about standard of living; they are not  
4 going to tell me a whole lot about how communities  
5 feel about their lives, which is what we call  
6 quality of life.

7                   When we start to talk about  
8 hydroelectric effects, how people feel about these  
9 effects does matter. So that has lent itself to  
10 the focus on trying to document people's  
11 experiences.

12                   I would say, though, that I do feel --  
13 I think most people at Manitoba and Manitoba Hydro  
14 would feel confident that we have a good  
15 understanding -- looking at specific indicators  
16 and those trends, we have a good understanding now  
17 of what hydroelectric development has meant for  
18 communities. And those would be the types of  
19 effects that we see today.

20                   MR. JOHNSON: Thank you.

21                   MR. DAVIES: We did actually look at  
22 some reports that had compared communities that  
23 were affected and not affected. There was a very  
24 large six-volume study done by Cross Lake that  
25 compared trapping in Cross Lake to trapping in

1 Oxford House, that wasn't affected.

2                   And they found that the patterns were  
3 almost identical. And the reason for that was  
4 that trapping was very price-driven.

5                   The one thing that they didn't show,  
6 however, is the amount of effort that Cross Lake  
7 may have had to put into maintaining the harvest,  
8 as compared to the amount of effort that Oxford  
9 House did. So even though they looked the same,  
10 they could be quite hard to compare, and the net  
11 profitability of one, you know, being the same as  
12 the other, could be quite -- quite different.

13                   And if we are looking at a community  
14 like South Indian Lake, the harvest at South  
15 Indian Lake during the first year was maintained.  
16 It was maintained artificially. The only reason  
17 that the harvest hadn't dropped, if we were going  
18 to compare it to another community, was because  
19 Manitoba Hydro was paying a subsidy to the  
20 fishermen to catch lower-grade whitefish, and they  
21 were being paid as high-grade whitefish.

22                   So without knowing that, if one was  
23 going to compare the catches at South Indian Lake  
24 to catches in another community, they would look  
25 similar, where in fact there was a lot more



1 effort, and the only reason they were maintained  
2 was because Manitoba Hydro was paying for it to be  
3 maintained.

4 So it would be a very difficult thing  
5 to do, from a resource use perspective.

6 MS. MCKAY: I'm sorry we weren't able  
7 to show you that video today. We will send you a  
8 link. It was quite a unique video.

9 MS. ZACHARIAS: We will try and get it  
10 up and running over lunch. We will hook it over  
11 to the other computer.

12 If I'm not mistaken, I think it is  
13 time for a break.

14 Right, okay, we are actually even a  
15 few minutes ahead of schedule. Why don't we take  
16 our 15-minute break, and come back at 5 to 11, and  
17 continue on.

18 (RECESS TAKEN)

19 MS. ZACHARIAS: We are going to get  
20 going now. So while everyone is getting ready to  
21 take their seats, I just wanted to make a couple  
22 more announcements.

23 Cecelia, who is transcribing all of  
24 the information today, is having a hard time  
25 hearing everybody. So even the speakers up here

1 speaking into the microphone, we all need to speak  
2 louder. Also, if anyone is asking questions and  
3 responding to questions from the floor, we are  
4 going to have to come up here and use a  
5 microphone. We don't have a portable microphone,  
6 but this way we will be able to help Cecelia out.

7           The other thing, before we get  
8 started, I have been informed that some people are  
9 plugging their computers in, and you may not  
10 always have power. So we have a solution. But if  
11 you don't have power, we can definitely either  
12 help you now or help you at lunch, to make sure  
13 your table has power. Just -- we had to move all  
14 the tables and unplug everything. So we can help.

15           Without further ado, we will introduce  
16 Brian Giesbrecht. He is now going to speak about  
17 the water regime.

18           MR. GIESBRECHT: Okay. Good morning.  
19 As Allison mentioned, I'm Brian Giesbrecht. I'm  
20 with Manitoba Hydro's hydraulic operations  
21 department, and I will be going through the water  
22 regime parts of the RCEA with you this morning.

23           I'll start by defining what I exactly  
24 mean by "water regime," just so we are all on the  
25 same page; talk about how we broke up the region

1 of interest into zones, and some of the logic  
2 behind how we did that.

3           One of the important components of our  
4 analysis was the flood area mapping, which  
5 interests a lot of people. Talk about the study  
6 methodology overall, and how we've presented water  
7 regime information in the RCEA, give you kind of a  
8 10,000-foot view level of system operations  
9 through a typical year, and then get into analysis  
10 of some other operating nuances, like cycling, and  
11 some other abnormal operations. And then close  
12 out with some gaps and limitations that we found  
13 as we were doing the study.

14           So, water -- when I talk about water  
15 regime, I'm talking about the pattern and  
16 frequency of water-level inflows in a river  
17 system. Water regime is driven by precipitation  
18 in the drainage basin, but it is obviously  
19 influenced by other natural and human factors.  
20 And it is obviously -- human factors are the  
21 reason why it is included in this discussion.

22           So we have seen this map many times,  
23 and you will probably see it more than you want to  
24 for the rest of the day.

25           So there's three basic zones, or -- we

1 will call them "zones"; I don't want to confuse  
2 the terminology. But you have got three reaches,  
3 essentially. And I apologize, but I'm going to  
4 point over here.

5           So there is an area where the lakes  
6 and rivers are affected by Lake Winnipeg  
7 Regulation only, or primarily; the area that is  
8 Churchill River Diversion influenced, and then  
9 Split Lake, down to Hudson Bay, where those two  
10 flow regulation projects combine, and we have  
11 combined effects in that small reach from Split  
12 Lake down to Hudson Bay.

13           Within that, we've also then  
14 subdivided into a series of 12 zones; hydraulic  
15 influence zones, I think Allison called them. And  
16 that's where the effects of these two major flow  
17 regulation projects, as well as the generating  
18 stations, is consistent, and we expect to see the  
19 same -- similar effects.

20           And so within this CRD zone, there is  
21 a series of five or six zones: Three within that  
22 LWR influence zone, another three in that combined  
23 zone.

24           Just to kind of give you an idea of  
25 why we bother slicing and dicing so much, we will

1 look at a couple of different areas here.

2           So this is now looking just down to  
3 the Jenpeg Generating Station, so Cross Lake,  
4 Sipiwesk Lake, and up to Kelsey. Both of these  
5 zones are affected by Lake Winnipeg Regulation  
6 outflows, but the influence of Kelsey and the  
7 conduits of Kelsey only affects the river reach up  
8 from Kelsey and to Sipiwesk Lake. It doesn't go  
9 further up, into Cross Lake, and that's why we put  
10 a break on the river system at the inlet of  
11 Sipiwesk.

12           Similarly, if we are looking  
13 downstream, lower Nelson River system, so from  
14 Stephen's Lake down to Hudson Bay, there's two  
15 zones. This is in that combined Lake Winnipeg  
16 Regulation and Churchill River Diversion area.

17           In Zone 11, you have essentially three  
18 forebays, where the levels are very well  
19 controlled and predictable, regardless of flow.

20           And then once you get past Limestone,  
21 this is where the river now responds directly to  
22 the flow in the river, and so rises and falls,  
23 sometimes great amounts, with that flow.

24           Since we have Conawapa shown on here,  
25 if/when Conawapa were to be developed, we would

1 basically take this zone, divide it, and move it  
2 down, because now you have a series of forebays  
3 that would go Kettle, Long Spruce, Limestone, and  
4 Conawapa, before you got into the free-flowing and  
5 flow-responsive area of the river.

6 I hope that helps you understand how  
7 we came up with these divisions, and how we  
8 decided where those would be.

9 So I talked about the flood area  
10 mapping in the introduction a little bit. So the  
11 footprint of a generating station, or of a hydro  
12 development, often -- well, that looks terrible;  
13 the map got bigger. Oh, well. I'll speak to it,  
14 and it will all make sense.

15 So one of the ways you can see the  
16 effects of hydroelectric development, on a  
17 permanent basis, is through the flood area  
18 mapping. So what we did for the Phase II document  
19 was to use the best available, 1 to 50,000,  
20 federal mapping products, pre and post development  
21 to, do a comparison.

22 For the scale of mapping that we are  
23 looking at for the report, that was the right  
24 scale; for intensive examination of effects, you  
25 use much smaller-scale mapping -- or was it

1 larger? I can't remember.

2 1 to 50,000 would be more appropriate  
3 for that, but for reporting, this was good. Had  
4 the added benefit of being coverage across the  
5 entire system, post and pre-development, which is  
6 a little trickier than 1 to 50,000.

7 I will give you a preview on some of  
8 the limitations with this mapping, especially  
9 pre-development. There is a bit of a scarcity of  
10 mapping prior to 1976, and so you basically take  
11 what you can get. So, if it happens -- you don't  
12 get to choose whether it is a wet, dry, or average  
13 year, whenever that mapping was created on. If it  
14 is available, that's the best you've got.

15 Post development, there is often a  
16 little more variety of mapping, so you can  
17 actually select one that more accurately  
18 represents an average condition or a median  
19 condition.

20 In any event, in the Phase II report,  
21 there is a series of maps that will show you  
22 flooded areas. A lot of times it is very hard to  
23 see, because at that scale, actual effects of  
24 development are not as much as sometimes imagined.

25 This example is from South Bay Channel

1 down to Notigi, which is where the greatest amount  
2 of flooding in the North has happened.

3           So the dark lines are the old -- the  
4 pre-development shorelines, and then the blue  
5 shading is the current lake extent. So there's  
6 very obvious increases in flooded area in this  
7 location.

8           So for the description of water regime  
9 in the report, we compared pre and post  
10 development water regimes by using monthly  
11 averages in the Phase I report. That gave a good  
12 overall view of what the changes were, both in the  
13 levels as well as the flow sequencing. So, if it  
14 was higher flows in the winter versus summer, by  
15 comparison to a normal regime, that would show up  
16 in that kind of charting.

17           For the Phase II report, we went to  
18 the daily time step to further describe the  
19 operations, added upper and lower core files.  
20 Rather than take a single median line, we had a  
21 range where you would expect water levels to fall  
22 within most of the time.

23           And then also how did it -- for  
24 example, the drought in 2003, and a flood from  
25 2011, to give you one instance of what the



1 outcomes were on water levels and flows under  
2 those conditions.

3 In areas where we didn't have enough  
4 data, we were also able to use some simulations to  
5 estimate the water-level increases on the lakes on  
6 the CRD route, so the Burntwood River, and also  
7 the decreases in the water levels on a number of  
8 areas on the Lower Churchill River, where the  
9 water was taken away by development.

10 So here is that 10,000-foot view I was  
11 talking about. So typical seasonal operations,  
12 and this is really focusing in on how we operate  
13 the Churchill River Diversion and the Lake  
14 Winnipeg Regulation for generation of power  
15 through Manitoba. It doesn't get into the  
16 subtleties and the specifics of any particular  
17 generating station, but this is kind of the big  
18 picture of what is going on, kind of as a  
19 foundation of our system.

20 So in winter, to the surprise of no  
21 one, Manitoba electricity demand is the highest  
22 throughout the year. And so we operate these two  
23 projects to maximize flow to the lower Nelson  
24 River, where 75 per cent of our generation is  
25 concentrated.

1                   Maximized -- it is a target, it is not  
2 a specific flow; it is not a specific way of  
3 operating, but we are trying to generate as much  
4 power in the province as we can, minimizing the  
5 amount that we have to import. But of course it  
6 is all dependent on what are the inflows, what's  
7 our reservoir levels, all those kind of things  
8 that go into it.

9                   Once we get into the spring, as things  
10 warm up, our demand is lower. And then things  
11 start to get a little more varied, as the  
12 operations that we are planning are often based on  
13 what are the source levels on our reservoirs, what  
14 is the snow pack, what are the inflow forecasts  
15 from other provinces, as well as the inflow  
16 forecasts coming off the land from within  
17 Manitoba.

18                   So there is a great variety of ways  
19 that we can operate. Typically, because we've  
20 been maximizing flow over the winter, our  
21 reservoirs are at a lower level, and so one of the  
22 things we are trying to do is put water back into  
23 storage on Lake Winnipeg, and onto South Indian  
24 Lake.

25                   In the summer, there's even a greater

1 variety of ways in which we operate, because it  
2 all depends on precipitation input. You could be  
3 in the middle of a flood; you could be in a  
4 drought. A lot of times we meet somewhere in the  
5 middle.

6           So if you look at the hydrographs we  
7 provided in the report, in the winter, there is a  
8 much narrower band of possible water levels or  
9 flows. In the summer, that widens out, as the  
10 extreme drought/extreme flood band gets a lot  
11 wider.

12           Another thing that happens in the  
13 summer is that you can very quickly transition  
14 from a normal or an average condition to a flood  
15 condition with a few major events that cover a  
16 wider area.

17           And then in fall, Manitoba demand  
18 again is lower, because we are done with the  
19 air-conditioning season, and we haven't kicked  
20 into the heating season yet. Inflows also drop  
21 off as the summer rains peter out and -- you know,  
22 the snow hasn't started yet. And so, often we  
23 will reduce outflows from the control structures  
24 in order to conserve water for a number of weeks,  
25 until we get into winter, and then we go into a

1 maximization type of operation. So that's the  
2 whole system.

3 On top of that -- it's funny the way  
4 these things turned out, they looked fantastic  
5 yesterday.

6 The lower Nelson River, there is the  
7 additional operating nuance, I guess, that gets  
8 added to this base foundation of the Lake Winnipeg  
9 Regulation/Churchill River Diversion flows. We  
10 will cycle the flows out of Kettle Generating  
11 Station to meet daily demand.

12 So we have -- on this chart, this is  
13 Limestone, where the flow passes right through the  
14 three lower Nelson stations very similarly. So  
15 you've got a blue winter line and a greenish  
16 summer line.

17 And this is under a kind of lower base  
18 flow condition, so we have room to cycle. And we  
19 will match the demand within Manitoba with the  
20 flow that we are putting out through those  
21 stations. So you see a rising flow in the morning  
22 as everybody wakes up and turns on coffee makers,  
23 and the furnace kicks in, all that kind of good  
24 stuff. And then that demand stays high during the  
25 day, as you know, businesses are booming and

1 factories are turning out product and people are  
2 up and doing things. And then in the evening it  
3 comes down as lights go out, factories shut down  
4 for the night, and that kind of thing. And that  
5 cycle repeats day after day.

6           You can see here on the scale here  
7 that the flow change is substantial, from a low  
8 of -- as low as 1,000 cubic metres per second to a  
9 high of just under 5,000. So there is a big  
10 change in the flow within a single day.

11 Obviously, it would never happen in the natural  
12 state.

13           But on these forebays, you don't  
14 really see the effects of that flow. Where you  
15 will see this is below Limestone, where this flow  
16 pattern will show up as a water-level pattern.  
17 But I can't show that to you, because we don't  
18 have any water-level gauges down there.

19           Continuing on with the cycling; we do,  
20 in our RCEA document, have a more fulsome example  
21 from Wuskwatim. Obviously the scale is much  
22 different; the flows are much lower, and the  
23 change between the maximum and minimum is lower.

24           But we do have more gauging on the  
25 Burntwood River, so we can show, for the flow

1 change on Wuskwatim, which is the lower line here,  
2 and this is the effect on Opachuanau, which is the  
3 first lake downstream of Wuskwatim.

4           We don't cycle very much on the other  
5 two stations within the region of interest, Kettle  
6 and Jenpeg -- sorry, Kelsey and Jenpeg. And when  
7 we do cycle them, both of them discharge into very  
8 large lakes, into Split Lake for Kelsey and Cross  
9 Lake for Jenpeg. So the effects on lake levels  
10 are imperceptible.

11           One question that was asked of us  
12 after the Phase I report was to add something on  
13 some of these more abnormal operations, so we have  
14 included one example in each region.

15           The only thing that really kind of  
16 stands out would be a full shutdown of a  
17 structure, and usually those are very short-term,  
18 especially at a generating station; there's not a  
19 lot of room. We tend to operate our structures at  
20 their full supply level, and so there is very  
21 little room for totally shutting down the flow and  
22 putting that water into storage with a pretty  
23 nasty emergency.

24           More common is a full shutdown at our  
25 control structures, where there is a large

1 reservoir stream that can take that additional  
2 flow for a time. Usually it is for maintenance,  
3 or some sort of an emergency.

4           And so we've got those described in  
5 the RCEA document. But I would caution you to not  
6 spend too much time on them, because they are  
7 abnormal; they are very rare. This is not a  
8 once-a-year kind of thing; this is once every  
9 number of years. So as interesting as they are,  
10 they are also extremely rare. So take that for  
11 what it is worth.

12           Gaps and limitations on this water  
13 regime data. The biggest thing we came across is  
14 having either no or a very short period of  
15 pre-development data.

16           The short record, we can overcome with  
17 modeling. We can take the relationship between  
18 flow and level again this is on the lake, and if  
19 we model a flow record, we can then create a  
20 synthetic level record. But if there was  
21 absolutely no pre-development data, then we're  
22 done. There is no way to create a pre-development  
23 water-level record without at least a couple of  
24 data points in that pre-development data.

25           The other issue we came across was a

1 very sparse gauge network. We had enough gauging  
2 in place to run our system and to be able to  
3 understand what is going on, but to start to pull  
4 out effects, maybe for Wil's interest, on erosion,  
5 that kind of thing, more gauging would be better.  
6 But a lot of stuff was put in place for the  
7 operation of the system, and not so much for an  
8 environmental assessment type of look at things.

9           The other thing that came across was  
10 there have been a number of reports done by  
11 various people over the years, whether they are  
12 predictions on effects of our developments on  
13 people, or after-effects reports; they give  
14 various values for how much area is flooded.

15           As we went through this ourselves, to  
16 try and determine how much area was flooded, we  
17 realized it really depends on how you define lake  
18 extents. In a lot of cases, it is very simple.  
19 The lake is -- you know, the entrance to the lake  
20 and exits from the lake are very clear. In areas  
21 that I showed earlier, from South Bay to Notigi,  
22 those lakes have increased immensely. So where,  
23 now, is the entrance to the lake? Where is the  
24 exit of the lake? Where do you say this lake ends  
25 and the river starts, if there is no clear



1 connecting-off point? Because it hasn't been  
2 flooded. In a natural system, the outlets are  
3 very clear; in an affected system, sometimes it's  
4 not as clear. So where you put that boundary can  
5 affect what your calculation spits out for a  
6 flooded area.

7                   So I will just say that the values  
8 that we have included in the RCEA documents were  
9 determined consistently between the areas, and as  
10 far as we are concerned, are the best available  
11 today. So there is no report that says there was,  
12 you know, 10 per cent more, 10 per cent less. I  
13 don't know what methodology was used to do that,  
14 but I can tell you that we were confident in how  
15 we determined those flooded areas for the purpose  
16 of the report.

17                   And that's it. Any questions? Yes.

18                   MR. SOPUCK: You know, I have worked  
19 in the past with Hydro -- or not with Hydro, but  
20 with -- you know, water engineers, and just about  
21 any little project we have worked on, we have  
22 always had stage areas. Does Hydro not have that,  
23 for all of these reservoirs?

24                   MR. GIESBRECHT: We have stage -- for  
25 the purpose -- for lower-stage area, I would say

1 for the most sources we will have that, and there  
2 are probably other areas where we do not.

3           It's funny, because we don't rely on  
4 storage in a lot of areas; we primarily rely on  
5 our river system in a lot of cases, and so the  
6 storage almost -- isn't all that useful.

7           So it either would be roughly defined,  
8 or -- in some areas it is very defined. There is  
9 no doubt about that. But we are not as concerned  
10 with the storage area curves, just because of the  
11 way our system is set up. Our storage is seasonal  
12 at best. Some of it is only a couple of months.  
13 On Stephen's Lake, I think it is, like, a month or  
14 so of storage. Very little storage.

15           MR. SOPUCK: Okay.

16           MR. GIESBRECHT: Moving on to our  
17 presentation, on erosion.

18           MS. ZACHARIAS: So next up we have  
19 Wil DeWit, and he will talk about erosion and  
20 sedimentation.

21           MR. DE WIT: Good morning.

22           I have quite a bit of material,  
23 unfortunately, to cover; I'll try and do it as  
24 quickly as I can, to make it clear for the  
25 notetaking.

1                   So we will take a look again at our  
2 popular map on the areas that were divided in for  
3 the hydraulic zones. It has already been  
4 discussed, so I won't go into any detail, really,  
5 on that.

6                   Our study area is based on where they  
7 rate and what types of regulation, and how it is  
8 affected by different regulation.

9                   So if you take a look at the approach  
10 for the study, generally it involved a review of  
11 historical information, and additional  
12 consideration of some more contemporary  
13 information obtained through studies such as those  
14 conducted for Wuskwatim and Keeyask developments,  
15 and the Conawapa project that was on hold, and  
16 then also the coordinated aquatic monitoring  
17 program.

18                   The erosion assessment did new  
19 analyses, using aerial photographs and satellite  
20 imagery to identify erosion taking place in some  
21 of those areas, as there was a lack of historical  
22 information on that.

23                   And one of the limitations, Hydro  
24 limitations, as you have heard, is a general lack  
25 of historic data. And where data is available, it

1 tends to be sparse, both spatially and temporally.

2 In terms of community concerns related  
3 to this topic, in discussions we've had with  
4 various communities, some themes come out.

5 There's concerns related to the loss of  
6 traditional treaty lands, impacts -- potential  
7 impacts on the infrastructure; for example, say, a  
8 road near a shoreline. Shore access, for resource  
9 use and wildlife. The addition of sediment.

10 Creation of wave debris, which may affect boating  
11 safety and fishing, and overall aesthetics of the  
12 shoreline.

13 In terms of sedimentation, there's  
14 issues pertaining to the murkiness of the water,  
15 which was reported to be much clearer in the past.  
16 Water quality concerns related to drinking and  
17 swimming, and the potential effects on the fish.

18 So going to Area 1; the upper Nelson  
19 River, from the outlet of Lake Winnipeg down to  
20 the Kelsey Generating Station, just upstream of  
21 Flood Lake.

22 Looking at erosion in this area,  
23 extensive erosion occurs along the north shore of  
24 Lake Winnipeg and at the entrance to 2-Mile  
25 Channel, the west shore of Playgreen Lake, and

1 along Kiskittogisu Lake, near 8-Mile Channel.

2                   The erosion rates observed on the  
3 north shore of Lake Winnipeg and the southwest  
4 shore of Playgreen, that was high, historically,  
5 prior to development, and remained high after Lake  
6 Winnipeg Regulation of similar rates.

7                   Downstream, in the Jenpeg forebay,  
8 erosion rates -- post development erosion rates  
9 are generally relatively low, but are still higher  
10 than they were prior to regulation.

11                   On Cross Lake, there was limited --  
12 little effect on erosion rates.

13                   And then increases in erosion on  
14 Sipiwesk due to Hydro development are difficult to  
15 quantify, due to the lack of historical data prior  
16 to Kelsey. Erosion is ongoing since LWR at  
17 similar rates, and appears to increase somewhat  
18 more recently, due to high water levels in the  
19 last -- since about 2005 onward. The flows into  
20 Jenpeg are set at about 2005, and so have water  
21 levels.

22                   In terms of sedimentation,  
23 2-Mile Channel, from Lake Winnipeg, tends to  
24 transport some additional sediment from the north  
25 shore of Lake Winnipeg into Playgreen. This

1 sediment generally appears to remain suspended and  
2 transported through Playgreen Lake to downstream  
3 areas.

4                   In the lake, overall, the suspended  
5 sediment and turbidity conditions have been  
6 generally similar to what existed prior to  
7 regulation. However, 2-Mile Channel,  
8 8-Mile Channel -- 2-Mile from Lake Winnipeg to  
9 Playgreen, and 8-Mile from Playgreen to  
10 Kiskittogisu -- have changed the sediment  
11 transport dynamics in this area, and the way it is  
12 moved downstream into the borrow area into the  
13 lakes.

14                   So downstream and Cross Lake, Lake  
15 Winnipeg Regulation generally resulted in some  
16 higher turbidity and suspended sediment conditions  
17 in the east area of the lake, Cross Lake; but  
18 along the main flow path through the west area of  
19 the lake, the suspended sediment tended to be  
20 lower.

21                   Within Sipiwesk Lake, again, there is  
22 a lack of pre-development data, but sediment  
23 concentrations have been similar before and after  
24 Lake Winnipeg Regulation.

25                   As I said, the period available

1 remains effective due to the operation of Kelsey  
2 Generating Station.

3           On the lower Nelson River, that would  
4 be from Split Lake, which receives inflow from the  
5 Nelson River and the Burntwood River at its west  
6 end, from Split Lake down through to the Nelson  
7 River estuary and Hudson Bay, there is a little  
8 bit of erosion information prior to any of these  
9 developments.

10           But overall, Split Lake, Gull Rapids,  
11 has generally erosion resistant shorelines, before  
12 and after regulation, and generally low erosion  
13 observed after Lake Winnipeg Regulation and CRD.  
14 And except in a few localized areas, some  
15 increased erosion is observed, but again, fairly  
16 localized.

17           Some recent high-water levels, due to  
18 the higher flows over the last number of years,  
19 have caused some erosion concerns in their  
20 communities, which have led to the reinforcement  
21 of shorelines with riprap in those areas.

22           Extensive shoreline recession was  
23 observed downstream, in the Stephen's Lake area,  
24 which is the reservoir for the Kettle Generating  
25 Station, which resulted in substantially flatter

1 shorelines being created.

2           Initial high -- there is -- and then  
3 initially, the erosion rates were quite high  
4 within the forebays of Stephen's Lake, but also as  
5 well, just downstream of Limestone and Long Spruce  
6 forebays. Over time, the erosion rates tended to  
7 decline as shorelines stabilized, although there  
8 are a few localized areas experiencing ongoing  
9 higher rates of erosion.

10           Below Limestone Generating Station,  
11 the shoreline conditions have been quite stable  
12 since at least the 1950s.

13           In terms of sedimentation, there  
14 was -- despite the LWR/CRD, there was no  
15 significant apparent change in sediment and  
16 turbidity in the initial years after regulation.  
17 However, in the last number of years, levels  
18 appeared to be higher than they were prior to  
19 regulation, and this is likely related to the  
20 higher flows that have been occurring over the  
21 last number of years, resulting in higher water  
22 levels and potentially more erosion.

23           The Churchill River Diversion  
24 substantially increased the amount of sediment  
25 being delivered to the west end of the lake, down



1 the Burntwood River, due to the increased flows on  
2 the Burntwood. Overall, further downstream, in  
3 Stephen's Lake, again there is a lack of  
4 pre-development data, but the suspended sediment  
5 and turbidity conditions have been relatively  
6 stable since the 1970s.

7                   And then in winter, more recent  
8 studies have observed some winter ice. Winter ice  
9 effects can cause higher suspended sediment  
10 minerals in winter, and so sediment concentration  
11 varying over a wider range, potentially higher  
12 average concentrations, and that results due to  
13 ice effects blocking flows within jams at certain  
14 locations.

15                   Going on to Area 3, which is the  
16 Churchill River Diversion area, including Split  
17 Lake, down through the Notigi reservoir, up to and  
18 then to the Wuskwatim and Keeyask that was most  
19 recently completed, and then down through from  
20 Wuskwatim to Split Lake.

21                   Prior to any development, South Indian  
22 Lake had very low erosion. The shorelines were  
23 predominantly bedrock-controlled. And after  
24 regulation, water levels were raised, and  
25 extensive erosion of shorelines has been going on,

1 particularly in the north part of the lake and in  
2 the South Bay area, which is where the diversion  
3 channel is located.

4           The highest rates -- again, the  
5 highest rates of erosion were observed shortly  
6 after the development was completed, and generally  
7 declining over time as shorelines stabilized, but  
8 there are still areas of ongoing large erosion.

9           In the vicinities of the South Bay and  
10 Missi control structures, sediment was -- well,  
11 the effects on sediment are variable throughout  
12 the lake, where more data is available in the  
13 vicinity of South Bay and Missi control structure.  
14 The suspended sediment was initially increased due  
15 to diversion, but more recent data -- conditions  
16 for more recent data indicate that the conditions  
17 are similar to pre-CRD, although for suspended  
18 sediment due to turbidity has been a bit higher.

19           Following on the Churchill River  
20 Diversion area, in Zones 6 through 9, downstream  
21 of the diversion, extensive erosion of shorelines  
22 was observed after regulation from South Indian  
23 Lake to Notigi. And as you saw on the maps that  
24 Brian showed there, that's where substantial  
25 mitigation occurred, particularly in the high

1 sediment area. There was large erosion in that  
2 area, downstream of Notigi to Wuskwatim, affected  
3 by increased flows, some increases in water  
4 levels.

5 I have to change a slide. And I've  
6 suffered the same problem as Brian, with the text  
7 overlapping.

8 So from Notigi to Wuskwatim, areas of  
9 large erosion are not as extensive as observed  
10 upstream of Notigi. And then below Wuskwatim,  
11 areas of large erosion are again less prevalent  
12 than upstream, and more localized, typically more  
13 located near the rapids.

14 And again, the highest rates of  
15 erosion were observed soon after Churchill River  
16 Diversion, and generally declining over time.  
17 Some areas of large erosion still occur in the  
18 Notigi reservoir.

19 In terms of suspended sediment, data  
20 from South Indian to Notigi indicated an initial  
21 increase in the suspended sediment due to CRD, but  
22 a return to conditions more typical of the pre-CRD  
23 conditions, despite the ongoing erosion in those  
24 areas.

25 Turbidity and suspended sediment

1 typically are generally increasing downstream in  
2 river run sections, and decreasing through lakes,  
3 generally indicating loss of material and  
4 deposition is taking place within the lakes along  
5 the way.

6           Conclusions in previous studies, where  
7 more data is available, at Thompson, have varied,  
8 but more recent monitoring suggests more turbulent  
9 conditions than existed prior to regulation. And  
10 overall, there is a much larger sediment load  
11 being delivered down the river, due to the  
12 diversion, due to the increased flow. Although  
13 suspended sediment concentrations may not have  
14 increased as much, the load increase -- just  
15 simply due to the load increase.

16           In the downstream, lower Churchill  
17 area, downstream -- the lower Churchill River  
18 area, downstream of South Indian Lake, there is  
19 little erosion to note in this area. Suspended  
20 sediment and turbidity are quite low, very low,  
21 before and after regulation. And due to the large  
22 reduction in flow down the river, there is --  
23 resulting in large sediment load reduction  
24 associated with that, downstream and all the way  
25 to Hudson Bay.

1                   So that's all the four study areas.

2    Just in summary, in terms of erosion, increased  
3    water levels caused increased rates of shoreline  
4    erosion, particularly in the initial years after  
5    individual developments occurred, and erosion  
6    rates tend to gradually decline over time to a  
7    more stable rate that will exist over the long  
8    term.

9                   However, those long-term rates may be  
10   larger than existed prior to development, at least  
11   until shoreline stabilized on hard materials such  
12   as bedrock, and then your erosion rates will  
13   effectively come to zero.

14                  More recently, the high water levels,  
15   high flows and resulting high water levels, since  
16   about 2005, have caused some increases in erosion  
17   in some areas -- for example, Sipiwesk Lake -- and  
18   caused some concerns to the communities along the  
19   lake, such as Cross Lake, York Landing, and Split  
20   Lake.

21                  In terms of sedimentation, increases  
22   in suspended sediment and turbidity were more  
23   pronounced in the early years, after the  
24   reservoirs were impounded and flows diverted. In  
25   many areas, more recent contemporary data suggests

1 conditions are similar to pre-project,  
2 pre-development conditions, with some exceptions.

3           While erosion is greater in reservoirs  
4 that occurred before development, much of the  
5 resulting sediment tends to be retained within the  
6 reservoirs.

7           And then flow diversions, particularly  
8 2-Mile and 8-Mile Channel and Churchill River  
9 Diversion, substantially altered the patterns of  
10 sediment transport within the system of the upper  
11 Nelson and the Rat-Burntwood system and lower  
12 Nelson. CRD significantly reduced sediment load  
13 down the Churchill River, and increased it on the  
14 Burntwood River, resulting in increased  
15 sedimentation at the entrance to Split Lake.

16           That's it. If there are any  
17 questions ...

18           MR. SOPUCK: I'm going to start with a  
19 comment, and I have a couple of questions.

20           I think the last two presentations,  
21 the last two subject areas, are probably -- aside  
22 from impacts on people, are the most important  
23 study components. When you get water level  
24 change, you get erosion, you get sedimentation;  
25 just about all other environmental effects flow

1 from that.

2                   And when I looked at the way in which  
3 this was analyzed, I just -- I tried to read the  
4 whole thing, and I couldn't, but I did focus on  
5 South Indian Lake. And, you know, you commented  
6 on -- you know, there's significant areas of  
7 erosion. We know that post flooding, most of the  
8 lake is not bedrock-controlled. And yet, through  
9 your analysis, you have an estimate of  
10 628 hectares of land -- of recession on a lake  
11 that -- you know, shoreline length of 5,600  
12 kilometres. And you also -- I'm not saying you,  
13 but the report also says that this estimate is  
14 likely low.

15                   Now, are we talking order of  
16 magnitude, two orders of magnitude, are we not  
17 sure?

18                   MR. DE WIT: We're not sure. It  
19 hasn't -- the detail, there's some limitations in  
20 terms of time of being able to get that level of  
21 detail. There's also some lack of data,  
22 particularly in terms of -- because the satellite  
23 imagery can only get down to a certain level of  
24 resolution. You can't see small erosion, small  
25 things, say, less than 90 metres. Small. Air

1 photos are more desirable for that, but there's a  
2 lack of air photos over a lot of the area.

3           So, yeah, it -- that would definitely  
4 be an underestimate. We are actually currently  
5 doing some work with the community to do some  
6 investigation, a bit more investigation on some of  
7 these issues, to try to flush some of these things  
8 out. So, yeah, that would be definitely an  
9 underestimate, for sure.

10           I'd be reluctant to give a number  
11 without further study of a more detailed analysis.

12           MR. SOPUCK: The other thing I would  
13 point out here, is -- and, you know, we all know  
14 that there is a significant lack of pre-data.  
15 Perhaps the one exception to that would be South  
16 Indian Lake, where you had Newbury and  
17 McCullough's work, identified stations that were  
18 followed, but they were only followed for four  
19 years post flooding. Is there any possibility  
20 that sites like that could be re-evaluated?

21           MR. DE WIT: Yeah, and that's part of  
22 the discussion that we are currently -- we've  
23 really just started some work on South Indian  
24 Lake, with one of their consultants representing  
25 them on some analyses. And so we're at -- it's



1 kind of like a journey of 1,000 steps; we're on  
2 Step 2.

3           So that's some of the discussion that  
4 we are having, and we have to see where some of  
5 that analysis is going to end. One of the issues  
6 that we have, for example, on Newbury and  
7 McCullough, on the sites they investigated, it's  
8 not necessarily clear where those were.

9           If you want to go back and study it,  
10 they've got a dot on a map, but I don't have a  
11 specific coordinate. So that dot on the map  
12 covers the shoreline, depending -- like, if it's a  
13 dot on a map this size, I mean, the dot covers an  
14 area of five square kilometres. Which shoreline  
15 we can't compare, because you don't know where  
16 they were.

17           MR. SOPUCK: Okay.

18           MR. DE WIT: But we've talked about  
19 kind of going back and saying, "Okay, is there  
20 something that we can draw from that?" But  
21 that's -- again, that's a few steps down the  
22 journey.

23           MR. SOPUCK: Okay. Thanks.

24           MR. JOHNSON: Yes. Terry Johnson  
25 speaking.

1                   With regards to sedimentation loads  
2    that move through the system on a regular basis,  
3    can you give us some sense on what percentage of  
4    the sedimentation actually redeposits in that  
5    lake, or another lake, and what percentage  
6    actually gets flushed to salt water? And if it  
7    does make it to salt water, have you noticed a  
8    buildup of an alluvial band, or something in the  
9    Churchill area there, or the mouth of the Nelson?

10                  MR. DE WIT: In this analysis, we  
11    didn't specifically do the analysis of the  
12    incoming and outgoing loads. There is a bit of  
13    information on that, for example, from the  
14    Wuskwatim EIS that was referenced in the document.  
15    I don't recall the numbers off the top of my head.  
16    What I'm more familiar with, for example, is the  
17    Nelson River, the studies for Gull, for the  
18    Keeyask GS at Gull Rapids. The sediment load  
19    there was about 1 to 3 million tonnes per year  
20    estimated, which is actually quite low,  
21    considering that's along the lines of what the Red  
22    River carries. And then through Sipiwesk Lake --  
23    or through Stephen's Lake, about 30 per cent of  
24    that load tends to be lost. You know, so you are  
25    maybe three, four hundred thousand tonnes to

1 a million tonnes deposited in that lake, and then  
2 sediment load going downstream, probably similar;  
3 maybe a bit higher.

4 I'm not quite as familiar with the  
5 bay, but a fellow I worked with who worked on  
6 Wuskwatim studies, and he said, too that at the  
7 bay, the sediment load from the Nelson River  
8 obviously contributes to the mudflats and deltas  
9 and stuff there. But he said, realistically, the  
10 load delivered by the Nelson is really quite small  
11 compared to the internal loading, due to the --  
12 because it's quite large, flat mudflats in that  
13 area, so when the water is at low tide, you've got  
14 extensive flats that comes up and submerges that.  
15 The internal loading, due to the stirring-up of  
16 that sediment, dwarfs -- essentially on a daily  
17 basis -- what comes from the Nelson.

18 So that the shoreline processes around  
19 the exits of the lake kind of dwarf what is coming  
20 from the river, is my understanding.

21 MR. JOHNSON: One last question, and  
22 if you don't mind, it is a bit of stargazing, if  
23 you like, in consideration of where things might  
24 be for the future, for monitoring shorelines and  
25 stuff like that.

1                   The ability to rent satellite time and  
2   stuff now, with very high resolution, has that  
3   been discussed? What are your thoughts on an  
4   ongoing basis for the future?

5                   MR. DE WIT: For a specific example,  
6   I'm involved in monitoring physical environment  
7   for Keeyask, where we definitely want to take a  
8   look at using, say, high-res satellite imagery.  
9   In the past, people went out and did surveys at  
10  specific shoreline locations, say -- you know, ten  
11  locations, or -- Sipiwesk Lake data was to -- or  
12  South Indian Lake had, like, 17 or 18 monitoring  
13  spots on the lake. Hundreds of, like --  
14  2,500 kilometres of shoreline monitoring 17 spots.

15                   You get a lot of detailed data in a  
16  very good -- one location, that doesn't really  
17  tell you much about the surrounding area. The  
18  satellite imagery can give you a good overall  
19  picture, but not a lot of detail, but we are  
20  certainly trying to going in that direction and  
21  take a look at some of these things.

22                   But again, we're developing those  
23  processes. Now, some of that is being done in  
24  conjunction with the Province on the coordinated  
25  aquatic watering program, to try and bring some of

1 that out, and also trying to look at -- beyond the  
2 shoreline, using some of that to understand the  
3 sediment dynamics.

4 For example, they've taken a look at  
5 Playgreen Lake, and said -- it's an extremely  
6 complex system at that location, and how does  
7 that -- where it's coming from, how it moves, and  
8 what the sources are, and how it's driven by wind  
9 and flow and those sorts of things.

10 But we are in the process of trying to  
11 develop that capacity, to understand the system in  
12 more detail.

13 MR. JOHNSON: Thank you.

14 MR. DAVIES: Just one thing on the  
15 estuary effect. I believe the tides are so  
16 pervasive in the estuary that any effect is pretty  
17 well masked by the huge wall of water that comes  
18 and goes. There is some bathymetric work that was  
19 done in the early 1900s for Fort Nelson, and the  
20 fouling is in same place it was in the early  
21 1900s. And a lot of the area is still very  
22 similar, and I believe it's because the tidal  
23 effect is just so massive that it controls that  
24 general area itself, much more than Manitoba Hydro  
25 would.

1 MR. DE WIT: Thank you.

2 MS. ZACHARIAS: We are going to switch  
3 over now from Physical Environment to the Water  
4 section. So we are going to have Megan Cooley  
5 come up and give an intro to the water section, as  
6 well as talk about water quality.

7 MS. COOLEY: Good morning, everybody.  
8 Can everybody hear me?

9 My introduction section is quite  
10 brief, and from what I understand, some of this  
11 material has been covered already. But I will  
12 revisit some of this for reminders for people.

13 So region of interest here, from the  
14 aquatics component, is the same as what you just  
15 saw through Wil's presentation; so four areas.  
16 The same areas: Upper Nelson, Lower Nelson, CRD  
17 route, and Lower Churchill River. For the  
18 aquatics component, some of these areas were  
19 further subdivided into smaller reaches, to kind  
20 of correspond with things like location of  
21 infrastructure, like a generating station, for  
22 example. I think every topic you are going to  
23 hear from here on will provide summaries of  
24 effects and conclusions for each of these reaches.

25 Regional study components for the

1 aquatics, there's five of them: Water quality,  
2 which I will be talking about; fish community;  
3 lake sturgeon; mercury in fish and fish quality;  
4 and marine mammals, which are belugas and seals.

5           From what I understand, Allison  
6 already covered a bit of background here about how  
7 they were selected. But one of the key factors of  
8 influence was importance to First Nations  
9 communities or sensitivity to Hydro development.  
10 So a variety of reasons regarding that decision.

11           Pathways and effects diagram, this  
12 appears in the report; I'm not going to go through  
13 that in detail, in the interest of time. But that  
14 was just to remind folks here about the  
15 complexities that we're dealing with.

16           So under here -- so regional study  
17 components over here, obviously they're affected  
18 by Hydro development, things like changes to water  
19 levels and flows, erosion, sedimentation, that you  
20 just heard about, footprints, et cetera. So a  
21 variety of pathways of effect, but they are also  
22 affected by a multitude of other factors.

23           So these factor things like, for  
24 instance, climate change or harvesting. One  
25 example would be for lake sturgeon, some of the

1 populations were extirpated in areas even prior to  
2 hydroelectric development.

3           So these other factors, external  
4 factors, were also considered in terms of  
5 interpreting the information.

6           I don't know if there is a poster or  
7 not, but -- okay. So that was it, in the way of  
8 an introduction. And I'll jump right into the  
9 water quality component.

10           Just a few brief points about the  
11 approach, and limitations specific to this  
12 component, though some are actually quite general  
13 and I think cast more broadly. But in terms of  
14 the approach, much like others, the assessment  
15 relied on both literature -- so published reports,  
16 et cetera -- but also the library, heavily, on  
17 compiling, analyzing raw water quality data from a  
18 variety of sources.

19           So there was a quantitative assessment  
20 done using that raw data, focusing on key  
21 indicators and metrics which I believe Allison  
22 also covered earlier, so I will not go there.

23           The analysis was both temporal and  
24 spatial. So, obviously, we looked at pre and post  
25 Hydro development to track effects, because water



1 moves, we also had the ability to look at things  
2 spatially, then, for effects.

3           A simple example would be where the  
4 water quality is different up and downstream of a  
5 generating station. So that, collectively,  
6 provides a really good approach for assessing what  
7 might have happened.

8           The other kind of unique feature of  
9 the water quality is that there are readily  
10 available published benchmarks. By that, I mean  
11 water quality guidelines; in this instance, a  
12 whole section of aquatic life. So they  
13 universally applied the standards of practice to  
14 apply them, so we considered that in data  
15 interpretation as well.

16           Limitations: We have only three kind  
17 of broad ones here. The first being -- I think  
18 this is universal as well -- some differences in  
19 sampling and/or analysis methods, which rendered  
20 uncertainty to the assessment. But it is  
21 inherent. There's not much you can do,  
22 particularly when you're dealing with multiple  
23 data sets over a long period of time. Very common  
24 problem.

25           You've heard already today there is

1 either no or limited pre-Hydro data for some  
2 areas, but some areas have more info than others.  
3 But it's a pretty common observation. A few cases  
4 even were post Hydro data; that's a little limited  
5 as well.

6           The last point water quality, the  
7 practical approach for erosion, sedimentation,  
8 that we just heard. Some of the episodic effects  
9 that might have occurred; things like high wind or  
10 storm events that might cause a lot of erosion,  
11 affect TSS and other conditions, typically have  
12 not been captured in past monitoring programs,  
13 because you can't be out in a boat, sampling,  
14 during those sort of events.

15           Before I get into region or  
16 area-by-area conclusion, just three points on  
17 overarching conclusions.

18           First, there were effects observed,  
19 some of which were short-term, and/or were  
20 localized, so within a lake, or a portion of a  
21 lake, for example; others were widespread and  
22 permanent.

23           And the differences in terms of  
24 magnitude, spatial extent, duration of those  
25 effects, largely reflected differences in the

1 pathways effect. So by that, particularly meaning  
2 flooding, which tends to have a shorter-term  
3 impact versus divergent, which is long-term,  
4 permanent.

5           And the last point: Despite the fact  
6 that there were changes observed, it is that post  
7 hydroelectric monitoring data that we had  
8 available to us indicates that conditions were  
9 suitable for aquatic life at most sites and most  
10 time periods. So, generally, fairly good  
11 conditions.

12           Area one. So this is the upper Nelson  
13 River. There were some temporal changes and  
14 conditions observed over the period of record, but  
15 most of these didn't actually show any clear  
16 relationship to either Kelsey Generating Station  
17 or Lake Winnipeg Regulation.

18           Other key points or key findings is  
19 that the water quality conditions are generally  
20 somewhere along the entire length of that river  
21 system, so from upstream to downstream. And they  
22 largely reflect the overwhelming dominance or  
23 influence of the major inflow, or the only major  
24 influence which is Lake Winnipeg outflow.

25           Having said that, there were some

1 temporary changes observed, either documented with  
2 data or inferred, based on what we know, or things  
3 like erosion, in some areas. So there were  
4 increases in turbidity -- or reductions in water  
5 clarity, if you want to turn that around.

6           Some had evidence or indications that  
7 dissolved oxygen was lower in some periods in  
8 Cross Lake, specifically pre-weir construction.

9           Leapt over to area three; this is  
10 intentional for reasons which hopefully will be  
11 clear to you in a moment. This is the CRD route.  
12 Quick reminder, this area experienced quite a  
13 large number of changes related to both flooding  
14 and diversion, and there were permanent changes  
15 due to diversion of the Churchill River into this  
16 system. That river had different chemistry prior  
17 to CRD, and that was reflected, in turn, in a  
18 change in conditions in the Rat-Burntwood system.

19           There were also temporary effects  
20 observed, and these generally related to flooding.  
21 You've heard earlier that there was a large amount  
22 of flooding in this area, so no surprise.

23           I should point out that increases in  
24 nutrients was one of those observations. The  
25 largest effect was observed in Notigi Lake,

1 particularly during the impoundment period, so  
2 when it was actually, literally, being filled.

3           You've also heard from Wil's  
4 presentation that water clarity -- so by that,  
5 meaning higher turbidity was also observed. This  
6 is fairly widespread, very well documented, and it  
7 is linked to increased erosion and/or  
8 re-suspension of sediments, an example being South  
9 Indian Lake, Area 6, where the outlet channel was  
10 being constructed would be one of those.

11           So, leaping back to Area 2 -- I put  
12 this third set second, because the lower Nelson  
13 River received Rat, Burntwood, and Nelson River  
14 solids, so it is affected by both of those routes.

15           This a bit unique from the others,  
16 such that it lacks pre-Hydro data for a number of  
17 the developments. And it also has a concomitant  
18 development, or construction of a number of  
19 developments, so that they overlap in time and  
20 space to some extent. That makes it a little more  
21 difficult to tease out what effects might have  
22 been attributed to each of those particular  
23 developments. So a bit more complex.

24           But, having said that, the information  
25 allows us to tell a story about each of those

1 major developments, to the extent that information  
2 is available.

3           So, CRD and LWR, the key change here  
4 really relates to the diversion of the Churchill  
5 River, so you see the effects that were observed  
6 in the Rat/Burntwood system translated down into  
7 the lower Nelson.

8           The Kettle Generating Station, there  
9 is no pre-data to try to characterize that system,  
10 but there is quite a wealth of data from initial  
11 years following impoundment and moving forward.  
12 And collectively, that tells us that the north arm  
13 of that lake, where it was quite isolated from the  
14 Nelson River, first off, and also experienced  
15 flooding, appears to have responded in a typical  
16 manner, which you typically observe when you flood  
17 terrestrial habitat. So increases in nutrients,  
18 reduction in oxygen, and reduction in the water  
19 clarity.

20           Moving back into the main flow for the  
21 Nelson River, so the southern portion of Stephen's  
22 Lake, or the forebay of the Kettle, Long Spruce  
23 and Limestone and downstream. So along that main  
24 flow path, the available information tells us that  
25 any changes to water quality were either

1 negligible, short-term, and/or not captured in  
2 monitoring programs.

3           Last area, the lower Churchill River  
4 system. Effects here, not surprisingly, relate  
5 back to the fact that there was a large reduction  
6 in flow, a large reduction from the Churchill  
7 River, specifically. What that meant is, local  
8 drainages became more predominant, and that was  
9 reflected in changes in some chemistry conditions.  
10 For example, it became harder.

11           Having said that, there is at least  
12 some contribution of effects related to changes  
13 upstream. So there were some observed changes in  
14 South Indian Lake, which also contributed to those  
15 changes post CRD downstream.

16           So for new findings, that -- not all  
17 of these are new, but definitely the extension of  
18 the period of record relative to past assessments  
19 allows, I think, more conclusions to be drawn out  
20 of the information at hand.

21           First off, the analysis showed that  
22 there were some differences in the conclusions  
23 from the RCEA relative to past assessments. One  
24 example is the RCEA assessment concluded no change  
25 in phosphorus for a number of sites, which is not

1 in agreement with all of the past literature.

2           The other thing the analysis allowed  
3 is there is an extension of the data sets beyond  
4 1993. That's the last seminal quantitative  
5 assessment that was done for the area as a whole.  
6 Addition of more data told us a few things about  
7 more recent conditions.

8           For example, there is indications  
9 turbidity had actually gone up again in Southern  
10 Indian Lake, Burntwood River, and Split Lake.  
11 Also increases in conductivity in the Nelson River  
12 system.

13           So the recent conditions, there were  
14 also some indications of very recent changes.  
15 I've given one example here, which is conductivity  
16 for Cross Lake. Recent changes -- and by that I  
17 mean, essentially, the tail end of the period of  
18 record that was looked at. So this time a lot of  
19 (inaudible), 2012 and 2013, and that was reflected  
20 pretty much through the upper Nelson River system.  
21 So very recent kind of condition changes there.

22           A sort of second corollary to that is  
23 the study also showed the water quality pattern  
24 that you see along the upper Nelson River being  
25 quite consistent. You see essentially the same



1 signature from up and downstream, and that really  
2 reflects us coming out of Lake Winnipeg.

3 So the dominant effect, again, is the  
4 Lake Winnipeg outflow.

5 Last point is for the lower Nelson  
6 River region. That area experiences a variability  
7 of water quality conditions over time; it has in  
8 the past, and it will continue to. That really  
9 reflects differences from year to year regarding  
10 the proportional contribution of the two inflows,  
11 the Burntwood and Nelson Rivers, which have  
12 different chemistry. You see it bounce around,  
13 depending on how much flow you are getting from  
14 those two systems.

15 And the last slide here, bringing us  
16 back to kind of First Nations or community  
17 concerns.

18 One of the important conclusions or  
19 findings is that water clarity did indeed decrease  
20 in some areas post Hydro. That's very well  
21 documented. The largest effects, and the largest  
22 extent of effects, were observed in Area 3, along  
23 the diversion route.

24 There are some changes in water  
25 quality that may have adversely affected aquatic

1 life. The key example I gave here is lower oxygen  
2 in Cross Lake, which was observed for a couple of  
3 years post LWR but prior to weir construction.

4 I put in nutrients, because I know  
5 that nutrients are generally a great concern these  
6 days, not just in Manitoba but globally.

7 Nutrients did go up in some areas, as a result of  
8 flooding, primarily. But the key point, I think,  
9 is that those effects are temporary.

10 And to circle back, the last point, to  
11 the very first slide, and the key take-home here  
12 as well is that post Hydro data indicates that  
13 conditions have generally been suitable for  
14 aquatic life at most locations and most time  
15 periods.

16 And that's all I have. So, any  
17 questions?

18 MR. HARDEN: The increase in  
19 conductivity at Cross Lake seems to correspond  
20 with a period of high outflow from Lake Winnipeg,  
21 sustained high outflow. Would you say that was a  
22 limit --

23 MS. COOLEY: I suspect you're right.  
24 There has been, I think, a pretty long period of  
25 high water levels even preceding that. But it

1 certainly does adjust, that there's a broader  
2 effect occurring upstream in the watershed, and  
3 that increase observed in Cross Lake was  
4 translated down the system, so it does indeed seem  
5 to be once that -- what actually ultimately drives  
6 that change in Lake Winnipeg outflows is another  
7 question. It could be effects within the you know  
8 very large drainage basin. It could be changes  
9 anywhere. Or, as you say, just sustained periods  
10 of high water level and outflow.

11 MS. ZACHARIAS: So next up we have  
12 Richard Remnant, from North/South as well. He is  
13 going to talk about fish community and fish  
14 quality.

15 MR. REMNANT: Thanks, Allison.

16 My name is Richard Remnant, and as  
17 Allison said, I'm from North/South, and I'm up  
18 here to present fish community and fish quality.  
19 And I'm relaying the work of many different people  
20 who have contributed to this presentation. I  
21 guess I drew the long straw, and I get the  
22 opportunity to come up here and present to you,  
23 although I will be looking to others to help me  
24 with any really hard questions, so you may hear  
25 some other people on this.

1                   We don't have the pretty pictures that  
2 Megan had, so I will have to think back to her  
3 presentation to show you the water bodies.

4                   So with the fish community, in terms  
5 of approach and limitations, what we did is we  
6 looked at work that had been done in the past, and  
7 we tried to come up with a way that we could look  
8 at fish communities over the entire ROI. And we  
9 knew that we had a fairly robust set of  
10 limitations, which I will get to in a minute, of  
11 an index data across the province, and that's what  
12 we wanted to look at for our main source of data.

13                   So in terms of the approach, what we  
14 did is we -- it was a compilation of available  
15 data, and then we reanalyzed, a reanalysis of this  
16 data into relevant time periods to develop a  
17 quantitative comparison.

18                   And part of this was driven by the  
19 fact that we knew that we had quite a robust data  
20 set, the data set in the CAMP, and we knew there  
21 were other data sets that we could make comparable  
22 to that.

23                   We were able to produce quantitative  
24 assessments using -- for a number of indicators,  
25 using selective metrics. And again, the focus was

1 on index gillnetting data.

2 We looked at the fish community in  
3 general, but we focused primary on lake whitefish  
4 and walleye, which were important across the  
5 region and important to the communities and  
6 fisheries.

7 There were a couple of other species  
8 to note. Brook trout were given some importance,  
9 certainly in the lower Nelson River, and there is  
10 mention of that. And then lake sturgeon,  
11 obviously, is very important in the region, and  
12 it's formed its own section, which will be  
13 discussed later.

14 So in terms of limitations, the  
15 majority of the ROI has little to no  
16 pre-hydroelectric development data. The other  
17 problem that we were faced with -- again,  
18 recognizing we had a fairly good data set, but  
19 there were changes in sampling methods in terms of  
20 mesh sizes, and certainly in terms of locations,  
21 and often precludes direct comparison of the data.

22 So I will skip right into conclusions  
23 and findings, and we will start with Area 1.

24 Start with Playgreen Lake. There were  
25 no comparable pre-hydroelectric data that we were

1 able to use, and when we look at data collected in  
2 the 1980s and compare it with the current data, we  
3 see that there is an increase in total catch and  
4 walleye CPUE, and some shift in species  
5 composition.

6                   Moving to Cross Lake, there was a  
7 small amount of pre Lake Winnipeg Regulation data.  
8 Adverse effects on CPUE were partly mitigated by  
9 the weir, but to date, whitefish have not  
10 recovered in Cross Lake; we aren't seeing  
11 increases in whitefish.

12                   In Sipiwesk Lake, there was a small  
13 amount of pre and post Lake Winnipeg Regulation  
14 data, and we see some shift in the species  
15 composition.

16                   I'm moving to Area 2. And something  
17 Megan talked about is we had subdivided our  
18 regions or areas into smaller regions, natural  
19 sort of breaks, based on infrastructure or reasons  
20 to separate them. So we looked at Split Lake.  
21 There was no pre hydroelectric data. When, again,  
22 we look at the comparison of the '80s data to the  
23 current data, it shows the total catch in  
24 whitefish CPUE declined. It showed an increase in  
25 walleye CPUE originally, but in the last few

1 years, there appears to be somewhat of a decline  
2 of walleye CPUE in the lake as well.

3 In Stephen's Lake, there's again no  
4 pre hydroelectric data. Impoundment by the Kettle  
5 Generating Station caused large changes in fish  
6 community in both river and lake habitat.

7 Moving further downstream, the Nelson,  
8 below the Kettle GS, this is where we have more  
9 recent hydroelectric stations. Each station  
10 resulted in changes in the forebay fish community,  
11 and changes in movements, decreases in brook trout  
12 abundance, and decreases in cisco abundance as  
13 well.

14 Moving forward to Area 3, starting  
15 with -- starting in the lake, we will concentrate  
16 on Area 4, which is that area in South Indian Lake  
17 where a lot of the commercial fishery has been  
18 conducted over time -- most of the time fisheries  
19 have been existing. What we found there is that  
20 whitefish are old, slow-growing, small fish, with  
21 low condition factors. Although the whitefish  
22 CPUE in Area 4 is still the highest of all the  
23 other areas, but it has decreased.

24 Within SIL in general, we have a  
25 fairly consistent lake-wide decrease in total

1 catch, whitefish and walleye. And there is lots  
2 of potential causes, including poor egg survival  
3 due to drawdown, emigration, sedimentation, lack  
4 of food, and persistent fishery.

5           Moving down into the diversion routes,  
6 there were no pre-CRD data. Effects since the  
7 1980s include shift in species composition, and  
8 again we see a decline in whitefish abundance, an  
9 increase in walleye abundance. We also have the  
10 blockage of upstream movements at Notigi.

11           Area 4, which is the Churchill River  
12 downstream of Missi Falls, there were no pre-CRD  
13 data. You have a substantial reduction in the  
14 amount of fish habitat, and this is due to the  
15 reduction of growth out of Missi, but fish  
16 communities are -- fish communities remain,  
17 despite the reduced flow and habitat loss.

18           Fish catch in the upper -- in the  
19 lakes in the upstream part of this area are  
20 somewhat lower than those of nearby off-system  
21 lake.

22           Further downstream, at Churchill, the  
23 weir was built in the late 1990s, and we have seen  
24 a fairly recent increase in catch for a small  
25 water body, and it's largely driven by an increase



1 in whitefish catch in that area.

2                   In terms of new findings, I think one  
3 of the real -- I think I would say strengths of  
4 this exercise is being -- the ability to compile  
5 and compare quantifiable fish community metrics  
6 for different time periods. This is something  
7 that had not really been done before. We were  
8 able to get a lot of data from ODEA (ph), and from  
9 Manitoba Fisheries Branch data sets and compare it  
10 with the CAMP data sets, and in terms of the  
11 exercise, actually bringing a data set together  
12 and having quantifiable data to compare, and  
13 obviously we were having some limitations with it.

14                   In terms of a new finding, and really  
15 what we are seeing in most -- we call it  
16 system-wide, but in most areas, we are seeing, I  
17 think, an increase in frequency of walleye and a  
18 decrease in the frequency of whitefish in many of  
19 the water bodies from the 1980s to the current  
20 period.

21                   So in terms of importance to the  
22 community, the abundance of key commercial species  
23 has changed in many waterways. Walleye, currently  
24 important to commercial fisheries, have presently  
25 increased in many of the areas. And whitefish,

1    which historically were important to domestic  
2    fisheries and preferred by elders in communities,  
3    whitefish have decreased in many of the areas.

4                    And that's all I have for fish  
5    community.  Again, I'm open to questions, or I can  
6    move on to fish quality and deal with that one,  
7    and then get questions on both of them.

8                    I don't know what you want, Allison,  
9    or what people want to do.

10                   MS. ZACHARIAS:  I'd say if there are  
11    questions about the fish community, you could  
12    address them now.

13                   MR. REMNANT:  Sure.

14                   MR. JOHNSON:  This is kind of similar  
15    to the questions we had before, like the changes  
16    that you're noting, rising walleye and lowering  
17    whitefish stocks in the region of interest, have  
18    you done any assessments outside of the region to  
19    see whether -- what are you seeing in those areas,  
20    to see whether it's a similar type or whether it's  
21    different?

22                   MR. REMNANT:  I think I can answer  
23    that.  I'll start to answer that question, and  
24    maybe others will chime in.

25                    It certainly is part of the CAMP data

1 set, which is the current data set that we've got.  
2 It is data from 2008 to 2013. We have off-system  
3 water bodies in every -- in all the CAMP regions  
4 that are sampled for that very reason. And in  
5 some cases, we are seeing similar trends -- and  
6 again, this is just looking at the 2008 to 2013  
7 data.

8                   We are seeing similar trends; in some  
9 cases, we're not. One thing about these  
10 off-system water bodies is that they are primarily  
11 on much smaller watersheds. It is almost  
12 impossible to get a good, true reference for a  
13 water body as large as the Nelson River, for  
14 example.

15                   But yeah, we do have off-system water  
16 bodies. And again, for the present period.

17                   MR. SOPUCK: You know, based on the  
18 sort of system changes that have occurred, and  
19 what you know of the biology of the species, is  
20 this a fairly predictable result; walleye up,  
21 whitefish down, on the basis of the sort of system  
22 changes that have occurred?

23                   MR. REMNANT: In terms of -- I mean,  
24 there is some other factors at play, certainly, in  
25 many of the -- in parts of the watershed. There

1 are some -- what we would call other stressors at  
2 play.

3           You know, we know that we have changes  
4 in climate. We know that we have the introduction  
5 of exotic rainbow smelt, which has really changed  
6 food webs in some of the affected water bodies.

7           In terms of -- the walleye increase,  
8 again, appears to be fairly common, almost  
9 everywhere. The reduction of whitefish, where it  
10 is not being seen, is in the lower Churchill  
11 River, essentially, and I guess -- I would say  
12 lower Churchill River.

13           So, you know, perhaps -- and this is a  
14 cooler -- you know, the lower Churchill River is a  
15 cooler system than we find necessarily in the  
16 south, or even -- you know, the southern part of  
17 the region, anyways.

18           So it may be part of a play -- and  
19 something that's changing with -- again, things  
20 like changing climate and inter-species.

21           I don't know if any of my coworkers  
22 want to add anything to that, or ...

23           MR. DAVIES: This is from the people  
24 that find rainbow smelt. It is one of the main --  
25 in some areas, it is one of the main foods for

1 walleye. It has a very high caloric value, so the  
2 walleye grow very, very fast, and reach maturity  
3 at an earlier age, so they do very well with  
4 rainbow smelt in the water. And walleye  
5 (inaudible) type species which you would expect to  
6 do better in a hydroelectric development setting.  
7 The fact that they have maintained their  
8 population, even though they are being  
9 commercially fished, so that there are probably  
10 other factors also affecting walleye populations.  
11 And that could be the extra food being provided by  
12 rainbow smelt, and even climate change.

13 SPEAKER: Some of those questions will  
14 be answered in the Nelson Kisskitto.

15 MS. JOHNSON: We can't hear you.

16 MR. REMNANT: I'll elaborate what Glen  
17 is saying there, so it's on record. Just saying  
18 that now, Stuart had to add in the possible  
19 rainbow smelt; I unfortunately take it for granted  
20 that people know about rainbow smelt. I've done a  
21 lot of work with them, and I should have  
22 elaborated on them, that they are predatory, small  
23 volume fish, very small fish that got into the  
24 system and done very well, in Lake Winnipeg  
25 particularly, and the lower Nelson River.

1                   What Wolfgang is alluding to is we are  
2 seeing now collapses in the abundance of rainbow  
3 smelt throughout Lake Winnipeg, and we're seeing  
4 it in the lower Nelson River as well. And so I  
5 think we will see just what sort of a role -- how  
6 important rainbow smelt were to the success of  
7 increasing the abundance of walleye.

8                   MR. DAVIES: Just to add to that, the  
9 production of walleye on Lake Winnipeg itself has  
10 been dramatically increased in the last few  
11 decades, and it's primarily due to the rainbow  
12 smelt. It will be interesting to see what happens  
13 when they do decline.

14                   MS. ZACHARIAS: Any more questions on  
15 fish? We have one more fish quality presentation,  
16 and then we'll break for lunch.

17                   MR. REMNANT: All right. So I'm going  
18 to talk a little bit about fish quality.

19                   When we talk about fish quality in  
20 this presentation, we are looking at palatability,  
21 and the incidence of T. crassus, or Triaenophorus  
22 crassus, which is a tapeworm cyst in the flesh of  
23 primarily the whitefish.

24                   In terms of the approach, the  
25 palatability indicators were acceptability to

1 harvesters and results of scientific tests that  
2 institutions such as the University of Manitoba  
3 would conduct.

4           For the *Triaenophorus crassus*  
5 indicator, the rate of infestation is expressed in  
6 the number of cysts per 100 pounds of flesh of  
7 dressed commercial whitefish. This is in keeping  
8 with Freshwater Fish Marketing Corporation  
9 protocols, which is what they use to grade the  
10 whitefish into different grades of fish, and those  
11 grades attached in the prices.

12           In terms of limitations, fish taste is  
13 very subjective, and there were no  
14 pre hydroelectric studies on fish palatability, so  
15 comparisons can only be made with off-system  
16 lakes. The pre hydroelectric rate of infestation  
17 data are only available for a few water bodies,  
18 and the quantity and quality of that data is  
19 inconsistent.

20           With respect to the conclusions,  
21 findings, with respect to palatability, there is  
22 no known scientific study directly linking changes  
23 in palatability with hydroelectric development in  
24 the region of interest. However, it is understood  
25 that hydro development can cause changes to fish

1 diet, water quality, algae, and growth rates,  
2 which can all affect the taste and texture.

3 Tests conducted by DFO on fish from  
4 Playgreen Lake, all of the fish passed their  
5 tests. Tests were done by University of Manitoba  
6 at Nelson House, Split Lake, York Landing, and  
7 Bird, which is in the Fox Lake Cree Nation. They  
8 found no statistically significant differences  
9 between on- and off-system lakes.

10 Now, that said, many First Nation  
11 members still feel that taste and texture have  
12 changed. And that's a perception.

13 Under the key conclusions and findings  
14 in respect to *Triaenophorus crassus*, the rates of  
15 infestation of lake whitefish, we do see increased  
16 rates in several water bodies -- for example,  
17 Southern Indian Lake, which came about after the  
18 hydroelectric development -- but not in others.  
19 Wuskwatim Lake is one where we did not see an  
20 increase in *T. crassus* levels.

21 Pathways of effect vary between water  
22 bodies, but include changes to the abundance or  
23 distribution of any of the three hosts for the  
24 parasite.

25 Importance to communities.



1 Palatability affects domestic consumption.  
2 Resource users will shift harvesting to unaffected  
3 lakes.

4 In terms of T. crassus, it affects the  
5 marketability of whitefish, that I alluded to  
6 earlier, and the viability of commercial  
7 fisheries.

8 And that's all I have; short one. So  
9 I will take any questions you might have.

10 MS. ZACHARIAS: Thank you.

11 Okay, we probably just need about five  
12 minutes to set lunch up. I think we'll set it up  
13 somewhere in the room here, and then we will take  
14 a 30-minute break, so we'll come back for 1:00  
15 p.m.

16 (LUNCH RECESS TAKEN)

17 MS. ZACHARIAS: Okay, I think we will  
18 get started again. Next up we are going to have  
19 Cam Barth, from North/South, to speak about lake  
20 sturgeons.

21 MR. BARTH: Thanks, Allison. As  
22 Allison said, my name is Cam Barth, with  
23 North/South Consultants, and I'll be discussing  
24 the lake sturgeon component of the RCEA.

25 Please don't be confused by the

1 walleye picture. Okay. Thanks a lot.

2 To reiterate, my name is Cam Barth,  
3 from North/South Consultants, discussing lake  
4 sturgeon, one of the RCEA.

5 Just to refresh everybody's memory,  
6 the purpose here was to evaluate and assess how  
7 populations have changed over time relative to the  
8 cumulative effects of hydroelectric development in  
9 the Nelson, Burntwood, and Churchill Rivers. So  
10 our approach here, we selected three indicators:  
11 Abundance, growth, condition factor of lake  
12 sturgeon, to quantify change over time.

13 What did we do? We compiled both  
14 historic and contemporary data sets that were  
15 available, and this allowed a semi-quantitative  
16 assessment, based on the historical and  
17 contemporary data sets that we were able to find.

18 Over on limitations, well, most  
19 notably, data sets were not comparable. Sampling  
20 methods, sampling locations often precluded direct  
21 comparison data.

22 To exemplify this, I will put up an  
23 example. So aging adult lake sturgeon, 50, 60,  
24 70 years ago, biologists aged lake sturgeon, like  
25 older adult lake sturgeon. Since that time, our

1 knowledge and understanding of lake sturgeon has  
2 changed; we no longer age old lake sturgeon. We  
3 know that the ages that are derived from older  
4 fish are inaccurate, so we only age younger fish.  
5 So this in one way that our data sets were  
6 comparable.

7                   Secondly, the majority of the region  
8 of interest has little to no pre-Hydro data on  
9 lake sturgeon.

10                   Okay. We will start with Area 1, the  
11 upper Nelson River. Lake sturgeon were  
12 historically abundant in this area. Harvest  
13 records actually date back to 1832, with sales of  
14 isinglass to the Hudson Bay Company. Isinglass is  
15 a product made from the swim bladder of the lake  
16 sturgeon, and is used for a variety of purposes.

17                   Commercial fishery in this area for  
18 lake sturgeon actually began in 1902, and it  
19 lasted until 1992. During this time, it closed  
20 and reopened several times. Each time it  
21 reopened, harvest quantities were substantially  
22 less than the previous period, and this is  
23 indicative of overharvest. So every period they  
24 overharvested, closed the fishery, and when they  
25 opened it back up, there was less fish there.

1                   Domestic fishing was also documented  
2 during this time. Lake sturgeon numbers were low,  
3 prior to development of Kelsey and Jenpeg, based  
4 on the commercial production data.

5                   Today, populations do remain in  
6 Area 1. Stocking is helping recovery in some  
7 areas; for example, the Sea River Falls area,  
8 where stocking of small fish has lead to the  
9 establishment of a juvenile population.

10                  So what were the key conclusions and  
11 data gaps? Basically, it is impossible to assess  
12 the impact of Hydro on lake sturgeon in Area 1,  
13 given the lack of data and the confounding effects  
14 of harvest. So, lake sturgeon were basically  
15 decimated, due to harvest, before the dams were  
16 put in place.

17                  Presently there are not enough fish,  
18 not enough lake sturgeon out there to know how  
19 Hydro has is or is affecting their habitat. It is  
20 basically impossible to assess at some locations  
21 how Hydro has changed spawning habitat, for  
22 example, because today, there are no sturgeon that  
23 spawn there and use that habitat.

24                  So that brings us to Area 2, the lower  
25 Nelson River. Commercial harvest in this area is

1 thought to be much lower relative to Area 1.  
2 However, the abundance of lake sturgeon prior to  
3 the development of Kelsey, Kettle, Long Spruce,  
4 and Limestone is largely unknown.

5           However, since 1985, lake sturgeon  
6 there have received considerable study.  
7 Populations do remain in this area, but at low  
8 abundances, with the exception of downstream of  
9 the Limestone generating station, where one of the  
10 largest populations in Manitoba remains.

11           And for similar reasons as Area 1,  
12 impacts of hydroelectric development on lake  
13 sturgeon cannot be quantified.

14           Okay. Area 3. This was definitely  
15 the easiest area for lake sturgeon for this  
16 method, because this area, both historically and  
17 currently, is not known to support a lake sturgeon  
18 population. There was some data presented in the  
19 RCEA, but these were basically from upstream of  
20 SIL or upstream of Opachuanau. For these reasons,  
21 CRD likely did not affect lake sturgeon in  
22 Southern Indian Lake or other parts of Area 3, as  
23 they were either not present or existed at low  
24 abundance prior to hydroelectric development.

25           Area 4, which is Treaty River and

1 Little Missi. Based on limited information,  
2 abundance of lake sturgeon areas were thought to  
3 be low prior to CRD. After CRD, lake sturgeon are  
4 really only present in a short -- about ten-mile  
5 reach of the Churchill River proper, that includes  
6 the confluence of the Little Churchill River.

7 Similar to Areas 1 and 2, impacts of hydro  
8 development on lake sturgeon can not be quantified  
9 in this area.

10 Overall summary and data gaps. Hydro  
11 development significantly altered lake sturgeon  
12 habitat along both the Nelson and Churchill  
13 Rivers. However, how habitat alterations affected  
14 lake sturgeon populations is poorly understood,  
15 given that in most cases, lake sturgeon were  
16 nearly extirpated, or existed at very low  
17 abundances prior to the developments. How  
18 recovery of these populations is affected by Hydro  
19 also remains unknown.

20 There are several impacts of hydro  
21 development, including barriers to movement,  
22 entrainment of generating stations, water level  
23 fluctuations, changes to lake sturgeon spawning  
24 habitat, all caused by dams, would all affect lake  
25 sturgeon in these areas.

1                   However, the question remains: How  
2 was or how is the productive capacity of these  
3 rivers, how has it been affected by hydro  
4 development? We don't know, and that's an  
5 interesting question to ask.

6                   The last slide here is the importance  
7 of lake sturgeon to First Nations communities.  
8 There are several reasons why lake sturgeon are  
9 important to First Nations communities, first of  
10 all, from a cultural perspective. Also important,  
11 historical perspective, in terms of the commercial  
12 sale of sturgeon, and including isinglass, and it  
13 was an important economic activity back in the  
14 past. Today, sturgeon are still an important part  
15 of the domestic harvest activities. Sturgeon are  
16 still eaten, and considered a delicacy in many  
17 communities.

18                   With that, I will take any questions.

19                   MS. ZACHARIAS: Okay. Next up is  
20 Wolfgang Jansen, from North/South, and he is going  
21 to talk about fish community.

22                   MR. JANSEN: Good afternoon, everyone.

23                   I think the main reason why fish  
24 mercury was included in RCEA, was fish mercury  
25 represents the main pathway by which humans are

1 exposed to mercury. And mercury is a known  
2 neurotoxin, and as such, it has affected the  
3 fishing practices, fish consumption, and the  
4 associated social activities of many northern  
5 communities in the past 40 years.

6           What could we do to assess fish  
7 mercury? Actually a lot of institutions, or  
8 several institutions in Manitoba have been at the  
9 forefront of mercury research for many decades.  
10 We were quite fortunate to have a quite robust  
11 data base on fish mercury concentrations.

12           These came from several sources, so  
13 the first task was to compile it all into one data  
14 base. And since 1969, just in the region of  
15 interest, we have over 54,000 records on mercury  
16 concentrations in fish, mainly from 23 species and  
17 from more than 200 water bodies. This was pared  
18 down to 24 focal water bodies in the four areas.  
19 That included on-system and off-system reference  
20 water bodies. As almost 80 per cent of all of the  
21 data were collected for lake whitefish, walleye  
22 and northern pike, these became our focal species.  
23 We then proceeded to do some quantitative  
24 assessment.

25           It is well known that mercury



1 concentrations is correlated with fish lengths:  
2 The larger fish have the higher the mercury  
3 concentration. So it was -- one method of dealing  
4 with that problem for statistical analyses was to  
5 use what is called standard lengths. For example,  
6 pike, of 550 millimetres, use that standard  
7 length, and mercury concentrations with a length  
8 standardized to that fish length.

9           Each species has a specific standard  
10 length, so that will produce less bias when  
11 comparing fish mercury concentration means over  
12 time, or between water bodies. Because otherwise,  
13 also because of the heterogeneity of the data, the  
14 early data were merely from commercial catches,  
15 which tend to have a preponderance of large fish,  
16 and the more recent catch have a more even length  
17 distribution of fish. So to be able to make  
18 comparison between historic and more current data,  
19 it was necessary to do this.

20           In addition to temporal and spatial  
21 comparisons over time and between water bodies, we  
22 also compared mercury concentrations to the only  
23 available benchmark, which is the Health Canada  
24 standard of .5 PPM for retail fish. And that's  
25 important; it only pertains to commercial fish

1 that are sold in Canada, off the shelf. It  
2 doesn't pertain to fish that are used for domestic  
3 harvest purposes.

4           Okay. Limitations -- and I will  
5 preface this by saying that the main findings  
6 regarding the effect of hydroelectric development  
7 on fish mercury concentrations are very well  
8 established, not just from Manitoba but from other  
9 Canadian locations, particularly in Quebec, and  
10 they remain unaffected by the existing data gaps.  
11 The data gaps that the previous speakers have  
12 alluded to are mainly concern, the lack -- the  
13 paucity and the nature of the pre-development  
14 data.

15           For most water bodies, the sampling  
16 frequency is insufficient, and in the early years  
17 it was quite often every three years, or at larger  
18 intervals, and the fish sampling size -- by that I  
19 mean how many fish were collected and analyzed for  
20 mercury to feed into a particular sample, yearly  
21 sample -- they are often too low to reconstruct  
22 the timeline of mercury concentration that  
23 includes the onset and the duration of maximum  
24 mercury concentrations.

25           What that means, I will explain using

1 the next slide.

2 I won't go into the different areas.

3 I won't present data for individual lakes. We are  
4 fortunate that the pattern of the rise and fall of  
5 mercury, due to flooding in reservoirs or lakes in  
6 the CRD sequence, is well established; it follows  
7 a very predictable pattern. The only differences  
8 are mainly the level of increase, the maximum  
9 mercury concentrations, and the duration, how long  
10 high mercury concentrations persist in the system.  
11 And by "high," I mean concentrations that are  
12 higher than -- if we have pre-project data or  
13 otherwise, we compare them to reference lakes that  
14 hopefully will represent a long-term average  
15 concentration in the region.

16 So this graph will be shown on the  
17 next couple of slides. What is shown here, the  
18 muscle mercury concentration -- and I should  
19 mention, muscle represents a long-term storage  
20 tissue for mercury in fish. Other tissues were  
21 analyzed, but our focus was on muscle  
22 concentration, which also is a part of the fish  
23 consumed by humans.

24 Over time -- so this is a generalized  
25 timeline of changes in fish mercury

1 concentrations, not from any particular lake, but  
2 sort of a summary, how things went for most water  
3 bodies, or for all water bodies that we have  
4 sufficient data to come up with some timelines.

5           So what is difficult is the pre-data,  
6 if you have some more, you can extrapolate from  
7 lakes, even from other systems that have data.  
8 And as soon as flooding starts, within one or two  
9 years for those larger-bodied fish that we looked  
10 at, mercury levels start to rise quite  
11 dramatically, to reach a maximum concentration.  
12 Then they decline fast first, and then more slowly  
13 later. And this time period of decline can be  
14 between 10 or larger than 30 years, depending on  
15 the particular lake and the species that we look  
16 at.

17           And this pattern here, the increase,  
18 as you see, up to 2 PPM, this is typical for  
19 predatory fish or piscivorous fish, fish that feed  
20 on other fish. We have other species of fish in  
21 our system, so when you are lower on the trophic  
22 level, meaning lower on the food chain, these P  
23 concentrations will be quite a bit lower, but the  
24 general pattern of increase and decline would  
25 still be the same, just at a lower level. This

1 graph is typical for pike, walleye sauger, some of  
2 the more important commercial fishes, as well, in  
3 Manitoba.

4           To go into a little bit more detail,  
5 what we found -- and I've mentioned it already --  
6 the piscivorous fish here, some even reach maximum  
7 levels above 2 PPM, but 1.8, shown here, is the  
8 average over many lakes.

9           Maxima of other species, particularly  
10 whitefish, did not exceed .6, and for whitefish  
11 .3 PPM, so you have a fairly flat curve, with a  
12 slight increase here and a long time of recovery.  
13 But these maxima here, indicated for pike, sauger,  
14 and walleye, represent an increase over  
15 pre-project levels of between 1.4 to 8.7 times  
16 those baseline levels.

17           These maxima, as I mentioned, were  
18 usually reached within three to nine years post  
19 flooding; usually a little bit longer in the  
20 predatory species, a little bit shorter in  
21 whitefish and other omnivorous species, fish that  
22 feed on a variety of sources, mainly benthic  
23 invertebrates.

24           And the mean, jumping into more recent  
25 data, the mean for 2002 to 2014 were mainly below

1 the .5 PPM standard for Health Canada, but they  
2 were still generally higher than in off-system  
3 lakes.

4           Okay. We were just going -- one  
5 step -- I deliberately put here this little  
6 increase, and this also reflects post -- these  
7 40 years sort of takes you to 2005, if you take  
8 1970 as starting point. And that reflects things  
9 that actually happened in real lakes.

10           Now, the next slide will show data  
11 from real lakes, focusing on the time period from  
12 1998 to 2015, and those are some of the newer  
13 findings that I found quite interesting. We heard  
14 from Brian and from several other speakers that --  
15 the increase in flows and water levels in most of  
16 the lakes in the region of interest, and that's  
17 also reflected in the fish mercury data.

18           What you can see here is that the tail  
19 end of that decrease, quite well exemplified by  
20 the data for Split Lake, but in all four of those  
21 lakes -- and there are several other examples I  
22 could use, but those are some of the best data,  
23 and they're from different areas. I wanted to  
24 represent different areas as well.

25           You can see around 2005, we hit a

1 minimum; and after that, when the higher water  
2 levels were reached in 2005, we would see quite a  
3 substantial increase, in some cases -- above .5  
4 for Threepoint Lake, however it's not as constant,  
5 but it's a bit of up and down, but there are at  
6 least nine, ten lakes which quite clearly show  
7 that fish mercury levels have increased over the  
8 last 12 years now.

9           And this corresponds quite well with  
10 what we know about environmental mercury, the  
11 sources of methyl mercury -- and I should mention  
12 that we use total mercury as our metric, but we  
13 know that methyl mercury is actually the newer  
14 toxin that's important from a human health  
15 standpoint. But in fish, larger-bodied fish that  
16 we talk about here, between 80 and 95 per cent of  
17 total mercury is represented by methyl mercury.  
18 So we use total mercury as a source for methyl  
19 mercury.

20           So what I'm showing here in some  
21 detail is the hydrographs for Split Lake, water  
22 level from the years 2002 to 2005. As we all know  
23 by now, 2005 was a very high-water year, and what  
24 is shown here are the long-term minimum water  
25 levels, the long-term maximum water levels, and

1 the water levels during a particular year.

2           So the hydrograph of 2004 would be  
3 that red line here, and you can compare it to the  
4 maximum and to the minimum values that were ever  
5 recorded over the period from 1954 to 2014.

6           For fish mercury concentrations, it is  
7 important to note it's not only this high-water  
8 year, 2005, but also -- and Brian mentioned the  
9 drought year, 2003, which is sampled here for  
10 Split Lake as well. But there are several years,  
11 2002, '03, and '04, of water levels during the  
12 summer, and that's important too, because  
13 methylation happens during the summer months, when  
14 temperatures are at least at 15 degrees or higher;  
15 preferably around 25.

16           So water levels were 1.5 to 2 metres  
17 lower in those years than 2005. So what most  
18 likely happened was that shoreline area that  
19 hadn't been exposed to water for several years  
20 became flooded, inundated, in 2005, and the  
21 process of methylation set in. And just like  
22 flooding a reservoir, on a smaller scale, this  
23 inundation of shoreline areas resulted in  
24 environmental methylation and availability of  
25 methyl mercury to the fish. And that's why I



1 think we have seen these increases in mercury over  
2 the last 10, 15 years.

3           Okay. The last point is the  
4 importance to communities of fish mercury. As a  
5 result -- in the early years, and we were talking  
6 about the very first reports of elevated mercury  
7 that came out in 1969 from Saskatchewan. And the  
8 province really reacted incredibly fast. They put  
9 up a lab within three months, analyzed 10,000  
10 samples, and concluded, yes, we have a problem in  
11 some of the lakes. And Lake Winnipeg, Sipiwesk --  
12 a number of lakes were closed for fishing, which  
13 meant that fish were no longer accepted by the  
14 Freshwater Fish Marketing Board for marketing.

15           So there were about 15 lakes  
16 altogether where at least some fish -- and the  
17 exact criteria are not known, why fishing closures  
18 happen, but I think the government was under quite  
19 some pressure to make sure that the health of  
20 consumers was protected. So even if 20 per cent  
21 of the fish were above .5, the fishery was closed  
22 for a number of years.

23           There also was pressure to open the  
24 fishery again, of course, because fishermen were  
25 put out of work. But what was important for

1 northern indigenous community, that mercury --  
2 which was translated as "metal poison"; there was  
3 no word in their language, really, to describe it.  
4 And on top of it, they heard the message, "Don't  
5 eat fish." And there were consumption advisories  
6 posted at many lakes.

7                   So these people were partially  
8 confused. They didn't really know what was  
9 happening. Mercury is not something that you can  
10 see; obviously, the fish still looked good to them  
11 to eat, but they were advised not to eat them.

12                   So even today, this is -- part of this  
13 dilemma still exists in today's First Nations  
14 community, and they have reduced their consumption  
15 of fish, and they are still expressing anxiety  
16 about eating fish from many water bodies, and this  
17 has contributed to a change in diet that is  
18 certainly not contributing to increased health in  
19 those communities. Okay.

20                   Yes.

21                   MR. DAVIES: I might have missed it on  
22 Slide Number 7. One more back.

23                   Just to be clear that -- we are  
24 talking about the rates in recent years that has  
25 happened on both on-system and off-system lakes?

1 MR. JANSEN: Oh, I am sorry. Yes.

2 MR. DAVIES: The bullet -- third  
3 bullet.

4 I'm just saying that there was a third  
5 bullet that was missed, and the third bullet says  
6 that the increases in mercury that were  
7 experienced in 2005 occurred both on-system and  
8 off-system, because the process is the same, of  
9 reflooding land that had been dried out in the  
10 past. But we missed that bullet.

11 MR. JANSEN: It is pertaining to data  
12 that has been published in the literature. It is  
13 a bit unfortunate that we have two reference lakes  
14 that we compare data from on system, but  
15 unfortunately, over the time period between 2002  
16 and 2007, the sequence of data is quite sparse.  
17 So we can't really compare it to off-system lakes  
18 in the region of interest.

19 But we know from the literature, this  
20 is not a phenomenon that only pertains to lakes  
21 that are affected by hydroelectric development.  
22 Even rivers that have experienced drought periods  
23 then have high flows years later, have seen the  
24 same pattern, and it corresponds completely to  
25 what we know about the biogeochemistry of mercury.

1                   So Stuart is quite right in pointing  
2     out that this is not a phenomenon specific to the  
3     region of interest. It has been observed all over  
4     North America, and some places Europe. And we  
5     are -- through CAMP, we are building now the top  
6     of it, I think; we are monitoring the situation  
7     quite well. And there are some studies being done  
8     that address the mechanism, the underlying  
9     mechanisms in more detail as well. Manitoba Hydro  
10    has funded those studies.

11                   MS. ZACHARIAS: Now we are going to  
12    shift to seals and belugas, and Chandra Chambers  
13    will present that.

14                   MS. CHAMBERS: Thank you. I am a  
15    little short, so please let me know if you can't  
16    hear me.

17                   Okay, so I'm just going to jump right  
18    in here.

19                   The sources of data relevant to seals  
20    and belugas in the ROI --

21                   MS. JOHNSON: I can't hear you.

22                   MS. CHAMBERS: All right.

23                   The sources of data relevant to seals  
24    and belugas include existing information such as  
25    population data, commercial harvesting data, or

1 traditional knowledge, as well as data collected  
2 during project-related aerial, land, and  
3 boat-based surveys, and interviews with local  
4 residents, as well as with tourism or tour  
5 operators in Churchill.

6           In addition to the lack of pre-project  
7 data, inconsistent sampling methods precluded a  
8 determination of impacts to marine mammals.  
9 Multiple task base of effects, both past and  
10 present, further complicated this task of  
11 separating out hydroelectric effects on both  
12 groups. As a result, potential effects were  
13 identified and assessed based on available  
14 information.

15           Potential effects of regulations on  
16 seals in Area 2 primarily relate to the  
17 displacement of haul-out sites along the lower  
18 Nelson River in response to increased discharge  
19 and flow. However, the occurrence and magnitude  
20 of any impacts are unknown.

21           While it is not possible to determine  
22 whether or not LWR- or CRD-related changes have  
23 affected beluga distribution in the estuary, or  
24 that of its prey, it is important to note that  
25 estuaries are not considered to be an important

1 foraging habitat for beluga, and that the Hudson  
2 Bay population has remained stable.

3           Potential CRD-related impacts to seals  
4 in Area 4 include possible increase in available  
5 haul-out sites along the Lower Churchill River as  
6 a result of declining water levels and flows.  
7 Despite the minor displacement of seal haul-out  
8 sites along the Lower Churchill River, no  
9 noticeable changes in seals have been reported as  
10 a result of the weir.

11           The effects of regulation on beluga  
12 use of the Churchill estuary are unknown.  
13 However, abundance does not appear to have been  
14 affected.

15           Monitoring studies conducted by  
16 Manitoba Hydro, including those based on  
17 residents' concerns, found no noticeable  
18 difference in pre- and post-weir beluga  
19 distribution or abundance in the estuary.  
20 However, one tour operator did express concern  
21 about weir operation and its effect on beluga use  
22 of the upper estuary near Mosquito Point.

23           No new findings were reported for  
24 seals and belugas, as no additional information  
25 could be found for those groups.

1                   While domestic harvest of seals and  
2 belugas are minimal in both Areas 2 and 4, belugas  
3 are important to the tourism industry out of  
4 Churchill. Although beluga-based tourism could  
5 potentially be affected by changes in beluga use  
6 in the estuary, these activities do not appear to  
7 have been affected by hydroelectric development.

8                   Thank you.

9                   MS. ZACHARIAS: Okay. Next we are  
10 going to move to land, and we are going to have  
11 James Ehnes come up and give us an introduction to  
12 the land section, and then terrestrial habitat and  
13 intactness.

14                  MR. EHNES: I'm going to start off  
15 with the introduction to the land portion of the  
16 RCEA. And to start off, an ecosystem-based  
17 approach is taken to the land assessment, as there  
18 was with the aquatic, but I just want to highlight  
19 some elements that are specific to the land  
20 assessment.

21                  One element of the ecosystem-based  
22 approach was to look at regional ecosystem health,  
23 and how cumulative impacts from hydroelectric and  
24 other developments in the region of interest have  
25 affected the regional study components.

1                   And we are looking at the combined  
2 effects of all development, because it is often  
3 very difficult to separate out hydroelectric  
4 development from other impacts.

5                   So we are looking at regional  
6 ecosystems. The region of interest was subdivided  
7 into 17 ecological regions. These are areas that  
8 are roughly similar in terms of their climate,  
9 surface material, wildfire regimes, things that  
10 are important for ecosystems.

11                  And the way that these regions were  
12 delineated were based on those factors, and the  
13 size of the areas was giving consideration to how  
14 large of an area was needed to maintain the  
15 characteristic species, and the biodiversity, and  
16 the ecological processes.

17                  So what I mean by that is -- let's say  
18 you harvest 1, 2, 10, 15 moose, or you flood  
19 10 square kilometres of land; is the moose  
20 population going to disappear? Have you seriously  
21 affected biodiversity in an area?

22                  The only way you know that is by  
23 looking at the moose population. Is that  
24 population still able to sustain itself over time?  
25 And over time, habitat changes in the boreal,



1 because there are wildfires; so what is new moose  
2 habitat is constantly shifting from one place to  
3 another.

4 So the size of these terrestrial  
5 regions were based on looking at the  
6 characteristic processes in these boreal ecozones,  
7 and then also the species there.

8 The regional study components for the  
9 land RCEA were terrestrial habitat, intactness,  
10 birds, furbearers, caribou, moose, and polar bear.  
11 And some of these RSCs were also subdivided into  
12 other subcomponents.

13 Another element of the ecosystem-based  
14 approach was looking at pathways of effects. And  
15 this figure here, on the left side, we see the  
16 different kinds of hydroelectric development  
17 impacts; and then in the second column, the types  
18 of effects or impacts that each of those project  
19 types creates. And then we look at how they  
20 directly and indirectly affect the regional study  
21 components.

22 As I already mentioned, hydroelectric  
23 development is not the only thing out there that  
24 affects the regional study components. So on the  
25 right side of this figure we have some of the

1 other factors that are important to consider, and  
2 were considered.

3           So with that, I'll head into the first  
4 RSC, which is intactness. And intactness  
5 essentially means the degree to which a natural  
6 area hasn't been adversely affected by human  
7 infrastructure and other types of development  
8 activities.

9           The approach to assessing effects on  
10 intactness were to map the existing human  
11 infrastructure in the area. And that was  
12 essentially done from satellite imagery, air  
13 photos, and other types of remote sensing and data  
14 sources, such as topographic mapping.

15           I already mentioned that the region of  
16 interest was subdivided into terrestrial regions.  
17 And then we reported on how the human footprint  
18 changed over time. And using several indicators  
19 which are outlined in the report, the size of the  
20 human footprint, the length of linear features in  
21 the region of interest -- sorry, within each  
22 terrestrial region, and then, also, how many large  
23 intact blocks of habitat were still there, and  
24 what proportion of the region did they comprise.

25           In terms of major limitations, there

1 really were none at the regional level, for  
2 intactness, because these human footprints were  
3 fairly easy to map, even going back to  
4 pre-hydroelectric development period. As far as  
5 information coming from local people and  
6 Aboriginal sources, there was very little  
7 available relating to intactness effects.

8           The key conclusions and findings.  
9 Regional cumulative effects of hydroelectric and  
10 other development on intactness are low in the  
11 region of interest. Human infrastructure  
12 footprint is small, and this is out of 2013,  
13 comprising about 1.2 per cent of the land area in  
14 all 17 terrestrial regions.

15           Hydroelectric development contributed  
16 82 per cent of that human footprint, and much of  
17 that was from flooding.

18           Linear density is low, overall;  
19 0.08 kilometres of linear feature per square  
20 kilometre of area. And to put some context to  
21 that, our magnitude, or our range for  
22 low-magnitude effects for linear density is from  
23 zero to .4 kilometres of features per square  
24 kilometre. Core areas larger than 1,000 hectares  
25 still account for 99 per cent of the land area.

1                   Regional effects on intactness to date  
2    have been low, and that's basically for two  
3    reasons. The size of the human footprint itself  
4    is quite small, and then also subsequent features  
5    tended to be located near other features, so if  
6    you have a large natural area, you weren't putting  
7    a road or a transmission line straight through the  
8    middle of it.

9                   In terms of new findings, these are  
10   really more details, because of the mapping that  
11   was done. Cumulative effects on intactness are  
12   low in each of the 17 terrestrial regions, and  
13   that's not just looking overall. Total human  
14   infrastructure footprint range from 0.2 per cent  
15   to 3.8 per cent of regional land areas.

16                  Core area loss was highest in the  
17   south and central terrestrial regions, and the  
18   effects were much higher in localized areas, such  
19   as around generating stations.

20                  Some things that were noted regarding  
21   the importance to communities. There is a quote  
22   in a report from Fox Lake Cree Nation:

23                  "Specifically, our lands and waters  
24   should be whole and healthy, both of which are the  
25   prerequisites of a peaceful existence. This

1 concept of wholeness is expressed in one simple  
2 sentence, 'everything is connected.'"

3 And that is really the ecological  
4 perspective, and also the concept of intactness  
5 and reductions to intactness.

6 Hydroelectric development was seen to  
7 increase stresses on plant and animal populations,  
8 and possibly increasing resource harvesting by  
9 outsiders, because access was improved.

10 Although fragmentation in the region  
11 of interest is relatively low, the areas affected  
12 are generally those that were most extensively and  
13 are most extensively used by the resource  
14 harvesters.

15 That's it for the presentation on  
16 intactness. Any questions?

17 THE CHAIRMAN: Yeah, I would ask one  
18 about your linear -- the effect of the linear  
19 developments on intactness. I know you said,  
20 because the -- I assume you meant the Hydro  
21 lines -- tended to be close to other linear  
22 facilities, the impact was low. But if you took  
23 them together, would you still conclude that the  
24 impact was low?

25 MR. EHNES: Those numbers that are

1 being reported include hydroelectric transmission  
2 lines, roads. They include all types of linear  
3 features. They would even include winter roads.  
4 Often, the transmission lines, portions or  
5 segments of those routes would be next to or close  
6 to an existing road, and part of that is -- at  
7 least in recent projects -- a component of routing  
8 process.

9 THE CHAIRMAN: So when you conclude  
10 they are low, you are concluding that on the basis  
11 of the impact of the sum of those linear  
12 developments?

13 MR. EHNES: Yes. And even if you take  
14 all human linear developments combined, and look  
15 at them over the entire region, the effects are  
16 low at a regional perspective. But of course if  
17 you go into some local areas, you will have a  
18 concentration of transmission lines, roads, and  
19 other features.

20 MR. SOPUCK: Yeah. Given the  
21 terrestrial regions you have chosen, estimates of  
22 the impact on intactness almost automatically are  
23 low in each situation, given the size of the  
24 region in which you are comparing the impact. And  
25 you've had your reasons for selecting the zones

1 that you did.

2 But, you know, there is also a biased  
3 opinion, I would suggest, that these large systems  
4 have their own sort of uniqueness, if you will.

5 And I would be interested in seeing an analysis of  
6 intactness against something like hydraulic zones,  
7 which would tighten it more, to kind of provide an  
8 estimate of impact that's -- I would say a little  
9 more relevant than that larger route system.

10 MR. EHNES: Yes, I agree with your  
11 point about the large river systems being more  
12 highly affected and considerably affected. In the  
13 terrestrial habitat RCEA, we actually devote an  
14 entire subsection for each terrestrial region to  
15 local effects and effects on large river  
16 ecosystems.

17 So, like, to look at this in  
18 ecological perspective, we could have started off  
19 saying we'll take the entire region of interest as  
20 one large area. And because the northern  
21 two-thirds of it is almost all wilderness, except  
22 along the large rivers, the degrees of -- or the  
23 reductions to intactness would be variable, and  
24 our metrics -- and those would be the ones that  
25 are recorded in the first slide, when we look over

1 the entire region of interest -- were very low.

2           But you know, when you bring them down  
3 to the terrestrial region level, they still stay  
4 quite low in most of those terrestrial regions. I  
5 think the highest percentage of regional area in  
6 the most impacted region was 3.8 per cent.

7           But again, if you bring it down to a  
8 river corridor, it would be much higher than that  
9 for some portions of the river systems. But then,  
10 again, if we are looking at -- and I hope I'm not  
11 going to stretch myself out on a limb with the  
12 Wildlife guys over there -- but as an example,  
13 beaver: Maybe all of the beaver on the large  
14 river systems were affected, but looking at beaver  
15 populations, it likely -- and someone jump up if  
16 I'm getting this wrong -- beaver populations in  
17 general weren't affected, because the larger  
18 system is only a small portion of their habitat in  
19 the area.

20           No one is jumping up.

21           MR. DAVIES: I think you have a point.

22           One of the things that really hurt  
23 negotiations between the three parties, four  
24 parties, in the 1980s and early 1990s, was the  
25 fact that Manitoba Hydro would take a look at the



1 area and say, "We affected 2 per cent of this  
2 area, and we really don't think it is all that  
3 significant, because beaver populations are fine."

4 And of course First Nations are  
5 looking at it and saying, "Well, all of the beaver  
6 populations that we trap, along the river and  
7 along the inlets, are gone; they are finished."

8 So there is a real disconnect between  
9 the two of them, because the area that was being  
10 harvested was the area that was really impacted;  
11 and the area that wasn't harvested, beaver  
12 populations were fine, because they weren't  
13 harvested, and they weren't being affected by  
14 Manitoba Hydro.

15 And it took a long time before the  
16 parties sort of came together on that. And I  
17 think that's one of the reasons, when we looked at  
18 the terrestrial portion, that we looked at the  
19 area as a whole; then we looked at what we call  
20 the local. And those are the areas that were  
21 essentially being affected by Manitoba Hydro that  
22 were used most by the First Nations.

23 That's why that split was made,  
24 because it was less controversial during the '80s  
25 and early '90s.

1 MR. EHNES: Any other questions on  
2 intactness?

3 Okay. I will move on to the second  
4 regional study component, which was terrestrial  
5 habitat.

6 Terrestrial habitat is ecologically  
7 important. It is also an umbrella indicator of  
8 ecosystem health and components of the ecosystem  
9 that were not directly assessed by the RCEA. And  
10 also most of the wildlife RCEA assessments are  
11 largely based on terrestrial habitat changes,  
12 because there is limited population and other  
13 important data for the wildlife species.

14 The Regional Cumulative Effects  
15 Assessment for terrestrial habitat focused on  
16 ecosystem diversity, wetland function, and  
17 shoreline ecosystems, and generally evaluated the  
18 combined effects of hydroelectric and other types  
19 of development, since these often cannot be  
20 separated.

21 In terms of limitations on the  
22 results, there is little published Aboriginal  
23 traditional knowledge or local knowledge regarding  
24 effects on terrestrial habitat. There were  
25 numerous data limitations, given the enormous

1 overall RCEA mapping area. In order to provide  
2 habitat mapping for caribou and some of the  
3 wide-ranging wildlife species, habitat data sets  
4 were created for 585,000 square kilometres of  
5 area. Roughly 30,000 kilometres of shoreline was  
6 mapped, and that's the combined pre-hydroelectric  
7 development and the existing environment  
8 conditions.

9           Now, while these limitations do not  
10 affect the overall conclusions, they reduce what  
11 can be reported for specific regions.

12           The key conclusions or findings over  
13 all of the terrestrial regions, the cumulative  
14 effects of hydroelectric and other development on  
15 terrestrial habitat have been low for most  
16 indicators. About 1 per cent of all native  
17 habitat in the region of interest has been lost.

18           Regional effects are generally higher  
19 in the southern and the western portions of the  
20 region of interest, and the reasons for the low  
21 effects on total terrestrial habitat are the same  
22 as the ones that I mentioned for intactness.  
23 Essentially, it is a very small human footprint to  
24 date. And of course, in localized areas, the  
25 effects are much higher.

1                   Another key conclusion is  
2 hydroelectric development dramatically altered  
3 large river shoreline ecosystems, and those  
4 effects are ongoing in many areas.

5                   In terms of a bit more detail on that,  
6 compared to what was there before Hydro, native  
7 habitat loss ranged from .02 per cent to  
8 3.6 per cent of total historical habitat in each  
9 of the regions, so that's the range of habitat  
10 loss. And the hydroelectric development  
11 contribution to that loss ranged from none up to  
12 99 per cent, depending on which region we are  
13 talking about.

14                   Several habitat types had  
15 high-magnitude effects, or were completely lost,  
16 and this was due to the effects on the large river  
17 systems, so these are habitat types that you  
18 typically find along large rivers.

19                   Effects were dramatic on three large  
20 river ecosystems, and that would be three of the  
21 four that flow through the region of interest.  
22 Some of those changes were highly altered bank and  
23 beach characteristics; much less marsh and  
24 riparian peatland; wide bands of tall shrub were  
25 less frequent, or are less frequent; shoreline

1 debris became widespread and heavy in places. And  
2 these effects, again, varied considerably by reach  
3 and by river.

4           Some things are noted about importance  
5 to communities in this section of the report.  
6 Hydroelectric development effects were much higher  
7 in some local areas than regionally, and this is  
8 particularly for the larger river systems, and  
9 this also varies within a large river system.

10           There is a strong sense of dislocation  
11 and disorientation, as areas that had been well  
12 known to local people became unrecognizable. And  
13 the dramatic changes in the shoreline conditions  
14 and flooding were contributors to that. And  
15 resource harvesting areas became lost, or have  
16 been lost.

17           And that's it for terrestrial habitat.  
18 Any questions?

19           MR. SOPUCK: All I've been doing is  
20 throwing out negatives, so I want to start with a  
21 positive here.

22           An amazing amount of habitat mapping  
23 seems to have been done under this project, the  
24 terrestrial habitat mapping. I was blown away by  
25 the amount of work you did.

1                   In the summary section of this  
2 document, you have estimates of the direct and  
3 indirect habitat loss. And since you only -- you  
4 had a limited area in which you analyzed, I'm  
5 assuming that's an extrapolation? Or is that what  
6 you actually measured for the areas that you  
7 examined?

8                   MR. EHNES: It would depend on which  
9 metric. Some of the metrics would be based on  
10 assumptions about zone indirect effects, based on  
11 studies conducted in the region of interest. In  
12 other cases -- I would have to look at the  
13 specific detail there, but in terms of, let's say,  
14 indirect effects of flooding on terrestrial  
15 habitat, that was based on taking the direct  
16 amount of habitat loss or alteration, and then  
17 applying a buffer to that of -- I think it was  
18 about 50 metres. So anything that was affected by  
19 hydroelectric development was buffered by  
20 50 metres. And studies that have been done in a  
21 number of those regions have shown those indirect  
22 effects typically are closer to 15 metres on  
23 average, so that large buffer was used to estimate  
24 the total area of indirect effects on terrestrial  
25 habitat.

1                   MR. SOPUCK:  If there is no -- I have  
2  one other question.

3                   MR. EHNES:  Okay.

4                   MR. SOPUCK:  I noticed that some of  
5  the areas -- I was quite struck by some of the  
6  areas that did not seem to have data, post.  The  
7  northern two-thirds of Southern Indian Lake, or  
8  South Indian Lake, and Notigi Lake, it looks like  
9  they weren't analyzed.  And those are pretty  
10 significant areas, where there were very  
11 significant impacts on terrestrial habitat.

12                  MR. EHNES:  Yeah.  I think most of  
13 Southern Indian Lake -- for example, the  
14 shoreline, was -- the pre-hydroelectric shoreline  
15 was mapped, based on historical air photos, but we  
16 didn't have any high-resolution satellite imagery,  
17 or other type of imagery for any recent period,  
18 and that's largely because it is outside of the  
19 commercial forest zone, or the areas that were  
20 evaluated for recent project environmental  
21 assessments

22                  So we just had no data to do the  
23 mapping.  And for some areas, we just -- given the  
24 time we had for the RCEA, there was just a limit  
25 to how much mapping we could do.  And the areas

1 that were done were often -- criteria for dropping  
2 an area often was, do we have both pre-Hydro and  
3 existing environmental data, so we can actually  
4 quantitatively talk about historical change?

5 And on your previous question, I could  
6 answer in more detail, but it would vary by  
7 component, and I would have to go back into the  
8 reports and refresh my memory.

9 MR. SOPUCK: Thank you.

10 MR. EHNES: Any other questions?

11 MS. ZACHARIAS: Thank you, Mr. Ehnes.

12 We are going to have Rob Berger, from  
13 Wildlife Resource Consulting Services, come up and  
14 talk about some of our wildlife regional study  
15 components.

16 MR. BERGER: Can everybody hear me  
17 okay? As Allison said, my name is Robert Berger;  
18 I am with Wildlife Resources Consulting Service.  
19 Good afternoon.

20 My compatriot, Doug Schindler, and I  
21 will be tag-teaming the wildlife portion of this  
22 presentation. And the order in which we will go  
23 through it, we will start off with waterfowl, with  
24 the other components to follow, will include  
25 caribou, moose, beaver, and then there is two of



1 the RSCs which we are not going to speak about  
2 very much, and they would include polar bear and  
3 colonial waterbirds. But if there are any  
4 questions regarding the latter two, we would be  
5 happy to answer those as well.

6           So for the approach and limitations  
7 for waterfowl, we were really focused on the  
8 regional and local changes, as James described in  
9 his presentation. And we've really focused on the  
10 amount and distribution of habitat, because quite  
11 often, when we are studying wildlife populations,  
12 we may not have access to really good wildlife  
13 numbers. Unlike the Fisheries folks, of course;  
14 they real always have really good data. And our  
15 approach was also to look at that on-system,  
16 versus the regional effects that could be  
17 identified for this RSC.

18           Now, some of the limitations for  
19 waterfowl were that population data were not  
20 available at the local scale. However, at the  
21 regional scale -- for example, Canadian Wildlife  
22 Service and the U.S. Fish and Wildlife Service  
23 often does strata-based survey. So there's  
24 phenomenal regional population data, going back to  
25 the 1950s for waterfowl; but to translate that, or

1 transcribe that down to the local level is  
2 actually quite difficult, because the aerial  
3 surveys that were conducted weren't actually built  
4 for local effects. There was very few published  
5 ATK or local knowledge reports in some of the  
6 areas, and there was very little information on  
7 waterfowl in general before hydroelectric  
8 development.

9           There were some difficulties in  
10 consistently mapping waterfowl habitat. And  
11 finally, some monitoring data from nature projects  
12 is not available. So, for example, we are  
13 monitoring the effects from the recently completed  
14 Wuskwatim generation station. And there is some  
15 interim data that we managed to use to understand  
16 potential effects from hydroelectric development  
17 from that, as well as the ongoing construction of  
18 the Keeyask generation project.

19           We were also privy to information on  
20 the various transmission line projects throughout  
21 Northern Manitoba in the region of interest.

22           For some of the key conclusions and  
23 findings, the bottom line is that the overall  
24 impact on waterfowl populations is low to  
25 moderate, and it just gets into the low end of the

1 moderate magnitude scale. But certainly one of  
2 the take-homes to really remember concerning  
3 waterfowl is that local waterfowl populations were  
4 certainly affected, and that we particularly got  
5 that from the few First Nations and Metis reports  
6 that we were able to review. So there were  
7 certainly localized effects.

8           And we could also quantify some of  
9 those localized effects, based on some of the  
10 wonderful habitat information that James described  
11 for me. There was information on shoreline  
12 quality, marshes, et cetera.

13           Another thing that was a key finding  
14 is that many of the regulated rivers in the North  
15 were important staging areas, but they weren't  
16 necessarily good breeding habitat and  
17 brood-rearing areas, so that's something to keep  
18 in mind, from a larger scale.

19           And then finally, the amount of  
20 regional habitat in the overall region of interest  
21 declined about 2 per cent.

22           I'm not sure if they are exactly new  
23 findings or not, but some of these are.

24           Effects on waterfowl habitat have been  
25 largely described in previous ATK. For the most

1 part, the broader waterfowl populations also  
2 matter which species you may consider appear to be  
3 stable, and quite often a lot of populations have  
4 been increasing in trends over time. You may have  
5 noticed more Canada geese in your backyard lately;  
6 well, that same trend is going on in Northern  
7 environments. But there are some species in  
8 decline, like scaup, which have been declining in  
9 Northern environments where they predominantly  
10 breed.

11           As I mentioned before, there has been  
12 a shift in habitat use by local waterfowl  
13 populations, and that shift may be away from  
14 hydroelectric developments, where there were  
15 decreased habitat, such as marshes, which the  
16 water regulation affected; but there certainly is  
17 much waterfowl in the back bays and in the back  
18 country, in landlocked areas that waterfowl use.

19           Reduced water-level variation  
20 continued erosion, and reversed seasonal flows  
21 reduce that potential for marsh habitat  
22 revegetation. What is going on in the longer term  
23 is that waterfowl which may have traditionally  
24 used these larger river systems can no longer find  
25 some of these more sheltered areas. But it also

1 depends on the water regulation, and how much  
2 water is in fact coming down the system that year.  
3 So there is some seasonal variation that can go on  
4 there in addition to what the water regulation  
5 entails.

6                   And over time, there are some areas,  
7 such as North Indian Lake on the dewatered  
8 Churchill River, that actually have become better  
9 waterfowl habitat. Fiddler Lake, Dillard Lake  
10 areas, especially for moose, in addition to  
11 waterfowl, have become better, but this is not  
12 maybe the norm. For the most part, there has been  
13 a decrease in waterfowl habitat quality.

14                   How does this connect in importance to  
15 the communities? Reduced habitat has caused a  
16 shift in some of those local populations of  
17 waterfowl that are being harvested. For example,  
18 in Southern Indian Lake, the harvest  
19 opportunities -- it used to be a really good  
20 migration staging area, where people who would go  
21 out and harvest at the time, and sometimes  
22 subsistence harvesting consisted of more than just  
23 going out to waterfowl hunt; they may be fishing  
24 at the same time, or possibly moose hunting. They  
25 weren't seeing birds as much any more and were

1 harder to take.

2                   And this has been a common theme in  
3 some of the Northern communities, where the birds  
4 appear to be tending to fly over, and not staging  
5 in a way which was historically documented by  
6 First Nations.

7                   Overall, however, the regional  
8 waterfowl populations do appear to be stable in  
9 Northern Manitoba, as a broader concept,  
10 population-wise.

11                   So with that, I'm open to questions.

12                   How about moose? Maybe there will be  
13 some moose questions.

14                   Moose is a hot topic in Manitoba. And  
15 certainly a lot of good work has been done in  
16 Manitoba on moose, and as a general concept, I'm  
17 sure that most of you are aware that moose are in  
18 trouble, in big trouble, in the province of  
19 Manitoba.

20                   One thing that I'm going to talk about  
21 here, in our region of interest, is a little bit  
22 further north, and they give you an added  
23 perspective, because really it is the southern and  
24 maybe the central moose population that are most  
25 in trouble, but our northern moose populations are

1 doing a little bit better. So I'm just going to  
2 provide that comment from the get-go.

3           So the approach for moose is that we  
4 used five different indicators that were assessed,  
5 and the dominant one, again, as James presented,  
6 is habitat. But we did look at population size  
7 and fragmentation, disturbance, and disease and  
8 parasites. So we had different indicators and  
9 metrics that we did measure for this assessment.

10           And we also looked at it, at those two  
11 different scales; we looked at that on-system,  
12 close to how hydrologic water regime has been  
13 affected, and we looked at off-system effects as  
14 well.

15           Now, limitations for this assessment  
16 weren't overly onerous. There were some  
17 limitations in Northern Manitoba, in game hunting  
18 areas 1, 2, and 3, which literally were never  
19 assessed by Manitoba Conservation. Their moose  
20 populations are generally quite low, and there is  
21 not a lot of effort in looking at those moose  
22 populations.

23           And there is limited quantitative  
24 information on moose harvest itself, and it is  
25 more limited towards recent years, as opposed to

1 the historic records that can truly quantitate  
2 what that harvest was. And in addition to that,  
3 there were a few published ATK or local knowledge  
4 reports.

5           Now, when I say that the moose  
6 populations in the region of interest are  
7 generally stable, unfortunately I don't have a map  
8 to go back to, but if you remember what that  
9 region of interest is, starting with boreal plains  
10 towards the central southwest, and moving on up to  
11 the northeast, to Churchill, those particular  
12 populations, and overall in the region of  
13 interest, are more or less stable.

14           Now, when you think of the ones in the  
15 south, there have been, certainly, recent declines  
16 in some of the southern game hunting areas and the  
17 central game hunting areas for moose. But if we  
18 look at -- oh, the Split Lake resource management  
19 area, as a whole, which I have been looking at for  
20 the past 17 years or so, the information that we  
21 have over a broader area, starting with Elliot's  
22 work in 1993, where they estimated about 1.600  
23 moose, and where we have done surveys in 2010 and  
24 again in 2015, that particular moose population,  
25 about the size of Switzerland, if you think about



1 that size, is stable to increasing. And in fact,  
2 as hydroelectric development has occurred recently  
3 at Keeyask, in the last five years, that moose  
4 population has increased significantly.

5           So there are differences in Manitoba.  
6 There are glimmers of hope, but the overall  
7 message is, I think we'd better carefully watch  
8 and monitor moose, because there is different  
9 things going on in that population.

10           Overall, in the region of interest,  
11 only 1 per cent of the moose habitat has been  
12 lost, and that's mainly because of hydroelectric  
13 development. But it is quite small overall,  
14 compared to what -- it's a low-level, moderate,  
15 low-level magnitude effect on habitat change.

16           Disease, harvest, and predation,  
17 certainly in southern and central Manitoba, are  
18 being considered as dominant drivers, and they  
19 contribute to the population changes in moose.

20           But one of the things that we truly  
21 have to remember for our region of interest and  
22 the hydroelectric development is that shoreline  
23 habitats have changed in the large river systems,  
24 and that has reduced moose habitat, and there are  
25 things such as debris loading, and other things at

1 the local scale, along shorelines that are  
2 affecting those local moose populations.

3           Some new findings. Well, on-system  
4 habitat changes -- "revised" may be the wrong  
5 word, but the on-system habitat changes for the  
6 Rat, Burntwood, Nelson River, James mentioned a  
7 couple of things with respect to habitat. So the  
8 tall shrub band has been reduced, or there has  
9 been a change in distribution, which is a prime  
10 moose food.

11           Not everywhere; as a matter of fact, I  
12 believe it was the Cross Lake area where the  
13 report suggests that moose -- the tall shrub layer  
14 is so bad and so thick that the harvesters who  
15 would prefer to harvest along the shorelines  
16 either can't see the moose or have a really  
17 difficult time getting to the moose, because of  
18 that dense shrub layer.

19           So there are pockets of suitable  
20 habitat, but the consequence of that is harvesting  
21 is being affected. But in most cases, the  
22 shorelines and the tall bands of shrubs have been  
23 reduced, so those areas have had reduced food for  
24 moose.

25           In addition, of course, moose love

1 marsh plants, so all of that aquatic resources and  
2 minerals they need have been reduced for major  
3 rivers, so there has been an effect there.

4           In the southern areas in particular,  
5 one of the key things to remember for moose is  
6 that fire suppression and access are very  
7 important influences, because harvest pressure is  
8 certainly a very substantive concern for moose and  
9 moose populations.

10           Finally, for importance to  
11 communities, the overall message that we have for  
12 RCEA is that the northern moose population is  
13 mainly okay. But we have to watch them carefully,  
14 especially as we look at different terrestrial  
15 regions, and as we go from south to north, because  
16 there are differences.

17           The shorelines and -- of course I  
18 tried to find a good picture that in some cases  
19 may exaggerate the debris loading along some of  
20 the shorelines, but as James would have mapped  
21 some of these shorelines for moose, you can't  
22 imagine a moose traveling along that shoreline  
23 quite easily; nor is there a lot of vegetation or  
24 shrubs for it to consume, or it couldn't get  
25 access to the water or move along shorelines.

1                   There are many areas with moderate  
2 loads, and many more areas with low debris loads.  
3 And there are some good mitigation programs that  
4 clean up those debris loads. So all of those  
5 things have to be considered when we look at  
6 moose.

7                   Changes in habitat use and movement  
8 patterns were covered. And finally, increased  
9 harvest pressure and loss of harvest  
10 opportunities.

11                   One thing I think that we learned for  
12 moose, reviewing all of this information, is that  
13 when we say "increased harvest pressure," there  
14 has been an increase in access with respect to  
15 roads and roads development. There has been some  
16 increase in access with respect to transmission  
17 lines. But certainly, you know, it is more  
18 limited to winter, when we actually travel down  
19 transmission lines in Northern Manitoba. Maybe  
20 not so much so in the south; there may be an  
21 opportunity for an ATV there.

22                   But the loss of harvest opportunities  
23 is that there has been a switch from hunting and  
24 harvest along the river systems, which now have  
25 certain things that make moose hunting more

1 difficult, to a switch to -- you know, road  
2 hunting and other linear features. So the  
3 traditional use of some of these lakes in northern  
4 Manitoba, these rivers in northern Manitoba, have  
5 changed.

6                   And with that, I will open it up to  
7 any questions.

8                   THE CHAIRMAN: Serge Scrafield, CEC.

9                   In addition to changes in habitat and  
10 changes in numbers, are the moose in different  
11 areas? Do you know if there has been any change  
12 in the areas they are occupying?

13                   MR. BERGER: With respect to the  
14 long-term historic -- if we were to dig back  
15 around 200 years, moose have been expanding their  
16 range from south and central into northern  
17 Manitoba. So there have been recent historical  
18 pushes in mid to late 1800s, and even pushing into  
19 (inaudible), and now there is the odd moose that  
20 can be seen around Churchill.

21                   So there is that long-term  
22 distributional change. On a seasonal and by  
23 decade change, wherever fire, as James mentioned,  
24 changes patterns over time, you know, moose prime  
25 habitat, from about 5 or 10 to 25 years, and once

1 that overgrows, moose are going to change,  
2 themselves.

3           An example of a hydroelectric change,  
4 I think Daryll Hedman, now director of the  
5 Northeast Region, mentioned that at Southern  
6 Indian Lake -- and we can see it from the habitat  
7 and debris, and the lack of marsh and tall shrub  
8 now around the periphery -- the moose have been  
9 moved, or are now moving towards the back ponds  
10 and lakes.

11           So instead of being able to harvest  
12 and see moose around Southern Indian Lake  
13 shoreline, you've got to go three, four, five  
14 kilometres into the back country before you start  
15 hitting moose.

16           So moose are still there, but they are  
17 certainly not using the habitat that's been  
18 affected, as much.

19           THE CHAIRMAN: Thank you.

20           MR. BERGER: You're welcome.

21           MR. DAVIES: I have one thing. In the  
22 past projects of Hydro development, the areas  
23 around the communities were usually fairly  
24 depopulated of moose, because the majority of the  
25 hunting took place fairly close to the

1 communities. When roads came in, and other forms  
2 of access came in, whether it was transmission  
3 lines or roads, there was sort of a double-edged  
4 sword; it let other people come in to harvest the  
5 resource, but it also expanded the range of the  
6 people who live in the communities to hunt in  
7 other areas and take the pressure off the moose  
8 that were closer to the communities.

9           So some of the populations I think  
10 have changed a little bit in regards to harvesting  
11 that way.

12           MR. BERGER: Okay. Thank you.

13           All of them together. Thank you very  
14 much, Allison.

15           So, coastal caribou is my third major  
16 one, and then two minor ones. Doug will be  
17 talking about boreal woodland caribou, and also  
18 barren ground caribou, but I'm going to cover  
19 coastal caribou briefly.

20           So the approach for our coastal  
21 caribou, which is an eco-type -- forest tundra  
22 eco-type, and I have some maps coming up, and they  
23 are located in northeastern Manitoba.

24           We used three indicators to assess  
25 effects of hydroelectric development and other

1 forms of human-caused disturbance. They included  
2 population size, fragmentation, and disturbance.

3           Now, one thing that was different  
4 about species with -- you know, more cohesive  
5 populations, we actually assessed them by range,  
6 as opposed to looking at them by terrestrial  
7 region and breaking them down that way, because  
8 they certainly moved through those boundaries  
9 quite readily.

10           And in addition to other large home  
11 range species, like polar bear, we also looked at  
12 range, as opposed to examining effects by  
13 terrestrial range.

14           Limitation is somewhat in the  
15 pre-hydroelectric period, with certainly lower  
16 certainty in the population estimates that came  
17 out from the two populations I'm going to talk  
18 about, the Cape Churchill herd and the Pen Island  
19 herds. And natural disturbance, the further you  
20 go back, maybe the less predictable or the less  
21 accurate historical fire perspective is. So  
22 that's a limitation when you look at natural  
23 disturbance.

24           It also, I believe -- James, correct  
25 me if I'm wrong -- as you move out of the



1 commercial forestry region, some of the fire  
2 mapping, and then level of detail collected for  
3 it, tends to diminish.

4           Some of the key conclusions and  
5 findings, and here is the example of the Cape  
6 Churchill range in the north. I will just orient  
7 you: Up here is Churchill; the green line is the  
8 transmission line to Churchill. I believe the  
9 orange line is the dreaded railway to Churchill.  
10 And there may be a winter road and some other  
11 roads towards the southern area.

12           Now, the cumulative effects for this  
13 particular herd appear to be quite low. You can  
14 imagine, if we were looking at the different  
15 metrics, there are certainly low levels of  
16 fragmentation and disturbance in both the RAAs,  
17 and by both RAAs -- here is the Pen Island herd; I  
18 will back it up for a second after this, but the  
19 Pen Island range goes from about Split Lake, or  
20 east of Split Lake, well in to Ontario. So about  
21 half the range is in Manitoba and half the range  
22 is in Ontario. It is a huge area; I think it is,  
23 like, 170,000 square kilometres. So these caribou  
24 move over a vast range.

25           The low level of fragmentation and

1 disturbance in both, roughly around 1 to  
2 2 per cent of fragmentation -- or, sorry, in  
3 disturbance. Natural disturbance goes into the  
4 range of about 20 per cent, and that is  
5 fire-driven, of course. So the relative  
6 contribution of fire plus human disturbance, you  
7 know, is in the order of 22 per cent, if I recall  
8 correctly, subject to check. And hydroelectric  
9 development contributes roughly half of that  
10 disturbance in the northern areas, and the other  
11 half would be probably railroads, predominantly.

12           The Pen Island herds, in the new  
13 findings, are exhibiting some changes in range-use  
14 characteristics; I think some of the Commissioners  
15 may have heard or have read previous reports  
16 indicating that the Pen Island animals had moved  
17 away from the coastline, where they calve  
18 en masse, and they were moving inland, so they're  
19 actually changing some of their calving  
20 behaviours. So that's one recent event that's  
21 occurred and had been noted since about 2012 or  
22 so.

23           But as I already indicated, most of  
24 the range disturbance is due to fire.

25           Importance to communities. For at

1 least the coastal herds, the caribou populations  
2 remain available for harvest. Now, in the report,  
3 you will see that there has been an increase in  
4 Cape Churchill herd from when they were known in  
5 the 1960s, through to today, from about two to  
6 five thousand animals. They call that an  
7 increase, or stable, in the worst-case scenario.

8           And similarly the Pen Island caribou,  
9 since they were known in also the 1960s, when they  
10 were first studied by people in Ontario, have  
11 increased to about fourteen to fifteen thousand  
12 animals. So there's a licensed harvest and  
13 there's a domestic harvest that goes on with these  
14 animals.

15           Now, there is information in  
16 peer-reviewed literature, and knowledge for  
17 monitoring Keeyask, that there is some avoidance  
18 of hydroelectric generating stations. That's to  
19 be expected. Caribou are sensitive to sensory  
20 disturbances: Smells, sights, sounds, visual,  
21 that sort of thing. So there is some minor  
22 avoidance, minor being two kilometres to four  
23 kilometres. I would call it less rather than  
24 more.

25           Finally, there is a little group of

1 caribou we named the summer resident caribou,  
2 which occur in the Keeyask area, that have  
3 characteristics of both boreal woodland caribou  
4 and Pen Island caribou, that are at some increased  
5 risk of habitat loss in among the Pen Island  
6 animals.

7 That's my talk on coastal caribou.  
8 Are there any questions? Or you may want to save  
9 all your good questions for boreal woodland  
10 caribou, of course.

11 Two more slides. Other RSCs.  
12 Colonial waterbirds is an interesting  
13 one, and we are currently working with (inaudible)  
14 up at Keeyask, as part of the monitoring that  
15 Manitoba Hydro is doing. Really nifty project in  
16 itself.

17 But cumulatively, and in northern  
18 Manitoba, similar to the spread of some more  
19 common species, you know, gulls have really  
20 spread; especially, in particular, ring-billed  
21 gulls. They have actually moved quite a ways into  
22 northern Manitoba, and are commonly found in  
23 Keeyask and areas further north.

24 And how we measured effects on  
25 colonial waterbirds, we had virtually no

1 population to say -- no quantitative population  
2 information, so we got James to look at island  
3 size. He had a lot of fun with that, mapping  
4 islands that have been present prior to  
5 hydroelectric development and then after  
6 hydroelectric development. And we looked at the  
7 number of islands and the area of those islands,  
8 and for the most part -- not everywhere, in all  
9 terrestrial regions, but for the most part, on  
10 average, the number of islands actually increased  
11 as a result of hydroelectric development. And you  
12 will find the specific numbers in the report.

13           So potential gull nesting habitat has  
14 increased. I'm not saying that these islands,  
15 just because they were formed, are used by  
16 colonial waterbirds, but at least there are more  
17 islands to potentially use as one of the metrics  
18 that we looked at.

19           Colonial waterbirds are very abundant  
20 in the regional area of interest. And as I said,  
21 some nesting colonies, there is habitat that has  
22 been flooded and other habitat that has been  
23 created. So that's colonial waterbirds, in a  
24 nutshell.

25           Polar bears, finally. The take-home

1 message for polar bears is that despite our best  
2 efforts, we could not find a link between the  
3 change in polar bear populations or the  
4 fluctuations of the western Hudson Bay polar bear  
5 population and hydroelectric development. There's  
6 certainly no appreciable effect on the population.

7           We looked at some potential drivers,  
8 or population indicators, which included harvest.  
9 For example, directly related to hydroelectric  
10 development, Manitoba Hydro has a record of one  
11 bear that was destroyed as a result of Limestone  
12 being constructed, in the town of Sundance, but  
13 there are no other records of those types of  
14 direct effects. So it's thin.

15           We looked at denning habitat, of  
16 course which is very well known in northern  
17 Manitoba, and we looked at the relationship  
18 between linear features, how close they were to  
19 the dens and nesting areas, and there are  
20 certainly precious little or no appreciable ill  
21 effects that we could come up.

22           So, thank you very much for your  
23 attention. Any final questions?

24           Yes.

25           MS. LEWIS: I have a question about

1 colonial waterbirds, specifically in the Churchill  
2 region. Are there any of those birds -- are any  
3 species at risk, populations in the Churchill  
4 region?

5 MR. BERGER: It was certainly pointed  
6 out in one of the questions provided to us that  
7 Ross's gull are certainly present in the town of  
8 Churchill; pardon my naming of the marsh, but the  
9 Akudlik marsh. I'm going to stop trying to  
10 pronounce that.

11 It's interesting to note that Ross's  
12 gull was first observed or at least recorded in  
13 Manitoba in about the late 1970s, and that was  
14 probably just after or at the time of the  
15 Churchill River Diversion. So from then until  
16 now, there has been -- you know, one to five birds  
17 that have nested, frequently or infrequently, in  
18 that particular marsh area. So the number is so  
19 low, I don't know if we could or could not ever  
20 attribute anything to hydroelectric development  
21 there.

22 They are also in the marsh area, as  
23 opposed to where the dewater area is. So they are  
24 using slightly different habitat. But it's a  
25 well-raised point; there are threatened species in

1 the area that should certainly be considered.

2 One other tidbit, Manitoba Hydro --  
3 Stuart, correct me if I'm wrong -- along with the  
4 Churchill weir, Manitoba Hydro developed a nesting  
5 island. It was about one-tenth of a hectare, in  
6 that size.

7 MR. DAVIES: Something like that.

8 MR. BERGER: And it was monitored for  
9 about five, six, seven years, and it was used by  
10 mainly waterfowl. I'm not sure if any terns or  
11 gulls ever nested there, but certainly it was  
12 tried.

13 MS. LEWIS: So are there any plans to  
14 monitor -- I guess the waterbirds -- to see if  
15 indeed they had shifted to other habitats, and if  
16 the mitigation -- mitigation plans are successful?

17 MR. BERGER: Right. Very good point,  
18 yeah. And you know, current -- Manitoba Hydro's  
19 current monitoring activities do include the  
20 Keeyask Generation Station gull and tern nesting  
21 populations.

22 The Province of Manitoba and Citizen  
23 Scientists ultimately monitor some of the other  
24 gull populations. Churchill is a very  
25 well-covered area. So formally, no, Manitoba



1 Hydro is not doing some broader-based IBA-type  
2 monitoring.

3 But yeah, Manitoba Breeding Bird  
4 Atlas, and other recent entities, have done a lot  
5 of good northern Manitoba monitoring, that we in  
6 fact rely on that information to use for reports  
7 like this. Thank you.

8 MS. ZACHARIAS: So if everyone can  
9 hold on for another ten minutes or so, we have one  
10 more land presentation, and then we can take a  
11 break. Is that okay with everyone? It's a hard  
12 afternoon, sorry.

13 Doug Schindler, from Joro Consultants.

14 MR. SCHINDLER: Thank you very much.  
15 Good job, Rob. I will carry on here with the  
16 boreal woodland caribou as one of the RSCs.

17 Boreal woodland caribou are a  
18 threatened species under the Federal Species at  
19 Risk Act. One of reasons they are -- closer to  
20 the mic?

21 Boreal woodland caribou in Manitoba  
22 and across Western Canada are a threatened species  
23 under the Species at Risk Act, as well as the  
24 Manitoba Endangered Species Act. So, boreal  
25 woodland caribou are under stress; they are under

1 the Guide to Recovery plans that are being  
2 developed. So they are a fairly important and  
3 high-profile species in Manitoba.

4 So if we look here in the region of  
5 interest, we've got a number of boreal woodland  
6 caribou ranges that are in our region of interest.  
7 We have the Wimapedi-Wapisu. There is the Harding  
8 Lake range, which is near the Wuskwatim line and  
9 Wuskwatim Generation Station.

10 The Wabowden range, we have the  
11 Wimapedi-Wapisu, we have the Naosap, and we've  
12 also got the Norway House range. We have a range  
13 down in the bottom end of the region of interest,  
14 called the Charron Lake range.

15 So the approach that we used in terms  
16 of evaluating the boreal woodland caribou, we  
17 looked at the approach that was adopted by the  
18 federal government in their recovery strategy,  
19 looking at the disturbance values in those ranges,  
20 plus looked at the population, looked at core use  
21 area, we looked at habitat, both summer and  
22 winter. We looked at fragmentation, and also  
23 disturbance.

24 We had a great deal of telemetry data  
25 that was gathered through various studies that

1 were conducted by Manitoba Hydro, and also  
2 historical data that was gathered by Manitoba  
3 Conservation and other research.

4           Some of the limitations were that  
5 there is not a lot of ATK data or information on  
6 the historical occupation or numbers on boreal  
7 caribou. There is not a lot of good information  
8 from the Province, or scientific information  
9 relative to the historical distribution and/or  
10 numbers. There is also a lack of data and  
11 information relative to the presence of predators  
12 on the landscape, which are also influenced by  
13 fragmentation metrics and disturbance patterns  
14 that result in increased moose populations that  
15 do, in turn, affect the predator abundance that in  
16 fact affects woodland caribou populations.

17           So some of the other limitations, we  
18 have no telemetry data for the Norway House,  
19 Naosap, or William Lake range, and there is little  
20 historic and current information on population  
21 size, improvement, or mortality.

22           Some of the key conclusions and  
23 findings, the population status indicates that the  
24 populations are acceptable, based on some of these  
25 Provincial findings, and in terms of the

1 Provincial recovery strategy; but there is some  
2 uncertainty regarding the population trends,  
3 whether they are increasing or declining. There  
4 is not a lot of good information on what those  
5 population trends are.

6                   Linear features seldom transect.  
7 Things like transmission lines are not going  
8 through what we call core use areas, that we  
9 determine through telemetry data; we have  
10 identified areas of importance. So there is a  
11 very limited amount of transmission line  
12 development that occurs through those core areas.

13                   We also noted calving areas. We  
14 looked at winter use areas, through modeling, and  
15 again, very little percentage of those areas are  
16 intersected by transmission lines in particular.

17                   In terms of the Environment Canada  
18 disturbance threshold, which has been established  
19 that if a range exceeds a 35 per cent disturbance  
20 threshold, and that includes fires, forest  
21 harvesting, and transmission lines, anthropogenic  
22 development that is buffered by 500 metres, if the  
23 percentage goes beyond 35 per cent, that range is  
24 in -- it could in fact be a declining population  
25 because of the disturbance threshold.

1                   So there is a number of ranges --  
2   Naosap-Reed, the Norway House range -- there is  
3   absolutely very little hydroelectric development  
4   within those ranges. However, they do exceed the  
5   disturbance threshold, mainly because of fire.  
6   Fire is the driving force in terms of boreal  
7   woodland caribou disturbance regimes.

8                   So in terms of hydroelectric  
9   developments, across all ranges, it is very, very  
10  low. It is a very low contributor to the  
11  disturbance level on all of those boreal caribou  
12  ranges.

13                  Some new findings: Human development,  
14  as a disturbance metric, is pretty low across all  
15  ranges studied. Hydroelectric development is a  
16  very, very small percentage of that metric, and  
17  fire is by far the largest disturbance factor  
18  through all ranges. Those ranges that did exceed  
19  the Environment Canada threshold, fire was the  
20  major driving force, again.

21                  And one of the things with boreal  
22  woodland caribou is as habitat grows and ages, it  
23  starts to become utilized by caribou, because they  
24  do like old-age forest, and they do not like  
25  disturbed forest, as do moose.

1                   So in some of these ranges, like the  
2   Harding Lake range, for example, that has a  
3   disturbance rate of about 40 per cent, more  
4   development could create some issues; but again,  
5   these are thresholds. But the predominant factor  
6   is natural disturbance and fire.

7                   So importance to communities. Boreal  
8   woodland caribou have been harvested historically  
9   in very, very low numbers, and they are not really  
10   a dependable source of food for communities,  
11   because they do appear in very low densities, and  
12   they have been harvested somewhat  
13   opportunistically through the years.

14                  And First Nations do value boreal  
15   woodland caribou, and consider stewardship a very,  
16   very important component.

17                  Okay. I will take questions on boreal  
18   woodland caribou.

19                  MR. HARDEN: I am just wondering, is  
20   there any correlation between human-built linear  
21   features and, say, fire?

22                  MR. SCHINDLER: The majority of the  
23   fires that occur on caribou range, it is quite  
24   random, and it is a very natural activity that  
25   occurs across the landscape. I don't see -- or we

1 did not really observe that maybe -- there are  
2 human-caused fires. I'm not sure, James, that  
3 they've got some percentages, human-caused fires  
4 versus natural fires, but it is a -- fairly highly  
5 skewed towards the natural fire disturbance  
6 regime, and the patterns that occur on the  
7 landscape do not correlate well with human  
8 development. Like, you won't see areas -- there  
9 are some communities where you might see a lot  
10 more fire activity near some communities, but  
11 general speaking, across the landscape, there  
12 would not be that correlation.

13 MR. HARDEN: Thank you.

14 MR. SCHINDLER: All good, then?

15 Okay. So, barren ground caribou.  
16 This is the Qamanirjuaq range, and we have  
17 outlined the entire range of the Qamanirjuaq herd,  
18 which consists of calving areas in the north, and  
19 there are winter areas to the south.

20 The Qamanirjuaq range, the population  
21 in the '60s was estimated at about 30,000. In the  
22 80s, it kind of went up to about 200,000. In  
23 1994, it hit a high of 470,000. And as the last  
24 number of years, in 2014, the population was  
25 estimated at about 264,000.

1                   So the approach we took here, we  
2    looked at the disturbance analysis on the winter  
3    range and looked at the human footprint and also  
4    the disturbance regime, similar to what we did for  
5    boreal woodland caribou, to get some idea as to  
6    how much disturbance is in that winter range.

7                   Some of the limitations are that there  
8    is not a lot of literature on the effects of  
9    anthropogenic activity, or on wintering for barren  
10   ground caribou. There is a lot of information  
11   relative to the disturbance of the calving  
12   grounds, but not so much on their winter range.

13                  There was limited fire disturbance  
14   data for the pre-hydroelectric development period,  
15   and telemetry studies relative to the barren  
16   ground caribou relate primarily to the summer  
17   range and the use of calving areas.

18                  And there is limited ATK from the  
19   region of interest, in terms of -- because they  
20   are so periodic in terms of their coming into the  
21   area, there is not a lot of really good ATK data  
22   on barren ground caribou.

23                  So the key conclusions and findings,  
24   the current population estimate, as I indicated,  
25   is about 265,000 animals. And again, you can see



1 that it is fluctuating; these barren ground  
2 caribou populations are known to fluctuate through  
3 time. And what is particularly interesting, as  
4 the population increases, they tend to extend  
5 their winter range. So when you have periods when  
6 barren ground caribou populations are peaking,  
7 that is when you will find that barren ground  
8 caribou will come into the region of interest.

9           So hydroelectric development accounts  
10 for less than 1 per cent of the total disturbance  
11 within the Qamanirjuaq barren ground winter range.  
12 But fire is the big, big driving factor in that  
13 area, and it gets burnt a lot. As you can see,  
14 over 50 per cent of the area burnt.

15           So the overall population seems  
16 healthy, and little affected by Manitoba Hydro's  
17 development. But again subject to those periodic  
18 population fluctuations when they do come into the  
19 region of interest.

20           So, I think the new findings are the  
21 cumulative effects of Hydro development on the  
22 winter range would be very negligible.

23           Obviously, barren ground caribou are  
24 very, very culturally important and significant to  
25 people. Winter migrations into the regional

1 assessment area, through time, have provided  
2 valuable sustenance to the communities. So it is  
3 when those animals come in en masse, they are a  
4 very, very important food source.

5           There is some concern that  
6 hydroelectric development may alter migration  
7 patterns, in terms of higher flows on the Nelson  
8 River. But perhaps, maybe on the Churchill River,  
9 in deep water areas, maybe access and migration  
10 patterns would be less impeded by lower water  
11 flows and levels.

12           So that's it on the barren ground.

13           Now, we did beaver already, so -- oh,  
14 here is furbearers.

15           So the approach -- I think James kind  
16 of really described it; he did a good job talking  
17 about the beaver there.

18           So, again, we looked at the on-system  
19 modeling in those areas where there was shoreline  
20 habitat data, pre and post, so the on-system  
21 modeling was very similar to what Rob did for  
22 moose, and similar to what James did on the  
23 habitat side.

24           The regional habitat modeling, it was  
25 done in the terrestrial region, and as James has

1 described, looking at before and after, on the  
2 terrestrial side of things, off-system, he was  
3 predominantly looking at the effects of  
4 transmission lines, roads, and those activities  
5 associated with Hydro development.

6           As James indicated, on-system  
7 shoreline habitat data for pre and post  
8 hydroelectric development were derived from  
9 various sources and scales, and as indicated,  
10 overlapping data, before and after were limited,  
11 so there were some limitations there.

12           We did have some historic beaver  
13 census data from conservation officer reports in  
14 the '50s, and we had some of Rob Berger's good  
15 work to compare to, to look at the  
16 before-and-after beaver populations, based on log  
17 sediment.

18           And there is very little published  
19 data or ATK or local knowledge available for  
20 beaver. There is not a lot of available  
21 information that -- you know, in terms of  
22 distribution numbers, et cetera.

23           So, again, looking at the areas that  
24 were evaluated, this would be the on-system, by  
25 the reaches.

1                   Here is a bit of a close-up, looking  
2   at those shorelines, the before-and-after  
3   characteristics of things like shoreline slope,  
4   shoreline material, vegetation, marsh habitats,  
5   looking at before and after, and the linear amount  
6   of habitat that was there before and after.

7                   Looking at the off-system habitat  
8   availability, using GIS and James' data, able to  
9   look at the effects of the footprint that came  
10  across along shorelines or traverse riparian  
11  areas, or lakes and creeks and rivers.

12                  That's a just a bit of an example of  
13  off-system beaver habitat.

14                  So the key conclusions, findings:  
15  Habitat and population status has basically  
16  remained stable on a regional basis throughout the  
17  region of interest. Off-system, primary habitat  
18  showed to be very, very small changes. As you can  
19  imagine, at the scale we are evaluating at, the  
20  effects overall off-system and inland are quite  
21  small.

22                  Overall populations in the region of  
23  interest have not been substantially affected by  
24  Hydro development. However, it has been indicated  
25  that off-system primary beaver habitat modeling,

1 and again, lower-quality habitat after hydro  
2 development, for a lot of the reasons that we have  
3 heard from Rob, in terms of the water regime and  
4 the shoreline erosion and ice conditions, and  
5 things like that, that created not a very good  
6 situation for beavers, in communities where water  
7 regulation is occurring.

8           New findings: Some on-system areas  
9 contained little primary modeled beaver habitat,  
10 either pre- or post-hydroelectric development, and  
11 on-system effects do not -- appear to not have to  
12 be universally offset by new habitat being created  
13 elsewhere. So, for example, just because we have  
14 a flood inland doesn't mean that offset what's  
15 happened on the on-system. There is definitely  
16 some reduction, significant reductions in  
17 on-system beaver habitat, but again, they have not  
18 been offset by flooding gates. It is just not  
19 always that way.

20           Beaver, obviously, are culturally  
21 important to First Nations in terms of food and an  
22 income. And they are a measure of environmental  
23 health, and an indicator of other aquatic  
24 furbearers. While beaver may be common  
25 regionally, local on-system effects reduced

1 numbers near on-system communities.

2                   And I think the land-use people and  
3 the resource-use people are going to talk a little  
4 bit more about the effects of the water regime  
5 on-system in terms of the trapping.

6                   So, yes, there would have been issues  
7 in terms of ice conditions and bad opportunities,  
8 or reduced opportunities for harvesters to access  
9 beavers.

10                   So, that's the beaver.

11                   MS. ZACHARIAS: Okay. Why don't we  
12 take a ten-minute break. Is that okay? It is a  
13 little short, but this way we will keep moving on.

14                   We'll come back at 3:30.

15                   (RECESS TAKEN)

16                   MS. ZACHARIAS: So this is our last  
17 big presentation coming up.

18                   The next topic on the agenda is the  
19 RCEA integrated summary report. We have a number  
20 of folks that are going to be helping with that.  
21 We are going to start with Gary Swanson, from  
22 Manitoba Hydro, and he is going to discuss the  
23 overall process for the integrated summary report.  
24 Don Macdonald, from Manitoba Sustainable  
25 Development, is then going to walk through some of

1 the aquatic findings. And then Rachel Boone, from  
2 Manitoba Hydro, will come up and talk about some  
3 of the overall land conclusions.

4 So, with that, I will turn it over to  
5 Gary.

6 MR. SWANSON: Good afternoon. It is a  
7 pleasure to be here to talk to you about the  
8 integrated summary report from the Regional  
9 Cumulative Effects Assessment.

10 The attempt -- I think Tracey  
11 described it as an executive summary, and a more  
12 readable version of the RCEA. And it is more  
13 readable in the sense that it is shorter. It was  
14 an intent to take the state of information, all of  
15 the previous information that you've heard in the  
16 nine or ten volumes of information that was  
17 provided in Phase II, and integrate it, tell a bit  
18 of a story, and describe our understanding of the  
19 state of knowledge.

20 And what we did was we went back to  
21 basics in terms of -- and I think Tim referenced  
22 it, the bigger effects being the water regime and  
23 the erosion, and how that plays out through the  
24 ecosystem.

25 So we looked at the Hydro system and

1    how it was set up, and tried to address the terms  
2    of reference and the mandate to -- within the  
3    region of interest, describe the Hydro development  
4    effects, and at the same time, or in addition to  
5    that, describe the state of the environment within  
6    a broader regional context.

7                    So the integrated summary describes  
8    the on-system effects to the water and the  
9    shorelines in the Manitoba Hydro system, using  
10   more of a "pathway of effects" approach, and then  
11   broadly describes the regional land effects by  
12   ecosystem.

13                   So, to start the pathways of effects  
14   approach, we looked at the Hydro system as  
15   essentially upstream water management, in order to  
16   provide for downstream power generation. And that  
17   water management is obviously, as I've been told a  
18   few times, is focused on control structures at  
19   Missi Falls, Notigi control structure, and then  
20   Jenpeg, with downstream power generation  
21   primarily -- or 70 per cent of the province's  
22   Hydro power in these three stations, Kettle, Long  
23   Spruce, and Limestone.

24                   So with that claim of framework, we  
25   then looked at -- and this is a figure you will



1 find in the integrated summary report -- we then  
2 looked at the specific sort of circumstances in  
3 each of these key points, where Hydro structures  
4 essentially store water in order to modify or  
5 produce an outflow, a water flow context that  
6 would optimize power generation on the lower  
7 Nelson River.

8                   And this diagram is -- it shows the  
9 relative difference in the height of the  
10 structures. And it is important to note that the  
11 scales are different. This is water-level  
12 elevation, and this is outflow.

13                   And the idea here was to show that  
14 because each structure is placed in a different  
15 geography and serves a different purpose, the  
16 effects upstream are actually different at Missi  
17 than they are at Notigi than they are at Jenpeg  
18 than they are at Kettle. And the outflow is a  
19 different outflow, in order to try and optimize  
20 downstream power at Missi, where water was largely  
21 diverted and controlled by Notigi, to implement --  
22 or input and supplement water from Lake Winnipeg  
23 Regulation power generation, and Kettle.

24                   So as a background, what we did was we  
25 looked at each of those -- each of those

1 structures, in order to take all of the  
2 information that we had and put it into a bit of a  
3 logic where we could describe the pathways of  
4 effects, from the structures that existed to the  
5 water regime that was associated with that  
6 structure, to the physical effects and the effect  
7 that that would have on water quality.

8           Each of the sections -- each of those  
9 structures we looked at, at the -- and there's  
10 three slides; there's more to come.

11           Upstream of Jenpeg, downstream of  
12 Jenpeg, and the same for Missi and Notigi, and  
13 then again for the lower Nelson River, to look at  
14 the start -- with the information that we had  
15 available from the Phase II report, to look at the  
16 project and the purpose of the project in the  
17 communities there, in terms of a description, what  
18 that meant in terms of water regime, physical  
19 habitat effects, water quality, and then the  
20 effect that that might have on fish community and  
21 lake sturgeon, fish mercury, and fish quality, and  
22 then to the fishery, in terms of the physical  
23 effects and the access and success of the fishers,  
24 and finally, to the shoreline habitat, and to the  
25 waterfowl and the beaver and the moose.

1                   So the idea here is that for each of  
2 these areas, there is a thread that starts with  
3 the project and a description of the project, the  
4 water regime that's associated with each project,  
5 and the changes to the physical habitat, and how  
6 that -- how those effects either were demonstrated  
7 or weren't demonstrated in terms of the regional  
8 study components in the Phase II report.

9                   And what I'm going to do is I'm going  
10 to turn it over to Don, who is going to talk  
11 through an example, hopefully give you a better  
12 idea of that, and then talk about the overview.

13                   MR. MACDONALD: My name is Don  
14 MacDonald; I'm the regional fisheries manager for  
15 the Northeast region. I work in Thompson, and I  
16 work for Sustainable Development.

17                   I'm just going to run through an  
18 example area that's found in the integrated  
19 summary report. I realize that of all the  
20 material that has been produced so far, this is  
21 probably the thing that you are most likely to  
22 either have read or will read first. There's  
23 probably a limit to the amount that I'm going to  
24 attempt to read it to you, but part of it is  
25 just -- this is also the document that the average

1 member of the public is likely to read. We don't  
2 really have an expectation that the 4,500-page  
3 RCEA is going to hit a best-seller list any time,  
4 so this is kind of the distribution material we've  
5 got.

6           So the area that we picked, basically  
7 the CRD, picked in part because that's the one I  
8 wanted to do. When you consider what the effect  
9 of northern hydroelectric development is,  
10 especially if you are looking out on the  
11 landscape, yeah, flooding makes the water deeper;  
12 that's not actually not that big a deal. When you  
13 take a look at it, what is really happening where  
14 you see it is right on the shoreline. It is the  
15 land/water interface, and the most noticeable  
16 effect is basically erosion and resulting  
17 sedimentation.

18           We take a look at this section, one of  
19 the things that we see is that erosion is  
20 physically a localized event. Having said that it  
21 is a localized event, that doesn't mean it is not  
22 severe in low caliber.

23           Louder, faster, slower?

24           MS. JOHNSON: Slower.

25           MR. MACDONALD: I can't do slower.

1                   So figure 8 is where you really see  
2     it, in and around rapids, fast water. Along the  
3     rest of the system lakeshore, it really is  
4     dependent on what the whole -- the shoreline  
5     swills.

6                   You definitely get turbidity and  
7     suspended solids increase in areas where you've  
8     got the most velocity, which means along the river  
9     portions. An interesting thing that was noted  
10    right from the start, we talked about Gregory  
11    Hall's work, is that most of the material from  
12    erosion is deposited near the site where the  
13    erosion occurs. I mean, eroded material does  
14    grade out, based on size, and it is the finest  
15    stuff that will continue on through the system,  
16    certainly contributes to colour, turbidity; things  
17    like that have an effect. But in terms of where  
18    most of the material goes, it actually goes right  
19    along the shoreline that it fell off of.

20                  When we talk about sediment loading  
21    downstream, it is not necessarily the amount of  
22    sediment in the water that is increased that much;  
23    it is the amount of water. The same amount of  
24    sediment density in it; there is just more water  
25    moving, and so there is more water coming into

1 Split Lake that's carrying the same density of the  
2 sediment that it used, but it just totals more.

3           In terms of water quality, very much  
4 what Megan was talking about earlier, there are  
5 both permanent and temporary changes. This is an  
6 area with one of the most obvious permanent  
7 changes, which is that it has completely different  
8 kind of water moving through it. The source of  
9 the water is now the Churchill River. This used  
10 to be the headwaters of the Rat River, and so the  
11 chemistry is different, and will be different for  
12 all time.

13           In terms of fish community, we've seen  
14 changes in relative abundance, especially  
15 immediately post project. It was a lake whitefish  
16 totally dominated catch; now it's very much a  
17 walleye, white sucker kind of a catch.

18           A question was asked earlier: Is that  
19 the kind of thing that you would predict? When I  
20 started as a fisheries biologist, fisheries  
21 biologists that were working in the area certainly  
22 described it to us that way, is that one of the  
23 things that you should expect when you convert to  
24 reservoir is there are some things about it that  
25 might be quite negative for fall spawners.

1                   That hasn't proved to be correct  
2 everywhere, but it was certainly one of the  
3 expectations for Cedar Lake, as an example. In  
4 fact, the way Cedar Lake whitefish would be  
5 described was described to me as, "Hey, they are  
6 doing much better than you should have thought."

7                   But you do notice it in other  
8 reservoirs. The Hydro Quebec reservoirs actually  
9 became better with different water, because it  
10 switched so much. But the reservoirs are so much  
11 bigger. It was a much bigger switch from River  
12 Run to Wakuska.

13                   So we sometimes treat it as a  
14 generality. It is not really a great one, but it  
15 is something always worth thinking about. You  
16 should expect to see -- you should at least be  
17 aware that there is potential for community shift  
18 to exist.

19                   Wuskwatim, partially based on -- there  
20 was a lot of data done during the data collection  
21 in the 1980s, under what would be aquatic  
22 monitoring program. This was aquatic work that  
23 was done under CAMP.

24                   An example of one of the data trends  
25 is there is a declining trend in total catch on,

1 like, three of the more significant water bodies  
2 near NCN, so Footprint, Three Point, Wuskwatim.  
3 The rest of the system is fairly constant.

4           When we are working on this kind of  
5 stuff, we are using a fairly coarse metric; it's,  
6 like, the total catch of all species. We're not  
7 really getting that fixated on one species or  
8 another at the level that's being presented here.  
9 It doesn't mean that the data doesn't exist, and  
10 in the RCEA proper, all of that detail does exist.

11           Right now, on the Churchill River  
12 Diversion -- I'm only talking about the area  
13 downstream of Notigi -- you would describe that as  
14 less flooded than other areas. It is much less  
15 flooded than the area above Notigi, which is one  
16 of the most flooded areas, just in terms of  
17 percentage change from pre and post project.

18           As a result, there would be less  
19 mercury here, just because the flood can thrive in  
20 it; there is less of it happening here. Mercury  
21 levels have declined over time, and as with all of  
22 the areas in the RCEA where mercury was collected,  
23 it is still being monitored under CAMP.

24           In terms of the fishery, in particular  
25 the areas close to NCN were very important as part



1 of their domestic fishery pre-CRD. This is an  
2 area where mercury levels did go up enough that  
3 people were correct in heeding the advice to  
4 reduce their fish consumption.

5           Concerns about mercury; so even if I  
6 tell you not to eat the pickerel and the pike, but  
7 I tell you the whitefish are okay, how cool are  
8 you going to be with that, really? So what it did  
9 everywhere was it caused a dramatic decrease in  
10 the act of fishing and the consumption of fish.

11           And one of the compensation programs  
12 under the Northern Flood Agreement was to make  
13 Leftrook Lake available as a source of domestic  
14 fish. And it actually does a lot more than that.  
15 There is a camp on it; people will go into it just  
16 to get a break from looking at flooded lakes. But  
17 it is one of the preferred places that they would  
18 get fish from.

19           Prior to CRD, there really wasn't much  
20 of a commercial fishery around Nelson House. It  
21 was fairly small, fairly intermittent. They had  
22 no road. The lakes really weren't very big. Post  
23 CRD, there are certainly issues with mercury in  
24 the lakes that affected what the marketability  
25 was. But as mercury levels dropped, the fisheries

1 increased, and commercial fisheries exist post CRD  
2 and appear to be quite stable.

3           In terms of shoreline effects, this is  
4 common, perhaps, to almost the whole system, but  
5 one of the things you lose is marsh wetlands and  
6 riparian peatlands. Riparian peatlands in  
7 particular will either flood, stay sunk and take  
8 the rest of our lifetimes to degrade, or will  
9 actually proliferate, float off, and many of them  
10 became the source for what were called floating  
11 islands.

12           And floating islands were fairly  
13 common post project, especially in this area and  
14 on Southern Indian. But you get a high water  
15 event, something happens, you can actually have  
16 something tear loose and do it again.

17           Main point is that whatever caused the  
18 loss of peatland and marsh area, it doesn't  
19 replace. What you see instead of it is basically  
20 just a large shallow area. It is not a functional  
21 marsh. It's certainly not peatland. Again,  
22 through the CRD, Nelson and Notigi, what we see  
23 for shoreline vegetation is made difficult; it  
24 does not look like a wood/rock system.

25           One of the other things is when

1 erosion does occur, when it hits bedrock, it  
2 stops. There is no erosion anymore, so that's  
3 great. But when you've got rock -- and rock  
4 doesn't exactly support a lot of vegetation. So  
5 you might have stable shoreline, but you don't  
6 have the same kind of shoreline that you once had.

7           Again, narrow, tall shore bands have  
8 increased in some areas and been completely  
9 eliminated in others. Shoreline debris certainly  
10 exists throughout the system. And both of those  
11 two, in particular, contribute to the loss of  
12 shoreline habitat and wildlife.

13           In terms of physical effects, I  
14 already basically alluded to this. When you have  
15 flooding, you get increased shoreline erosion; you  
16 get debris accumulating.

17           The other thing that happens  
18 throughout the system is to accommodate --  
19 actually Brian alluded to this earlier -- they  
20 need the flow in the winter to generate power when  
21 it is needed. And that's not how rivers typically  
22 operate; generally flows will peak during the  
23 spring. So what you have in many parts of the  
24 system -- not all -- is flow reversal, so higher  
25 flows in the winter, lower flows in the summer.

1                   This can contribute to problems with  
2 slush ice or hanging ice, because even when you  
3 say high flows for winter, it doesn't mean the  
4 entire winter. And this business of how ice forms  
5 and how the thaw occurs is also managed within the  
6 system.

7                   And so all of those changes come  
8 together, can affect water quality, certainly  
9 affects near-shore fish habitat, certainly affects  
10 shoreline wildlife habitat.

11                  And on top of that, you have got an  
12 aesthetic effect. Like, if you are on-system, you  
13 can tell; people that live there will always know  
14 that -- yes, this system is altered. All they  
15 have to do is go off-system and see what it needs  
16 to look like. And yet your use of the shoreline  
17 is quite altered. You have seen pictures of large  
18 amounts of woody debris along the shoreline, and  
19 that's common. That can be fairly hard to get  
20 through. In other areas, what has happened is the  
21 shoreline may have eroded, the material that  
22 eroded is still there, and it tends to form a very  
23 shallow -- by shallow I mean a very flat angle --  
24 clay flat. Technically it is being called a  
25 beach, but frankly it is like no beach you would

1 ever want to walk on.

2                   And to a degree, if you have to boat  
3 up and hop out of the boat; don't expect to get  
4 your boots back. You'll be lucky to get yourself  
5 back.

6                   So people notice that. Right? It's a  
7 big impact, and it is one of the things that you  
8 would hear cited fairly often when people are  
9 describing the things they like the least.

10                   Now we are into overall study  
11 findings. So we have just talked a little bit  
12 about CRD downstream Notigi. Now I'm going to  
13 look at basically how the integrated summary  
14 report summarizes everything.

15                   So there is a couple of specific --  
16 actually, we aren't doing that one. We need to  
17 put a better transition selection in there.

18                   So that last slide, that's for  
19 everywhere.

20                   A couple of specific spots where there  
21 is something very noticeable going on that isn't  
22 occurring throughout the rest of the system is  
23 lower Churchill River, substantially dewatered. I  
24 mean, the big thing Churchill River Diversion did  
25 was it diverted the Churchill River. The lower

1 Churchill River doesn't get to have water most of  
2 time. That is a significant change for water  
3 quality, shoreline, fish habitat, fish access to  
4 tributaries. One way of looking at it is it did  
5 turn it into wildlife habitat, but it basically  
6 did that by undoing -- the loss of it is fish  
7 habitat.

8           Just throwing out there, there still  
9 is functional fish habitat there, but it's a  
10 really altered and highly variable system.

11           In the Lake Winnipeg Diversion,  
12 probably the most noticeable thing are the  
13 diversion channels themselves, 2-Mile and 8-Mile,  
14 where basically you have a new path for not just  
15 water, but for what the water carries. So  
16 sediment, even debris generated in the north basin  
17 of Lake Winnipeg, that never was a stable  
18 shoreline, historically. It is made out of  
19 material that erodes.

20           What 2-Mile does, though, is give that  
21 material a path straight into Playgreen Lake that  
22 did not use to exist. Then even 8-Mile changes  
23 the path the water takes. Kisskittogisu Lake was  
24 just a blind -- it was an appendix; it was a  
25 tributary. Now a huge portion of the flow is

1 going through it. And here, as material silt goes  
2 through it, it changes the water colour. So those  
3 are kind of the two most obvious features in that  
4 area.

5 In terms of water quality, when you  
6 flood a reservoir, you get an increase in nutrient  
7 in that area, just from all the flooded material.  
8 That will eventually end, over time. In many  
9 cases, that time has already passed.

10 The other common note you have is in  
11 terms of water quality, and just the guidelines,  
12 the protection of wildlife. Those guidelines are  
13 met almost everywhere. There are some exceptions.  
14 For example, here is aluminum and phosphorous  
15 exceed PAL, but the fact is that that happens  
16 throughout almost all Manitoba anyway. That's not  
17 really a result of the project; that just reflects  
18 what the guidelines are.

19 And the other one is the eroding  
20 shorelines and changes with TSS and turbidity.

21 In terms of the fish community,  
22 depending on where we are on system, there are  
23 different processes that result in different  
24 changes to the fish community. So in some areas  
25 we have created reservoirs, and in particular,

1 when you switch from riverine to lacustrine, you  
2 see a few changes in species.

3           And so, just an example, long-nose  
4 suckers are known to prefer the riverine  
5 environment, and that will basically convert to  
6 white sucker and to walleye. Walleye have done  
7 fairly well in a lot of the system and a lot of  
8 the lakes. Whitefish and tullibee or cisco are  
9 reduced.

10           When it comes time to look at what the  
11 fish stock is doing, again, the founding factor is  
12 that most of the larger lakes are commercially  
13 fished. I will attest to the fact that it is more  
14 difficult to manage a reservoir fishery than it is  
15 a normal lake, because there's more things  
16 happening; it's more complicated. Which means, in  
17 turn, that you have to be aware that sometimes the  
18 fishery may in fact be the single biggest cause of  
19 the change to the fish population.

20           Some of the other things that happen  
21 is favoured species, because of changes in price,  
22 changes in market demand, reduces the stress on  
23 some species, adds to it on others. Rainbow  
24 smelt, throughout the whole Nelson system, not  
25 found at all on the CRD or the Churchill River,



1 but rainbow smelt on the Nelson appear to have a  
2 very significant effect in both of which fish do  
3 well, and the condition of any of them.

4           And the other is climate change. It  
5 seems fairly obvious the water has gotten slightly  
6 warmer over time.

7           In terms of lake sturgeon -- my  
8 personal favorite here, so I'll try not to go on  
9 and on, but I might.

10           Certainly hydroelectric development  
11 altered sturgeon habitat. There is no doubt about  
12 that. On the other hand, the single biggest thing  
13 that happened to sturgeon, in North America,  
14 largely, is they were overfished everywhere, and  
15 that includes here. So you are coming into --  
16 northern hydroelectric development occurred in a  
17 world where sturgeon population in the Nelson  
18 River were already substantially reduced, and in  
19 fact had already been a fishery that had already  
20 opened and closed four times by the time  
21 hydroelectric development started. So it is  
22 almost like we don't have enough fish to know what  
23 the habitat loss might have been.

24           However, we've certainly got enough  
25 habitat that we can have more fish than we've got

1 now. So if it is limiting, we certainly haven't  
2 reached that limit yet.

3           The exception to that would be, again,  
4 the lower Churchill River, which is substantially  
5 dewatered. One of the things that was not  
6 anticipated when CRD was planned was that the  
7 population of sturgeon would actually survive in  
8 the lower Churchill River. Yet at the confluence  
9 of the little Churchill and the Churchill, there  
10 is a fairly significant population of sturgeon  
11 there. So it is a pleasant surprise. That  
12 population, however, does not extend along the  
13 entire lower Churchill; it is found in a localized  
14 area.

15           In terms of fish mercury, Wil covered  
16 that one really nicely. So flooding of soil and  
17 vegetation basically causes mercury to accumulate  
18 in the food web, and the amount and timing of that  
19 basically depends on the degree of flooding and  
20 the trophic level of fish you are talking about.

21           So in general, mercury levels peaked  
22 three to nine years after project, and generally  
23 declined since. Many of the areas that we are  
24 talking about, by now, mercury levels have  
25 declined to something approaching background, or

1 the flood level surrounding water bodies.

2           Basically, we are still seeing some  
3 fluctuation. Wolfgang, again, was talking about  
4 some of the fluctuation that has been observed  
5 lately. But overall, it's way lower than it was  
6 back when it was originally flooded.

7           Almost all -- well, not almost; I  
8 think all the large commercial fisheries in  
9 northern Manitoba are on water bodies that are  
10 regulated by Manitoba Hydro. There is  
11 certainly -- there is certainly changes to the  
12 shoreline, changes in the water level.

13           One of the lines I have often used is  
14 even if hydroelectric development isn't that hard  
15 on fish, it can be very hard on fishing. So some  
16 of the impacts we are talking about don't  
17 necessarily impact fish populations so much, as --  
18 like, fish don't care if there is debris in the  
19 water that much, but a gillnet really cares a lot.  
20 And that's basically almost the simplest way to  
21 look at it.

22           Within all -- across the whole system,  
23 fish populations generally appear to be quite  
24 sustainable. Fish are generally healthy. And the  
25 variation that occurs, occurs for a variety of

1 reasons. As a generality, that's true. There are  
2 specific areas that we are aware of where it is  
3 much more complicated than that. Southern Indian  
4 itself is -- certainly doesn't fit into that  
5 generality.

6           Along the shorelines, so shoreline  
7 wetlands were lost, large acreage of just large,  
8 shallow, open-water areas. And either the  
9 peatlands have disintegrated or they just lie on  
10 the bottom, sunk, and not going away particularly  
11 fast. It certainly has an impact on wildlife.

12           And with wildlife, one of the things  
13 we've seen is generally -- even if the populations  
14 don't change, it's a redistribution that occurs,  
15 where -- "I'm not going to live here anymore; I'm  
16 just going to go over here, just a little bit, and  
17 be happier."

18           So you still see all the same  
19 wildlife; you just don't see it where it was.

20           And I think this has already been  
21 talked about many times, but where it was is  
22 actually where most people lived and went. So  
23 that makes it particularly noticeable for them.  
24 It affects their access to it, and it also affects  
25 their sense of loss.

1                   Now, I won't talk anymore, because we  
2 are done here. Any questions?

3                   Any questions?

4                   MS. LEWIS: In terms of the plant  
5 communities along the shorelines, are there any  
6 that would be considered a significant loss  
7 because they are uncommon, not commonly found?

8                   MR. MACDONALD: I think at this point  
9 in the RCEA, most people would share my comment  
10 that that's one of the things that really shows up  
11 that is understudied. Over the 40 years of those  
12 projects, some things have been studied and  
13 monitored extremely well, and other things much  
14 less so.

15                   I'm truly not a riparian plant  
16 specialist. I do the fish thing, really, really  
17 enthusiastically, and at times when I'd like to  
18 really yank my colleagues' chain, I refer to trees  
19 as having two kinds; Christmas trees and the other  
20 kind.

21                   Having said that -- yeah, I know. It  
22 hurts, doesn't it?

23                   MR. DAVIES: It doesn't have to do  
24 with the specific species of plant. One of the  
25 effects of hydroelectric development is -- don't

1 the loss of shoreline plants -- because the ones  
2 that are in the water, stay in the water, have a  
3 lot of invertebrates on it that the fish eat,  
4 provides cover for the fish. And when you have  
5 water levels fluctuating up and down, those plants  
6 generally die off, so it is a fairly important  
7 habitat in some of the reservoirs that gets lost.

8 MR. MACDONALD: Again, I may have  
9 overinterpreted your question just a bit in  
10 answering it. I don't know if I would say that  
11 there are certain rare things that disappeared; I  
12 would say there are just certain types of plant  
13 habitat that don't exist, or don't provide the  
14 same functionality they once did.

15 One of the more noticeable things is  
16 that transition that you get with an eroding  
17 shoreline. If it erodes back to rock, it's not  
18 going to become shoreline marsh; it is not going  
19 to have -- well, it's not going to have any plant  
20 life on it, really. But even if what it did was  
21 erode back, continues to erode, produces one of  
22 those shallow clay banks that I was talking about,  
23 one of the things that's quite noticeable is that  
24 you do not have -- you don't have macrophyte beds  
25 on it, or anything like that; you don't tend to

1 have emergent vegetation along it. It doesn't  
2 form into marsh land unless it is sheltered,  
3 somehow, from wind reach.

4           And if it is sheltered -- and this is  
5 a generality, more based -- on at this point we  
6 are getting into too much detail for something on  
7 the scale of the RCEA. In some places you do see  
8 it come back, and when that happens, it's almost  
9 noticeable, or notable, as an exception: Like,  
10 "How did that happen?"

11           You could really get into a lot of  
12 detail on that, especially if you talk to somebody  
13 who is a collector of traditional medicines and  
14 plants. Their observations become quite  
15 interesting. And it's not just where it is; it  
16 has a lot to do with some of the timing.

17           Again, it is something that we are  
18 certainly aware of. It would be very interesting  
19 to get into more detail, but you are not going to  
20 find it in the RCEA.

21           MR. SOPUCK: First comment: Really  
22 good presentation, Don, and not just because you  
23 are a funny guy.

24           MR. MACDONALD: It's all I got.

25           MR. SOPUCK: There was a lot of meat

1 and a lot of synthesis in it.

2                   The northern parts of South Indian  
3 Lake, the whitefish, in a nutshell, what happened  
4 there with those old, stunted whitefish that  
5 seemed to develop there?

6                   MR. MACDONALD: We can talk about the  
7 symptom very well, and causality much less well.  
8 The basic symptom is the whitefish don't grow fast  
9 enough to reach commercial size. And so, although  
10 there is whitefish there in substantial numbers,  
11 they are not big enough to make any money off of.  
12 Actually, they are not big enough to catch in  
13 commercial-size gillnets.

14                  MR. SOPUCK: But pre-development, that  
15 was the core of the Southern Indian Lake fishery.

16                  MR. MACDONALD: It was the core of the  
17 whole fishery, and it was the core of the whole  
18 fishery for a variety of reasons. It was both  
19 where whitefish were most abundant, and where  
20 whitefish of high quality could be found. And  
21 Southern Indian Lake, the quality question has  
22 driven the fishery almost more than abundance.

23                  And when you are talking fish quality  
24 for commercial fisheries, consistency matters more  
25 than anything. And what I mean by that is that if



1 I'm consistently producing a high-quality  
2 product -- maybe the best example would be  
3 oysters. If I give you all of the raw oysters you  
4 want to eat, for free, but every once in a while  
5 there's going to be a rotten one in it, are you  
6 still going to trust it?

7                   So that's what happens when you have  
8 cysts in whitefish, but it occurs only  
9 intermittently. On average, the whitefish can be  
10 fantastic, but consumers eat them one at a time.  
11 And if the one they got was full of cysts, the  
12 market is done.

13                   So what that means is that Southern  
14 Indian Lake, at times when it couldn't guarantee  
15 that the product that it was shipping was good, it  
16 is mixed in with all of the supply and goes down  
17 to the States, and somebody gets that; that  
18 affects everything that's sold out of Manitoba.

19                   And so at times, a lot of what is  
20 happening in production in Southern Indian Lake  
21 fishery has occurred basically because their  
22 product has become too unpredictable for the  
23 market.

24                   That was true throughout most of its  
25 history. But the last decade, decade and half,

1 that has not been the biggest problem. The  
2 biggest problem has been the fishermen noticed a  
3 change in their catch. They just weren't seeing  
4 big fish anymore. Generally, when you are dealing  
5 with a fishery that's being impacted, and it is  
6 under stress, and you look at the catch index, and  
7 you go, "Wow, there is a lot of fish here" -- or  
8 small fish here, that's great news, because they  
9 are growing up.

10           Except they didn't. Although they  
11 grow enough, they don't grow in weight very well;  
12 the condition is fairly low. What that really  
13 means is that when you take a look at the  
14 percentage of the fish that are out there that are  
15 available to be caught and sold commercially, it  
16 is very tiny. So commercial fishing in the North  
17 Basin has largely become untenable.

18           If you want to talk about reasons and  
19 hypothesis, give me another day, and we can have a  
20 great time. A lot of hypotheses on what would  
21 happen there are not what I think has happened  
22 there.

23           MR. SOPUCK: Okay.

24           MR. MACDONALD: It doesn't mean I'm  
25 right.

1                   Anyone else? Thank you.

2                   MS. BOONE: My name is Rachel Boone,  
3 and I'm with the Environmental Licensing and  
4 Protection Department here at Hydro. And I was  
5 involved on the land assessment for the RCEA.

6                   So, just in continuing where Don left  
7 off, I'm going to talk about some of the regional  
8 or land effects that were summarized in the  
9 integrated summary report.

10                  So in addition to the shoreline  
11 impacts, which Don summarized for one of the  
12 example areas, as per the integrated summary  
13 report, as well as providing an overview of some  
14 of the general findings, hydroelectric development  
15 can also result in physical impacts of the land in  
16 off-system areas.

17                  So, some examples of this would be  
18 vegetation clearing for transmission lines, borrow  
19 area development, access road construction, as  
20 well as some of the permanent infrastructure.

21                  The regional land assessment included  
22 both the shoreline areas, the non-system areas  
23 that were affected by development, as well as the  
24 other off-system land areas.

25                  And as we heard from some of the

1 biologists earlier, like in the presentations on  
2 the land assessment, basically the assessment was  
3 focused on terrestrial regions, which basically  
4 were subdivisions of the ecozones, and within  
5 those, some of the local on-system impacts were  
6 highlighted. There were also some ranges used for  
7 species like caribou and polar bear that are a  
8 little more wide-ranging.

9           And that was how the assessment of  
10 Phase II was done. Basically what we did for the  
11 integrated summary report is we gave an overview  
12 by ecozone, and we tried to give a bit of a  
13 broader picture of what was going on the  
14 landscape, and talk about some of the overall  
15 trends that were observed, and then also overall,  
16 across the entire region of interest, what we saw.

17           That's what I'm going to go over now.  
18 And again, just to highlight what we did do, based  
19 on the importance of some of the on-system  
20 shoreline impacts, we did sort of pull those out  
21 of the land assessment and highlight them within  
22 the water and shoreline section, and then the  
23 section that I will go over now really just talks  
24 about more the high-level overview or conclusions  
25 on the broader regional basis.

1                   So, in general, there were other  
2   developments in addition to hydroelectric  
3   developments that impacted land in the region of  
4   interest. Some examples are municipal  
5   infrastructure, forestry operations, mining  
6   development, material extraction for road  
7   construction.

8                   And in general, development was more  
9   densely concentrated near communities in the ROI,  
10   and also there was a general decrease in  
11   development moving from the southwest portion of  
12   the region. So basically the lower three  
13   ecozones: The boreal shield ecozone, the boreal  
14   plain ecozone, and then, as we moved northeast  
15   towards the Hudson Bay, development generally  
16   declined.

17                  Just some other general study  
18   findings. Effects to land were both on the  
19   shoreline areas and also in some of the inland  
20   areas. The inland areas, some of the impacted  
21   areas were also shoreline, but they were just  
22   off-system areas, as well as upland habitat.

23                  As has already been discussed today,  
24   the effects to the shoreline tended to be more  
25   pronounced than some of the impacts to the land

1 and the surrounding off-system areas.

2           The shoreline impacts have been  
3 concentrated along the large river systems, which  
4 have been historically used by First Nations  
5 community members for transportation and resource  
6 use.

7           I am noticing now -- being one of the  
8 last presenters, I'm noticing how a lot of other  
9 people have used the same pictures that I have. I  
10 apologize for -- that's what you get when you are  
11 the last.

12           I'm going to give a high-level review  
13 of the terrestrial RSC, and try to provide some  
14 overall conclusions from the very detailed base to  
15 assessment. And I'm just giving a summary of  
16 basically what we've provided in the integrated  
17 summary report.

18           So in terms of terrestrial habitat,  
19 overall, the cumulative effects of development on  
20 terrestrial habitat have been low. And as we saw  
21 in Jamie's presentation, there's about a  
22 1 per cent loss of habitat overall in the region.  
23 And as of 2013, when the mapping was done, there  
24 were nearly 170,000 square kilometres still left  
25 undisturbed in the region.

1                    Obviously noteworthy, though, that  
2                    there were considerable changes to most of the  
3                    shorelines along the affected rivers, and there  
4                    were quite large effects on some of the shoreline  
5                    marsh wetlands in certain areas.

6                    In terms of fragmentation, overall, it  
7                    was low across the region of interest, with the  
8                    exception of the land region surrounding Thompson,  
9                    where you generally saw an increased concentration  
10                   of highways and roads and cutlines. So there was  
11                   sort of more development in that region, which was  
12                   one of the exceptions to the overall  
13                   fragmentation.

14                   As touched on earlier by James, some  
15                   of the fragmentation was kept low, as some of the  
16                   features sort of were along pre-existing linear  
17                   features. So it didn't fragment new areas or  
18                   affect other large core areas.

19                   In terms of waterfowl, regionally,  
20                   there was about a 2 per cent loss of waterfowl  
21                   habitat across the region of interest. The  
22                   overall effect on waterfowl populations was low to  
23                   moderate, with some local populations being  
24                   affected. But overall, there doesn't seem to have  
25                   been an apparent effect on the regional waterfowl

1 population.

2                   And this, in part, was due to the fact  
3 that many of the large river systems in the area  
4 were important staging areas for migrating  
5 waterfowl, but not necessarily important breeding  
6 or brood-rearing areas.

7                   Colonial water birds; again, some of  
8 this was touched on by Rob earlier. While some of  
9 the nesting habitat was lost following  
10 hydroelectric development in the ROI, there was  
11 new habitat or new island areas that were created,  
12 and there were also other suitable nesting areas  
13 that remained abundant in the region.

14                   So overall, cumulative effects in the  
15 region were low, and there doesn't appear to have  
16 been an effect on overall populations.

17                   Some of our recent environmental  
18 monitoring that continues in northern Manitoba,  
19 including for the Keeyask Generation Project, does  
20 show that colonial water birds, including gulls  
21 and terns, are still fairly abundant in the  
22 region, both on and off the regular system.

23                   In terms of beaver, there was quite a  
24 variability in terms of suitable habitat along  
25 some of the major river systems prior to



1 development. And in part this was due to the fact  
2 that not a lot of these areas provided suitable  
3 habitat prior to development.

4 For instance, fast-flowing rivers with  
5 steep banks don't actually provide suitable  
6 habitat for beavers, and they are more often found  
7 in the more inland tributaries that might feed  
8 into some of these reach systems.

9 There was a small amount of habitat  
10 loss across the region, but again, there were  
11 large amounts of alternative suitable beaver  
12 habitat present in the surrounding areas, in many  
13 cases which the beaver likely moved into.

14 So in conclusion, there was a loss of  
15 habitat, and we do have some limited population  
16 data that suggests that there were some local  
17 impacts due to development, but overall, the  
18 populations in the region of interest have not  
19 been substantially affected.

20 In terms of moose, Rob gave a very  
21 good overview of this topic, so I will just  
22 summarize it at a high level.

23 In general, populations do -- have  
24 remained stable across the ROI. There are some  
25 areas where we see a decrease in population, and

1 others where we actually see a stable increase in  
2 population, but overall, they are doing well.

3           Regionally, there has been a  
4 1 per cent loss of moose habitat. A lot of this  
5 has been on non-system areas. And changes to the  
6 shoreline, due to development, definitely reduced  
7 valued moose habitat, and it also limited  
8 shoreline access, due to debris accumulation in  
9 many of the areas.

10           So what we are seeing is that moose  
11 activity has shifted to other inland areas, where  
12 there still appears to be plenty of suitable  
13 habitat available.

14           For caribou, for boreal woodland  
15 caribou, as we talked earlier, there are eight  
16 ranges that intersect the region of interest.  
17 Within these, there seems to be a lot of habitat  
18 availability, and use of the habitat within these  
19 ranges doesn't appear to be affected by Hydro  
20 development within them.

21           Regionally, the overall fragmentation  
22 was very low, and a lot of the disturbance that we  
23 do see within these ranges tends to be from fire.  
24 And about 6 per cent of the disturbance in the  
25 ranges, that would be directly attributable to

1 Hydro development.

2                   Coastal caribou: The two herds are  
3 Pen Island and the Cape Churchill herd, and  
4 overall they use a very extensive land area and  
5 move back and forth between Manitoba and Ontario.  
6 In their winter range area, there are very low  
7 levels of fragmentation and disturbance. Most of  
8 the -- about half of the linear features in this  
9 area are due to hydroelectric development, but  
10 overall, the fragmentation is very low. And  
11 currently, both the coastal caribou populations  
12 have stable to growing populations.

13                   And the last group of caribou we  
14 looked at was barren ground caribou. We heard  
15 from Doug that the latest Qamairjuaq herd  
16 population survey does show a downward trend in  
17 the population, but in terms of any effects due to  
18 hydroelectric development, there is about -- I  
19 guess less than 1 per cent of the disturbance in  
20 the winter range can actually be attributable, in  
21 the mapping, to Hydro development.

22                   And lastly, this slide is almost  
23 identical to the one that Rob had, basically for  
24 polar bears; there don't appear to be any links  
25 between the fluctuations of the western polar

1 bear -- sorry, the western Hudson Bay polar bear  
2 population and hydroelectric development. And as  
3 such, there hasn't been any appreciable effect on  
4 this population within the ROI.

5 And that's it for the land summary.  
6 Any questions?

7 MS. ZACHARIAS: This was the point in  
8 the agenda where we were going to open up the  
9 floor for general questions and discussion. So if  
10 there are some additional questions or discussions  
11 that anyone wants to have at this point, this  
12 would be a great time.

13 Carrying on -- okay, we have one. Go  
14 ahead, please.

15 MR. JOHNSON: I would just like to ask  
16 Hydro, through the Province, if you had a magic  
17 wand to wave going forward, what would you be  
18 looking at and assessing in advance of another  
19 time when you will come before a regulatory body  
20 like that, asking for permission to put another  
21 generating station or control structure around  
22 there?

23 And what would you -- if you had the  
24 time and the money and stuff, what would you be  
25 monitoring and assessing for some future

1 recommendation?

2 MS. ZACHARIAS: I won't get into a lot  
3 of specifics, and anyone else can pipe in at some  
4 point. But we have committed to a "next steps"  
5 approach to the RCEA. And Shelley is going to  
6 speak to that in just a moment, but what we are  
7 planning on doing is taking the results from  
8 Phase II, the outcomes from public outreach, as  
9 well as data that we are collecting as part of our  
10 current monitoring program, and any other  
11 licensing initiatives, and take all of that  
12 information as a collective, and start to look at  
13 what makes sense moving forward.

14 So where are the financial gaps?  
15 Where should we be doing initial monitoring?

16 I don't know if anyone wants to add  
17 specifics.

18 MR. BARNES: In the general sense, I  
19 hope you have noticed there's an evolution in the  
20 way we approach these projects, an improvement  
21 over time.

22 One of the big benefits now is we have  
23 compiled this massive data base for this region,  
24 so if there was a project, whether it was  
25 generation or transmission planned for this area,

1 we have a giant step up in terms of understanding  
2 the past, to move forward.

3 MR. DAVIES: Is that enough for future  
4 projects -- the government usually dictates what  
5 Manitoba Hydro needs to study in order to get the  
6 licence for the next facility. And I think some  
7 of the proactive steps that are being taken are  
8 things like the coordinated aquatic monitoring  
9 program, which is getting a better idea of  
10 system-wide effects, and the information in the  
11 RCEA is giving us a retrospective look at what was  
12 happening.

13 So we have something going forward,  
14 and something that's looking back. And I think  
15 the government will give us very specific  
16 directions on what we would need, or what Manitoba  
17 Hydro would need, to develop the next facility.

18 SPEAKER: I know, through the Lake  
19 Winnipeg Regulation final licence hearing, one of  
20 the things that we heard about was shoreline. "We  
21 will work on shorelines, wetlands"; that sort of  
22 thing. And that's sort of acknowledged in terms  
23 of going through RCEA and looking at the results,  
24 that there is more work that could be done in that  
25 regard.

1                   When you are looking at the water, and  
2   that's where a lot of the focus was, but the  
3   shorelines, and how that's changing, and what that  
4   means, that is something that's already been  
5   mentioned through the ROC finalization agreement.

6                   MS. ZACHARIAS: Any other questions or  
7   comments?

8                   SPEAKER: Just following up on a  
9   question that was asked of me, so many hours ago,  
10   related to loadings where sediment is coming in  
11   and being potentially deposited, and that sort of  
12   thing. I forgot to mention, the coordinated  
13   aquatic monitoring program is doing a lot of  
14   additional monitoring in different areas of the  
15   system. And we've got a lot of monitoring that  
16   goes on with things like Keeyask and Wuskwatim.

17                   So CAMP has been trying to work to  
18   look at some more of that recent data, to try and  
19   understand a few of those things better than we  
20   have so far. But that's ongoing work. So that's  
21   sort of stuff that is in process right now. And  
22   we are also -- I wanted to add, we are also doing  
23   some additional studies now, making progress with  
24   working with some of the First Nations on South  
25   Indian Lake, potentially something with Sipiwesk

1 Lake, working with Norway House on Playgreen Lake.

2 So there's things that are ongoing  
3 that are not necessarily reported in the RCEA,  
4 that are following on -- potentially on the map  
5 work and things that we are trying to dig down  
6 into some of these things in more detail.

7 MS. ZACHARIAS: Anybody else?

8 Okay. So if not, I will turn it over  
9 to Shelley Matkowski, from Manitoba Hydro, and she  
10 can do our wrap-up and next steps.

11 MS. MATKOWSKI: Okay. So -- it's been  
12 a lot of information and a long day.

13 We started with Tracey, talking about  
14 the background and the terms of reference for the  
15 whole RCS, and then Allison gave us a little bit  
16 of information on the overall approach to the  
17 RCEA, and each of the technical experts gave us  
18 more detail on the approach and limitations to  
19 each of their study components, as well as, of  
20 course, key findings and new findings resulting  
21 from the Phase II assessment. And finally, the  
22 integrated summary report and the approach that we  
23 presented there.

24 I just wanted to make a few key  
25 points, and they have been mentioned before.



1 Number one is, of course, we had to do a  
2 retrospective assessment here. We haven't been  
3 able to do a classic regional cumulative effects  
4 assessment, just because we are looking back, and  
5 we were limited by the available data and our  
6 ability to compare that pre and post data.

7                   And we had limited time available as  
8 well. We had deadlines to present our reports to  
9 the Minister of Conservation and Stewardship at  
10 the time.

11                   So I feel that we have done a thorough  
12 job, and we have addressed the Clean Environment  
13 Commission's recommendation, the intent of it,  
14 certainly, and the result has been the  
15 consolidation of a huge amount of data and a very  
16 comprehensive collection of information that will  
17 be very, very useful for all Manitobans, as Tracey  
18 said, in the future.

19                   Our next step, of course, is that the  
20 Clean Environment Commission is carrying out a  
21 public outreach for us, that was identified in our  
22 terms of reference. In the terms of reference, it  
23 didn't say exactly how we were going to do our  
24 public outreach, but we've decided, of course,  
25 with the Clean Environment Commission, and we are

1 in the middle of that right now.

2           And following public outreach, we are  
3 committed, again, in the terms of reference, to  
4 the next steps. And as Allison said, we are going  
5 to take the information that we have gathered in  
6 the RCEA Phase I and II reports, and as well as  
7 the information that the CEC provides to us from  
8 the public outreach, and information we have from  
9 our current monitoring program, CAMP, as well as  
10 any planning initiatives that we have ongoing.

11 And we will use all of that information to  
12 consider what our next steps should be.

13           Certainly we haven't decided what  
14 those are, but we have a commitment under the  
15 terms of reference our RCEA will not be complete  
16 until we have the next step done, and we will  
17 actually have to report on what our next steps  
18 will be.

19           And I think that's it. I would like  
20 to thank Allison very much, and the RCEA team as  
21 well, again, for all their work. It is a massive  
22 amount of work that they've been doing, and thank  
23 you very much, everyone.

24           THE CHAIRMAN: I think, on behalf of  
25 the Commission, also I would like to thank the

1 study team. And those that are still here, of  
2 course, you can pass it on to all those who were  
3 here and have left, and to probably many, many  
4 times as many people who have worked on this that  
5 were here today.

6                   So, if you could pass on our  
7 appreciation to them. It is obviously a huge  
8 undertaking, what took place here, and it is an  
9 amazing job they were able to boil it down for us  
10 today. I can speak for myself, and I think for  
11 the others, that it was very beneficial to our  
12 understanding of the reports.

13                   So thank you, and now we have some  
14 work to do.

15                   MS. MATKOWSKI: You're very welcome.  
16 And we do appreciate what you are doing for us.

17                   (Concluded at 4:35 p.m.)

18

19

20

21

22

23

24

25

This document was created with Win2PDF available at <http://www.win2pdf.com>.  
The unregistered version of Win2PDF is for evaluation or non-commercial use only.  
This page will not be added after purchasing Win2PDF.