

MANITOBA CLEAN ENVIRONMENT COMMISSION

BIPOLE III TRANSMISSION PROJECT

PUBLIC HEARING

VOLUME 15

* * * * *

Transcript of Proceedings

Held at Fort Garry Hotel

Winnipeg, Manitoba

THURSDAY, NOVEMBER 1, 2012

* * * * *

APPEARANCES

CLEAN ENVIRONMENT COMMISSION

Terry Sargeant - Chairman
Pat MacKay - Member
Brian Kaplan - Member
Ken Gibbons - Member
Wayne Motheral - Member
Michael Green - Counsel to the Board
Cathy Johnson - Commission Secretary

MANITOBA CONSERVATION AND WATER STEWARDSHIP

Bruce Webb
Elise Dagdick

MANITOBA HYDRO

Douglas Bedford - Counsel
Janet Mayor - Counsel
Shannon Johnson

BIPOLE III COALITION

Brian Meronek - Counsel
Karen Friesen
Garland Laliberte

CONSUMERS ASSOCIATION OF CANADA

Byron Williams - Counsel
Gloria Desorcey
Aimee Craft - Counsel

MANITOBA METIS FEDERATION

Jason Madden - Counsel

MANITOBA WILDLANDS

Gaile Whelan Enns

GREEN PARTY OF MANITOBA

James Beddome

PEGUIS FIRST NATION

Robert Dawson - Counsel

TATASKWEYAK CREE NATION

Ian Cluny
Shaun Keating

APPEARANCES CONTINUED:

PINE CREEK FIRST NATION
Charlie Boucher
Warren Mills
John Stockwell

INDEX OF EXHIBITS

EXHIBIT NO.		PAGE
WPG 1	Mr. Tishinski's presentation	3028
WPG 2	Mr. Rempel's presentation	3028
WPG 3	Ms. Rempel's presentation	3028

INDEX OF PROCEEDINGS

Hydro panel - Caribou and Moose Mr. Schindler and Mr. Rettie	
Cross-examination by Mr. Williams	2837
Cross-examination by Mr. Meronek	2873
Cross-examination by Mr. Beddome	2893
Cross-examination by Ms. Whelan-Enns	2920
Manitoba Wildlands	
Presentation by Will Tishinski	2986
Questions by Panel	2997
Presentation by Judith Hamilton	3002
Presentation by Paul Rempel	3010
Presentation by Shandra Rempel	3016
Presentation by Jim Graham	3023
Presentation by Len Bateman	3025

1 Thursday, November 1, 2012

2 Upon commencing at 1:00 p.m.

3 THE CHAIRMAN: Good afternoon. We've
4 had various technological problems, in the end,
5 all of them relatively minor, or at least
6 solvable, and they appear to be solved for now.
7 So we will reconvene. We are continuing with
8 where we left off yesterday, which was
9 cross-examination of the panel on caribou and
10 moose.

11 And Mr. Williams, it's over to you.
12 And we hope, as we noted yesterday, that your
13 questions are succinct, direct and to the point,
14 and that responses will be the same.

15 MR. WILLIAMS: Were you making an
16 observation, Mr. Chairman, or a hope?

17 THE CHAIRMAN: Probably the latter.

18 MR. WILLIAMS: Thank you, Mr.
19 Chairman. Ms. Desorcey is here this afternoon,
20 and she recognizes that the CEC staff have been
21 putting in a lot of extra hours, so she has asked
22 me to extend, on behalf of CAC Manitoba their
23 appreciation to Ms. Mueller and Ms. Johnson for
24 the late nights and the assistance that they have
25 provided to all participants, which is

1 appreciated.

2 THE CHAIRMAN: Thank you. I can
3 assure you that if they weren't doing that, we
4 wouldn't be here.

5 MR. WILLIAMS: Yes, we have received
6 many late night e-mails, and certainly our clients
7 are appreciative.

8 Good afternoon, Mr. Chair and members
9 of the panel, and good afternoon Dr. Rettie and
10 Mr. Schindler.

11 Dr. Rettie, if I could just ask you to
12 pull out the CAC document, Exhibit 4, and go to
13 the page numbered 53 in the top right-hand corner?

14 MR. RETTIE: I have got it.

15 MR. WILLIAMS: Okay. And Mr. Chair, I
16 may have neglected to give one of these to my
17 client, so I'll be right back.

18 And, Dr. Rettie, this is an excerpt,
19 we can agree that this is an excerpt from your
20 supplemental caribou technical report of August?

21 MR. RETTIE: Yes.

22 MR. WILLIAMS: Okay. And towards the
23 bottom of that page, we see a case study before
24 and after Wuskwatim transmission line construction
25 results; is that right, sir?

1 MR. RETTIE: That's what I see here,
2 yes.

3 MR. WILLIAMS: And this was
4 essentially, in table 29 you are presenting
5 information related to the number of animals
6 involved in the point density analysis for the
7 case study; agreed?

8 MR. RETTIE: Yes, that's what it
9 appears to show.

10 MR. WILLIAMS: Is there any doubt,
11 sir, you were the primary author of this report?

12 MR. RETTIE: I wasn't the primary
13 author of this section at all, no.

14 MR. WILLIAMS: Who was?

15 MR. RETTIE: Mr. Schindler.

16 MR. WILLIAMS: Okay. You did the
17 regression models, we'll come to those in a
18 second.

19 So, Mr. Schindler, if you want to
20 answer these questions, please feel free.

21 Just in terms of the animals involved
22 in the summer pre-construction point density
23 analysis, I would be correct in suggesting that
24 the total was two?

25 MR. SCHINDLER: Yes.

1 MR. WILLIAMS: And if we're going to
2 jump to the winter pre-construction point density
3 analysis, there was a total of three; agreed?

4 MR. SCHINDLER: Agreed.

5 MR. WILLIAMS: And with a sample of
6 that size, we can agree that the samples would
7 have very high standard errors because of their
8 size; agreed?

9 MR. RETTIE: No, I wouldn't think so.
10 A smaller sample should have a fairly tight
11 confidence interval. When you're down to two or
12 three it's --

13 MR. WILLIAMS: Sir, you wouldn't agree
14 then that you would have very large confidence
15 intervals?

16 MR. RETTIE: Not intuitively, I would
17 have to see the data. But with only two samples,
18 if they were similar, they'd be very small.
19 Normally, with an increasing sample size you would
20 see a smaller confidence interval, but when you're
21 down to two, it could be huge, it could be tiny.

22 MR. WILLIAMS: Just following that
23 along, sir, am I to take it from your answer that
24 you would recommend only using a sample size this
25 small?

1 MR. RETTIE: No, I wouldn't.

2 MR. WILLIAMS: And why not, sir?

3 MR. RETTIE: Because you may find that
4 you have biased data. If there is a large
5 confidence interval, then the imprecision of the
6 data would be captured by that large confidence
7 interval. But if you have only two individuals,
8 if they were doing something similar, it may
9 completely obscure any variation. So, you know,
10 if it was six or eight, I think you would be
11 getting a more representative confidence interval.
12 When you're down to two, you have almost skipped
13 to the point where you don't have a sample
14 anymore.

15 MR. WILLIAMS: Okay. You would not be
16 inclined to rely upon a sample of this size, sir?

17 MR. RETTIE: I would consider a sample
18 of two almost anecdotal information.

19 MR. WILLIAMS: Thank you for that.

20 Now, back to page 47 in this same
21 document, CAC exhibit number 4. And Dr. Rettie
22 this is more your work here, is that agreed?

23 MR. RETTIE: Yes, it is.

24 MR. WILLIAMS: And we don't need to go
25 through these pages in burdensome detail, but in

1 this section you are presenting the logistic
2 regression models employed to predict calving and
3 winter habitat selection; agreed?

4 MR. RETTIE: Yes, agreed.

5 MR. WILLIAMS: And just for
6 continuity, if we flip over a couple of pages for
7 a second, page 51 in the top right-hand corner,
8 there you are presenting your linear feature
9 effects analysis; agreed?

10 MR. RETTIE: Sorry, yes, where it
11 begins at section 3.5?

12 MR. WILLIAMS: Yes, sir?

13 MR. RETTIE: Yes, that's correct,
14 that's linear feature analysis.

15 MR. WILLIAMS: Okay. Now back to the
16 logistic regression model, can you identify for my
17 client where in your August 2012 report you
18 present the measure of within sample forecasting
19 accuracy?

20 MR. RETTIE: Sorry, the measure of
21 within sample?

22 MR. WILLIAMS: Forecasting accuracy?

23 MR. RETTIE: I don't present that.

24 MR. WILLIAMS: Was it conducted, sir?

25 MR. RETTIE: No. Sorry, that

1 terminology doesn't ring a bell with me.

2 MR. WILLIAMS: Okay. Well, let me try
3 it in a different way. For approaches like
4 logistic regression, can we agree that a measure
5 of in sample forecasting accuracy might be a
6 pseudo R squared? Are we in better grounding now,
7 sir?

8 MR. RETTIE: Sorry, could you repeat
9 your question, please?

10 MR. WILLIAMS: Sir, when I am using
11 the term within sample forecasting accuracy, I am
12 referring to methodologies to test how well your
13 models can be expected to perform. And I'm
14 suggesting to you that in the context of logistic
15 regression, one measure of in sample forecasting
16 accuracy would be a pseudo R squared measure?

17 MR. RETTIE: You may be correct.
18 These are log likelihood models, and resource
19 selection functions where their fit is assessed
20 not in an absolute sense, but rather it is in a
21 relative sense. So of all of the candidate models
22 that are put forth, this presents the one that is
23 the best fit, but there is not an evaluation of
24 whether or not that is an excellent fit, or how
25 close that fit is. It's, of all the candidate

1 models presented, the ones that come out at the
2 top are the ones that fit the data best.

3 MR. WILLIAMS: And the limitation of
4 this approach is that it's not an evaluation of
5 the absolute fit?

6 MR. RETTIE: That's correct. This is
7 a standardized approach for a wildlife habitat
8 selection analyses in this day and age.

9 MR. WILLIAMS: And am I correct in
10 suggesting that what you are attempting to do with
11 the logistic regressions for calving and habitat
12 selection, you are suggesting that the
13 characteristics that affect where the caribou
14 calves, the caribou's calf will choose their
15 habitat are not the characteristics where the
16 transmission line are located; is that what you're
17 trying to do?

18 MR. RETTIE: I'm sorry, can you repeat
19 your question? There seems to be a double
20 negative in there and I got lost.

21 MR. WILLIAMS: In terms of what you
22 are attempting to do with this analysis, the
23 logistic regressions for calving and habitat
24 selection, is the conclusion you are drawing that
25 the characteristics that affect where caribou's

1 calf will choose their habitats are not the
2 characteristics where the transmission lines are
3 located?

4 MR. RETTIE: No, that's not the
5 objective of this.

6 MR. WILLIAMS: Okay. Sir, in front of
7 you is slide 60, on the screen for the benefit of
8 the panel is slide 60, roughly, from your
9 presentation yesterday; agreed?

10 MR. RETTIE: Yes.

11 MR. WILLIAMS: And in our discussion
12 yesterday, we agreed that your lambda estimates of
13 caribou evaluation range annual growth were based
14 on survival and recruitment estimates; agreed?

15 MR. RETTIE: The lambda rates based on
16 survival and recruitment, yes.

17 MR. WILLIAMS: And when we look at the
18 annual recruitment information presented in this
19 table, am I correct in suggesting to you, sir,
20 that this is drawn from table 31 of your
21 August 2012 report?

22 MR. RETTIE: Give me a moment and I'll
23 look that up.

24 MR. WILLIAMS: Just for the panel,
25 it's not in the materials.

1 MR. RETTIE: Yes. This is table 31
2 from the August 2012 supplemental report, I agree.

3 MR. WILLIAMS: And focusing on the
4 September headlines for the columns versus the
5 winter headlines, am I correct in suggesting to
6 you, sir, that in essence the September 2010 and
7 September 2011 data is from your aerial survey of
8 radio collared female caribou with calves divided
9 by the number of adult females with collars at
10 that time, is that right, sir?

11 MR. RETTIE: Yes, all of the animals
12 that were observed, all of the radio collared
13 animals that were observed, this is the proportion
14 of them that had calves with them, correct.

15 MR. WILLIAMS: And that's the
16 September column.

17 MR. RETTIE: Those are the September
18 columns, correct.

19 MR. WILLIAMS: And when we look at the
20 winter data, we can agree that that is from the
21 winter range surveys of random portions of certain
22 selected evaluation ranges; agreed?

23 MR. RETTIE: I don't know the -- yes,
24 agreed.

25 MR. WILLIAMS: And so when we look at

1 the evaluation ranges set out on the left-hand
2 side of that table, we have agreed previously
3 there is no data related to the annual recruitment
4 presented with regard to Reed Lake; agreed?

5 MR. RETTIE: That's correct.

6 MR. WILLIAMS: And then in your
7 discussion yesterday you identified Charron Lake,
8 C-H-A-R-R-O-N Lake, as your control range; agreed?

9 MR. RETTIE: Agreed.

10 MR. WILLIAMS: And am I correct in
11 suggesting to you, sir, that with regard to the
12 control range, you had no data for three of the
13 four time periods?

14 MR. RETTIE: Correct.

15 MR. WILLIAMS: And for Harding Lake,
16 of course, we're missing, we can agree, the winter
17 survey data; agreed?

18 MR. RETTIE: Yes, that's what the
19 table shows.

20 MR. WILLIAMS: Okay. Now, directing
21 your attention in terms of evaluation ranges, and
22 I'm going to brutalize this pronunciation for
23 which I hope people will forgive me, the
24 Wimapedi-Wapisu evaluation range, if we focus on
25 that line, sir, for the September 2011 versus the

1 winter 2011-2012, we can see some numerical
2 differences between the results from your radio
3 collared survey and from the random survey from
4 the winter of 2011-12; agreed?

5 MR. RETTIE: Yes, agreed.

6 MR. WILLIAMS: Would I be correct in
7 assuming that you have undertaken statistical
8 tests of difference between your results for radio
9 collared animals and the random winter range
10 surveys, and just simply not presented them?

11 MR. RETTIE: No, I didn't do those
12 calculations.

13 MR. WILLIAMS: Sir, by way of
14 undertaking, could you provide the sample sizes
15 underlying table 31?

16 MR. RETTIE: Yes, I can. Which cells
17 would you like me to provide sample sizes for?

18 MR. WILLIAMS: We'll take them all,
19 sir?

20 MR. RETTIE: You will take them all?
21 Yes, absolutely.

22 MR. WILLIAMS: Now, sir, in terms of
23 radio collaring, and certainly my clients aren't
24 familiar with the technique, is there some
25 mechanism used to reasonably assure oneself that

1 there is a random selection of animals?

2 MR. RETTIE: It's usually random
3 contact. When you're conducting a survey, it's by
4 encounter. So you are flying, you observe a group
5 of animals, you find one that you can cut out of
6 the group to capture. That's how you get your
7 random sample.

8 MR. WILLIAMS: Okay. Now, on your
9 annual recruitment slide, you cite an Alberta
10 study towards the bottom?

11 MR. RETTIE: Yes.

12 MR. WILLIAMS: Can you tell me how
13 many years that survey was conducted for in
14 Alberta?

15 MR. RETTIE: Not off the top of my
16 head, I can get that to you very quickly, though.

17 MR. WILLIAMS: Sir, I don't require it
18 today, sir, but if you could just do that by
19 undertaking?

20 MR. RETTIE: Sure. If you can give me
21 just a moment I can ask and have that for you in a
22 couple of minutes.

23 MR. WILLIAMS: And sir, I don't need
24 it verbally, but the citations for both the
25 Alberta and Saskatchewan surveys you presented,

1 could you provide those as well by way of
2 undertaking?

3 MR. RETTIE: Absolutely.

4 MR. WILLIAMS: I just want to turn to
5 calculated survival rates, and I don't have a
6 particular reference, but am I correct in
7 suggesting that within the Bipole III study area,
8 there was roughly 143 collars initially deployed?
9 It's probably page 24 of your report, sir, if
10 you're looking?

11 MR. RETTIE: Yes, that's what the
12 table shows.

13 MR. WILLIAMS: And of that total, 31
14 have failed?

15 MR. RETTIE: Apparently so, yes.

16 MR. WILLIAMS: And then 18 have
17 stopped working as a result of caribou mortality?

18 MR. RETTIE: Well, the animals died.
19 It doesn't necessarily mean the collars stopped
20 working. The data stopped being meaningful at
21 that point.

22 MR. WILLIAMS: I shouldn't laugh, this
23 is a species at risk. We're not criticizing your
24 collars, sir.

25 And then 22 collars were removed?

1 That's not that important sir, let's move on.

2 Strike that question.

3 Now, as I understand it for your
4 August 2012 caribou supplemental report, the
5 assumption you have made is that all failed
6 collars represent live animals; agreed?

7 MR. RETTIE: Yes, I believe that is
8 the assumption I made, yes.

9 MR. WILLIAMS: And so we can agree
10 that the consequence of assuming that all failed
11 collars represent live animals is that the
12 calculated survival rates are maximum values?

13 MR. RETTIE: Agreed.

14 MR. WILLIAMS: And so if any collars
15 failed at the time of death, then the associated
16 survival rates will be overestimated?

17 MR. RETTIE: That's what it says in
18 the report, yes.

19 MR. WILLIAMS: Mr. Schindler, you
20 don't need to turn here, and I'm only going to
21 talk about moose for a second. But in terms of
22 your -- in your moose slide show yesterday, and in
23 your description of habitat loss with regard to
24 moose -- if you're looking for reference, it was
25 about slide 52 -- you made the point that habitat

1 is not lost, but altered and kept at an early
2 state of development. Do you remember that point,
3 sir?

4 MR. SCHINDLER: Yes, I do.

5 MR. WILLIAMS: Now in terms of
6 woodland caribou, going back to the caribou,
7 leaving the moose, I did not see a similar
8 discussion yesterday, but would you make that same
9 observation, namely, that the habitat will be kept
10 at an early stage of development?

11 MR. SCHINDLER: That would depend on
12 the type of habitat that is being traversed. If
13 we were going through bogs and lowlands and fens,
14 there would be little change to the environment.
15 However, in more upland coniferous sites, that
16 would be the case, yes. And I would note that
17 it's quite variable across caribou ranges, but
18 there is a lot of bog and wetland habitats that
19 the environment doesn't change. Those are late
20 successional fen type environments.

21 MR. WILLIAMS: Fair enough, sir, but
22 there is also a significant amount of upland
23 coniferous?

24 MR. SCHINDLER: That would be correct.

25 MR. WILLIAMS: And so as I understand

1 your answer, sir, with regard to the woodland
2 caribou, when we leave aside the bogs and we get
3 to the upland coniferous, then it would be your
4 expectation that that habitat would be kept at an
5 early stage of development?

6 MR. SCHINDLER: That would be correct.

7 MR. WILLIAMS: Now, are we in
8 agreement that currently the most extensively used
9 tree control method on northern transmission line
10 right-of-ways is the winter shearing method, sir?
11 I see some shrugs.

12 MR SCHINDLER: I didn't quite -- the
13 clearing? I didn't quite understand what you said
14 there, I'm sorry.

15 MR. WILLIAMS: Leaving aside the
16 initial clearing, sir, when we're talking about
17 maintaining --

18 MR. SCHINDLER: Oh, the initial
19 clearing?

20 MR. WILLIAMS: No. Leaving aside the
21 initial clearing, when we're talking about
22 maintaining that upland coniferous in early stages
23 of development, would it be your understanding
24 that the most extensively used tree control method
25 on northern transmission line right-of-ways is the

1 winter shearing method?

2 MR. SCHINDLER: That would not be my
3 understanding. I think there's a whole variety of
4 types of clearing that occurs in different types
5 of habitats. We might refer to that new
6 information that was just provided. I'm not sure
7 of the monitoring and the long-term maintenance,
8 they are different activities. Some of it is
9 selective clearing of trees. It's quite variable,
10 and I would not have that complete sweep of
11 information with me, in terms of the types of
12 sites that they are perhaps sheared, or perhaps
13 sites that maybe danger trees are removed
14 occasionally.

15 MR. WILLIAMS: Sir, I'm focusing on
16 maintenance.

17 MR. SCHINDLER: Yes.

18 MR. WILLIAMS: And you're not aware
19 whether or not winter shearing is the predominant
20 method of maintenance?

21 MR. SCHINDLER: Honestly, I wouldn't
22 be able to tell you what the dominant technique is
23 on each and every one of those types, but I can
24 tell you from experience, looking at the types of
25 lines like Wuskwatim and other transmission lines,

1 that as you go into the north, the frequency of
2 clearing and maintenance is much, much less than
3 you would find in the south in areas where there
4 is a lot of hardwood and so on. So the frequency
5 of those types of activities is much, much less
6 than you would find in the southern portions.

7 MR. WILLIAMS: For the purposes of
8 your report, would you have had occasion to
9 examine the frequency of those activities, sir?

10 MR. SCHINDLER: We did specifically
11 examine the frequencies of those prescriptions.

12 MR. WILLIAMS: We'll probably get into
13 that with the Hydro panel. But just while I have
14 you, sir, in terms of winter shearing, are you
15 familiar with that technique, sir?

16 MR. SCHINDLER: Yes, I am.

17 MR. WILLIAMS: And as I understand it,
18 part of it involves wide track crawler tractors
19 traversing back and forth along right-of-way
20 sections to shear off the woody growth at the
21 frozen ground surface. Is that an apt
22 description, sir?

23 MR. SCHINDLER: That sounds like a
24 description, yes.

25 MR. WILLIAMS: Now, with regard to CAC

1 Exhibit 4, Mr. Schindler, if I could ask you to
2 turn to page 17?

3 MR. SCHINDLER: Okay.

4 MR. WILLIAMS: And this is your report
5 from the boreal woodland caribou workshop; agreed?

6 MR. SCHINDLER: Agreed.

7 MR. WILLIAMS: And in the bottom
8 left-hand corner beside the star, you'll see that
9 one of the outcomes from the consensus workshop
10 was that a proposal that mitigation strategy
11 should be investigated for assessing modes of
12 access for vegetation management to minimize
13 potential increased use by predators as a result
14 of snowpack. Timing of maintenance during the
15 frost free period would also be considered.

16 Do you see that, sir?

17 MR. SCHINDLER: Yes.

18 MR. WILLIAMS: Now, in terms of your
19 work for Manitoba Hydro have you undertaken any
20 research in that regard?

21 MR SCHINDLER: I think in terms of
22 this particular recommendation in this report, I
23 mean, it's based on our understanding of the types
24 of activities that could create issues for boreal
25 caribou. And what this recommendation is to, is

1 minimization of snowpack, for example, and trying
2 to maintain those vegetation communities, less
3 suitable for other species that may attract wolves
4 or predators. And these are very well-known facts
5 that you can mitigate through timing. For
6 example, conducting maintenance patrols in late,
7 late winter, after the winter, at the very end of
8 the winter season, to eliminate any snowpack
9 during the core winter period. So specific
10 research on the effects of trying to determine
11 whether or not snowpack versus un-snowpack, that
12 type of research has not been conducted.

13 MR. WILLIAMS: Okay. Thank you.
14 Would I be correct in assuming that in your
15 cumulative effects assessment report, as produced
16 in August of 2012, that you did not scenario test
17 or stress test different mechanisms of vegetative
18 management as it related to the caribou?

19 MR. SCHINDLER: That was not the
20 intent of the cumulative effects analysis, no.

21 MR. WILLIAMS: Okay, thank you.

22 MR. SCHINDLER: But I would add that
23 the 500 metre disturbance regime that is assessed
24 or used by Environment Canada is a 500 metre
25 disturbance range associated for linear

1 development, which would likely include the
2 effects of all kinds of disturbance. And that's
3 the 500 metre threshold for all linear
4 disturbance. So I think any effects of
5 maintenance or the type of activity would be
6 included within that cumulative effects
7 assessment.

8 MR. WILLIAMS: Thank you for that
9 answer. Now, this goes back -- and Mr. Chairman,
10 I don't have many more questions, I do have a few.
11 This goes back to the route selection,
12 Mr. Schindler, so I assume it's you rather than
13 Dr. Rettie, but Dr. Rettie, you are always welcome
14 to chime in.

15 Mr. Schindler, in terms of the
16 preliminary preferred route, I am correct in
17 suggesting to you that that was considered to be
18 the optimal route from a caribou perspective for
19 all three ranges; agreed?

20 MR. SCHINDLER: You would be correct
21 in that.

22 MR. WILLIAMS: And so the final
23 preferred route through Wabowden was not your
24 preferred alternative. We can agree on that as
25 well?

1 MR. SCHINDLER: We can agree on that,
2 yes.

3 MR. WILLIAMS: And now we have the
4 revised Wabowden route which you commented upon
5 yesterday; agreed?

6 MR SCHINDLER: Yes.

7 MR. WILLIAMS: Now, yesterday you
8 presented a comparison between the revised
9 Wabowden route and the final preferred route;
10 agreed?

11 MR. SCHINDLER: Yes.

12 MR. WILLIAMS: Have you prepared a
13 similar analysis between the revised Wabowden
14 route and the preliminary preferred route?

15 MR. SCHINDLER: We had done a
16 preliminary assessment, but the final version of a
17 cumulative effects analysis is in progress. But
18 we can say that -- I don't have the precise
19 number, but the net effect of the revised FPR is
20 much less than the FPR.

21 MR. WILLIAMS: I've got that point,
22 sir. I'm taking you back now to your preliminary
23 preferred route, which you described as optimal
24 for all three ranges. Have you done a comparison
25 between the revised Wabowden route and the

1 preliminary preferred route through Wabowden?

2 MR. SCHINDLER: That would be part of
3 our assessment to look at both the preliminary
4 preferred route and the revised route, as well as
5 the FPR, and do a comparison. That has not been
6 done yet, we are in that process.

7 MR. WILLIAMS: When will those results
8 be available, sir?

9 MR. SCHINDLER: They will be, I
10 suspect by Monday.

11 MR. WILLIAMS: Okay. At this point in
12 time, sir, and you may wish to hold off until
13 Monday, but are you in a position to comment in
14 terms of whether the revised Wabowden route is now
15 the optimal route?

16 MR. SCHINDLER: It appears to be a
17 much better selection in terms of the routing
18 along existing linear features. And in discussion
19 with Manitoba Conservation, there seems to be some
20 consensus that this is a good route. And the
21 precise assessment relative to calving habitat is
22 very -- intuitively, without having the numbers,
23 I'll be honest with you, that there could be some
24 hair splitting, but they would likely be very
25 close with, you know, I don't want to say that

1 one's going to be absolutely better than the
2 other. Based on the parameters that we have
3 assessed looking at the intersection of calving
4 habitat as identified through the RSF modeling,
5 intersection of corridor area, those types of
6 things, both routes do a very good job. The
7 preliminary preferred route and the revised route
8 go a long way to avoid some of those particular
9 issues that I had identified in the EIS and within
10 the revised technical report. So...

11 MR. WILLIAMS: We will await your
12 final analysis on Monday.

13 MR. SCHINDLER: Yeah.

14 MR. WILLIAMS: Now, in terms of a
15 couple of short snappers, to steal the language of
16 Mr. Dawson or Mr. Madden, the lifespan of a
17 caribou, what's the average lifespan of a caribou,
18 sir?

19 MR. RETTIE: Average is -- that's a
20 difficult thing to put my finger on. Going from
21 birth, most animals are dead before they reach a
22 year. So I would say an animal that reaches adult
23 age on average probably makes it to six or eight,
24 but they routinely live beyond ten, into their mid
25 teens.

1 MR. WILLIAMS: Just so I understand
2 you, post recruitment, you're suggesting that the
3 average age that caribou live is six to eight
4 years?

5 MR. RETTIE: That's about right.

6 MR. WILLIAMS: Okay. And in terms of
7 moose, what are we talking about in terms of a
8 lifespan?

9 MR. RETTIE: For female moose, maybe a
10 little bit older, and for male moose -- actually
11 for male caribou, it's a little bit different as
12 well. Their lifespan won't be as long.

13 THE CHAIRMAN: Will not be as long?

14 MR. RETTIE: Will not be as long.
15 Males mature later and they have a short life
16 after that.

17 MR. WILLIAMS: Are you suggesting it's
18 in that same six to eight years time span?

19 MR. RETTIE: For moose it might be a
20 year longer, a little bit longer.

21 MR. WILLIAMS: Thank you. Dr. Rettie,
22 we're going to come to in just one second, I
23 apologize. One last question for Mr. Schindler,
24 then over to you, Dr. Rettie. Dr. Rettie while
25 you're looking, you can pull up page 54 of your

1 August report. That's not in the materials.

2 But for you, Mr. Schindler, if I could
3 direct you to the CAC Exhibit 4, page 17 in the
4 top right-hand corner, which is again, we can
5 agree, an excerpt from your report from the
6 workshop; agreed?

7 MR. SCHINDLER: Yes.

8 MR. WILLIAMS: And under conclusions
9 on the right-hand side, you can see it's kind of
10 squared, you will see that one of the conclusions
11 of the report was:

12 "Due to the multiple vectors of
13 decline and the time lag response of
14 boreal caribou populations to
15 disturbance, it is essential that
16 long-term monitoring of populations
17 through recruitment and mortality
18 studies be undertaken to understand
19 the cumulative effects of linear
20 development on boreal caribou
21 recruitment and mortality."

22 I have presented that accurately, sir?

23 MR. SCHINDLER: That was the result of
24 the workshop, the collective views of the experts,
25 yes.

1 MR. WILLIAMS: Now, Dr. Rettie,
2 turning over to you, just at a high level, without
3 asking for elaboration, your cumulative effects
4 assessment, your approach to it in your report,
5 involve both determining the existing disturbance
6 regime and the potential disturbance regime in
7 what you call the foreseeable future; agreed?

8 MR. RETTIE: I'm going to pass that
9 over to Mr. Schindler.

10 MR. WILLIAMS: Mr. Schindler, my
11 apologies.

12 MR. SCHINDLER: That's okay. I hate
13 to say this, but I think the answer is yes. I was
14 reading this while you were talking to Mr. Rettie,
15 so you kind of tricked me there.

16 MR. WILLIAMS: And for the purposes of
17 the August 2012 study, am I correct in suggesting
18 that the foreseeable future, and I'm quoting
19 directly here,

20 "...was deemed five years by Manitoba
21 Hydro."

22 MR. SCHINDLER: That is right.

23 MR. WILLIAMS: Now, going through your
24 report from the workshop with your experts, would
25 I be correct in suggesting that your panel of

1 experts, including persons like Dr. Schaefer, did
2 not recommend that the appropriate time frame for
3 evaluating the potential disturbance regime was
4 five years?

5 MR. SCHINDLER: I think the two are in
6 slightly different context. However, I think the
7 long-term monitoring is required, as opposed to
8 assessing over a five-year period. The two are
9 not linked in my opinion. I would suggest that
10 the long-term monitoring is something that you can
11 assess cumulative effects over a long period of
12 time. The assessment of cumulative effects in the
13 context of the analysis that we did was based on
14 habitat change within a foreseeable future that we
15 could predict. So I see the type of link that
16 you're making, but the two are quite different.

17 MR. WILLIAMS: Let's go back to the
18 words, when you say deemed five years by Manitoba
19 Hydro, was that Hydro's choice or your choice,
20 sir?

21 MR. SCHINDLER: That was a decision
22 that was made collectively among a number of
23 specialists on the Hydro team, and five years was
24 the number that was deemed to be reasonable in
25 terms of looking forward. The one thing that I

1 can suggest to you, that some of the data that was
2 used for the cumulative effects analysis was based
3 on things like 20-year management plans for
4 forestry, for example. And we used the maximum
5 size of those areas within those 20-year plans,
6 for example, and other predictions. But it could
7 have gone further, but in essence, it was
8 conducted for that time period.

9 MR. WILLIAMS: It could have gone
10 further, sir, and you wouldn't disagree that other
11 specialists might indeed recommend considerably
12 further than five years, given the nature of this
13 species?

14 MR. SCHINDLER: I think if you had the
15 data that you could forecast out into many, many
16 years, but those data were not available. And the
17 reasonable data that was there was for that
18 five-year period. And it likely wouldn't have
19 changed very much had we gone out to 10 or 15
20 years. The footprint, particularly the major
21 footprint in those areas is forestry, and they
22 tend to be quite concentrated and located within
23 areas that are defined within their long-term
24 planning horizons, plus we buffered all of the
25 trails and all of the infrastructure in those

1 areas that would likely include disturbance well
2 into the future. So...

3 MR. WILLIAMS: Now, just remind me,
4 fire was not part of your potential disturbance
5 regime looking forward?

6 MR. SCHINDLER: That is correct.

7 MR. WILLIAMS: And recognizing your
8 observations in terms of data, it certainly would
9 have been possible to scenario test or stress test
10 beyond that five-year period using some plausible
11 assumptions?

12 MR. SCHINDLER: Well, we certainly
13 considered looking at modeling fire, but modeling
14 a fire is a very complex undertaking. But having
15 said that, we did evaluate the fire regimes within
16 the various eco districts within each of the
17 evaluation ranges. And the predictability of fire
18 is, I mean, you cannot predict. There's fire
19 suppression. That is also a factor in terms of
20 the size of fires. We could have a really bad
21 fire here and, for example, there are some large
22 fires in the Naosap range that that essentially,
23 you know, pretty much burnt a huge part of the
24 Naosap range. I can't remember exactly which
25 year, but it was around the summer of '11. I can

1 get you the date of that fire. But, I mean, there
2 are occasions where fire can consume almost a
3 total caribou range. I don't know, Jim, if you
4 know of any other examples?

5 MR. RETTIE: I am familiar with fires
6 within hundreds of thousands of hectares.

7 MR. WILLIAMS: And so recognizing that
8 risk, you chose not to model it moving forward?

9 MR. SCHINDLER: Again, modeling fire
10 and predicting is an undertaking that we did not
11 do, in the context of human development and
12 caribou persistence using the cumulative effects
13 approach that we undertook.

14 MR. WILLIAMS: Okay. Now, sir, in
15 preparation for your cumulative effects
16 assessment, did you review the work of Dr. Dunkers
17 in terms of the MacKenzie Valley Pipeline?

18 MR. SCHINDLER: No, I did not.

19 MR. WILLIAMS: Okay. Now let's just
20 talk about Reed Lake for a second. Am I correct
21 in suggesting that after your CEA, or cumulative
22 effects assessment, the Reed Lake evaluation
23 regime remains the most disturbed with the largest
24 cumulative disturbance increasing from 42 percent
25 to 44 percent?

1 MR. SCHINDLER: That is correct.

2 MR. WILLIAMS: And based on the
3 thresholds identified in the draft national
4 recovery strategy of Environment Canada, would I
5 be correct in describing the populations in the
6 Reed Lake range based upon your CEA as likely as
7 not to be self-sustaining?

8 MR. SCHINDLER: Are you referring to
9 the draft national strategy ranking for --

10 MR. WILLIAMS: Yes.

11 MR. SCHINDLER: I believe you are
12 correct.

13 MR. WILLIAMS: And that's without
14 taking into account prospective fires, sir, for
15 Reed Lake?

16 MR. SCHINDLER: Their assessment would
17 not have included recent fires, correct.

18 MR. WILLIAMS: Okay. Now, this is
19 going to probably be a tortured analogy, not my
20 first, Mr. Schindler, but if we were to draw an
21 analogy between the tolerable level of habitat
22 disturbance on this range and a water bucket, does
23 this not suggest that the bucket is almost full?

24 MR. SCHINDLER: Again, I think we
25 explained the thresholds as described, and it's

1 not a draft strategy, it's actually an approved
2 strategy that has been published by Environment
3 Canada. It's a guideline. The 35 percent is sort
4 of seen as a threshold, where uncertainty
5 increases as you move beyond that 35 percent into
6 higher degrees of disturbance. It's not just a
7 blanket disturbance relative to sustainability,
8 there are other factors that include the
9 population size, for example. And those
10 thresholds are understood even in the strategy
11 that they provide a guideline, but they are not --
12 it is not a critical solid threshold that is the
13 determinant factor in whether a population is
14 sustainable. It starts to raise some questions as
15 to whether the population will be under stress.

16 And the strategy also puts back to
17 Manitoba Conservation to develop action plans for
18 those particular ranges. And Manitoba, the
19 Province of Manitoba will have the responsibility
20 for developing those action plans, and I believe
21 they are doing it now, and working with all the
22 various stakeholders and land users in those
23 areas, to look at management plans and strategies
24 that do reflect caribou conservation, minimizing
25 effect on core winter areas. There's a lot of

1 things they can do. For example, disturbance
2 within core areas is much different than
3 disturbance in areas that are not being used.

4 MR. WILLIAMS: Mr. Schindler, just
5 mindful of the time, and I always hate to
6 interrupt, but I am going to. You didn't like my
7 water bucket analogy? I was suggesting to you
8 it's almost full. You don't want to walk down
9 that path with me, sir?

10 MR. SCHINDLER: I would suggest that
11 the sustainability of the Reed Lake range, there
12 has been some -- I would put this to
13 Conservation -- there are overlapping, and we
14 talked yet about the lumping and splitting of
15 ranges. And there's also another dynamic that
16 caribou populations are not static, so that line
17 on the map is not there forever.

18 MR. WILLIAMS: Sir --

19 MR. SCHINDLER: And this can get moved
20 around, and depending on where you draw your
21 boundary, you can really change those threshold
22 values.

23 MR. WILLIAMS: I'm going to try and be
24 respectful and not interrupt, but I would ask you
25 to respond. In terms of other indicia, we have

1 already agreed that we don't have the lambda data
2 for this herd?

3 MR. SCHINDLER: Yeah, that's correct.

4 MR. WILLIAMS: Just one last question,
5 sir. And we're leaving woodland caribou and we're
6 moving to Pen Islands. And you'll recall it's
7 roughly around slide 12, I don't think you need to
8 turn there, but it's near the front of your
9 presentation, sir. You presented population
10 estimates for Pen Islands, and the second last
11 estimate you presented, you presented a figure for
12 1994 of 11,000; agreed?

13 MR. SCHINDLER: Yes.

14 MR. WILLIAMS: And then for 2010, you
15 don't provide a figure, you just say lower. Do
16 you have that figure, sir?

17 MR. SCHINDLER: No.

18 MR. WILLIAMS: Could you undertake to
19 provide it?

20 MR. SCHINDLER: That comes from a
21 report, Abraham 2012, I'd be very happy to provide
22 you with the report. And it discusses the
23 population decline of calving areas, and it talks
24 about calving population estimates. It's a
25 different type of estimate. But they are

1 indicating that there's lower use of calving
2 areas, the calving counts on the coast are lower.
3 So it's not necessarily -- but they suggest that
4 the population is maybe declining.

5 MR. WILLIAMS: Fair enough, sir. You
6 are undertaking to provide me with the actual
7 study; agreed?

8 MR. SCHINDLER: Yeah.

9 MR. WILLIAMS: And, Mr. Chairman, I
10 skipped a couple questions but I think I came in
11 pretty close to schedule.

12 THE CHAIRMAN: Not bad at all,
13 Mr. Williams. Thank you very much.

14 Mr. Meronek?

15 MR. MERONEK: Gentlemen, this isn't a
16 sign that it will be a long time.

17 Good afternoon, my name is Brian
18 Meronek, and I'm here on behalf of the Bipole III
19 coalition. And I can assure you that I'm nicer
20 than either Mr. Madden or Mr. Williams.

21 THE CHAIRMAN: Will we have a vote
22 after?

23 MR. MERONEK: We'll get some
24 preliminary matters out of the way. Do you mind
25 if I call you Mr. Rettie?

1 MR. RETTIE: I don't mind at all.

2 MR. MERONEK: It's not to diminish my
3 respect for your experience, it's just that unless
4 you can diagnose me or operate on me, I just don't
5 want to refer to you as a doctor. And likewise,
6 if it was equal opportunity, I'd have to call
7 Mr. Schindler Master Schindler, and I don't want
8 to do that either.

9 MR. RETTIE: So you're not a jurist
10 doctor then, I take it?

11 MR. MERONEK: Levity aside, could you
12 just put up on the screen, I think it's under the
13 caribou exhibit, Manitoba Hydro 73, the evaluation
14 of alternative routes?

15 Before we get into that, just a segue
16 on a question that was asked by Mr. Williams
17 latterly, he asked you, Mr. Schindler, whether you
18 had completed your cumulative effects analysis on
19 the revised route for Wabowden. And you indicated
20 that it would probably be ready sometime early
21 next week?

22 MR. SCHINDLER: Yes, I believe so.

23 MR. MERONEK: But yesterday you
24 indicated, when you were going through the revised
25 route, you made the comment that it represented a

1 tremendous opportunity, and I think it was in
2 reference to the fact you were following existing
3 linear disturbances. Do you recall that?

4 MR. SCHINDLER: Yes, I do.

5 MR. MERONEK: Can you tell me why,
6 sir, you were discovering this tremendous
7 opportunity so late in the day, and certainly
8 predicated on the instructions or the directions
9 of Conservation?

10 MR. SCHINDLER: Well, I think
11 Mr. Williams discussed it and described it quite
12 well. The process of the preliminary preferred
13 route, and then the revisions that were made due
14 to other concerns, and within the area that the
15 final preferred route ended up being moved more
16 into caribou habitat than the preliminary
17 preferred route was, and as a result of the
18 evaluation and the letter from Manitoba
19 Conservation to come up with a revised route that
20 provides really good opportunities to mitigate
21 those effects that were being predicted, and some
22 of the uncertainties of the final preferred route.
23 So from a caribou perspective, it is certainly a
24 better alternative. And his question was relative
25 to -- I'm sorry for going on -- comparing the

1 preliminary route to the revised route.

2 MR. MERONEK: But it's not something
3 that was contemplated before a direction was given
4 to look at it again?

5 MR. SCHINDLER: That I contemplated
6 the revise the route?

7 MR. MERONEK: Yes, as a tremendous
8 opportunity?

9 MR. SCHINDLER: Well, we certainly
10 liked the preliminary preferred route over the
11 final preferred route, yeah.

12 MR. MERONEK: Just looking at, it's
13 probably trite to suggest that both you gentlemen
14 have a deep and abiding admiration and respect for
15 moose and caribou?

16 MR. SCHINDLER: I would say yes here.

17 MR. RETTIE: I have a respect for most
18 of the natural world.

19 MR. MERONEK: They are majestic
20 animals.

21 MR. RETTIE: Is that a question?

22 MR. MERONEK: Yes, it is.

23 MR. RETTIE: Majestic animals, yes.

24 MR. MERONEK: And in looking at the
25 alternative routes, would I be correct to suggest

1 that the final route, aside from the revised
2 route, or including it, it doesn't really matter,
3 was much preferable than the other two routes that
4 are shown on that screen?

5 MR. SCHINDLER: From the moose and
6 caribou perspective?

7 MR. MERONEK: Yeah?

8 MR. SCHINDLER: I believe, given all
9 of the consideration, that the length of following
10 existing linear features, that I would have to
11 agree that in totality it's -- there are good
12 alternatives for moose and caribou.

13 MR. MERONEK: Maybe I'm not hearing
14 you correctly. Am I correct to assume that the
15 final route chosen for moose and caribou is
16 preferable than the other two alternative routes
17 that are shown on that screen?

18 MR. SCHINDLER: That would be
19 difficult to assess, because they would be
20 assessed against all other species. We also
21 looked at mammals and birds and all of those
22 things were incorporated into the routing matrix.
23 So without getting into quite a significant
24 comparison, there may be sections that were more
25 preferable to some species than others. So that

1 would be a tough question to really definitively
2 answer.

3 MR. MERONEK: So you're not in a
4 position to say to this Commission that you would
5 recommend one or the other, or all three over --
6 all three to this Commission as it relates to
7 moose or caribou? And that's what we're talking
8 about today.

9 MR. SCHINDLER: Well, we've done that
10 in our evaluation. But, again, the actual routing
11 process included all of those 27 factors.

12 MR. MERONEK: I'm talking about from
13 your biological and scientific expertise and
14 experience, are you in a position to say to this
15 Commission whether the route chosen is better,
16 from a perspective of caribou and moose, than the
17 other two routes that were not chosen?

18 MR. SCHINDLER: We have evaluated
19 everything, and we have described the residual
20 effects and so on. And I think from a caribou
21 perspective, it's clear that this would be the
22 recommended route. From a moose perspective, it's
23 a little bit -- because there are certain areas
24 that, you know, because moose are distributed more
25 evenly across the landscape, it's hard to just say

1 that, yes, it's the best for moose for the whole
2 entire area. In some areas very good, but looking
3 at it collectively, I think it's from a caribou
4 perspective, yes, and from a moose perspective, it
5 might be a little bit more area specific.

6 MR. MERONEK: Now we're getting
7 somewhere. Thank you.

8 MR. SCHINDLER: Yeah.

9 MR. MERONEK: Again, it's probably
10 trite to say that from a scientific biological
11 perspective, no route would be preferable,
12 correct?

13 MR. SCHINDLER: If you had your
14 druthers.

15 MR. RETTIE: Yes, I think that no
16 disturbance is best for the natural world,
17 absolutely.

18 MR. MERONEK: In terms of other
19 alternatives, there's a huge white area, and I
20 take it that area is not doable for a number of
21 reasons; one being if it went down the east side,
22 that's off the table. And two, if it went across
23 Lake Winnipeg, it would be encroaching upon and
24 crossing Bipoles I and II; is that correct?

25 MR. SCHINDLER: I'm not sure we

1 understood the question?

2 MR. MERONEK: We've got three
3 alternative routes on this map, but I'm saying
4 those probably represent the only ones that can be
5 accepted by virtue of the fact that in that whole
6 white area, there are other impediments, including
7 having to cross over Bipole I and II?

8 MR SCHINDLER: We only did work within
9 the study area, so I am not aware of the technical
10 constraints relative to coming in those areas that
11 you described.

12 MR. MERONEK: Now, Mr. Schindler, I
13 want to talk a bit, most of my few minutes is
14 going to be spent on cumulative effects. And I'm
15 going to summarize for you what I understand to be
16 the principles you engaged in or adopted in terms
17 of doing a cumulative effects assessment.

18 One is -- and this is in your mammals
19 technical report at pages 29 and 30 -- one is that
20 you indicated that an important step, a cumulative
21 effects assessment is an important step in
22 determining the impact of various anthropogenic
23 and environmental factors on the long-term
24 viability of the environment. Does that sound
25 familiar?

1 MR. SCHINDLER: Page 29 of the caribou
2 technical report, or the mammals?

3 MR. MERONEK: Mammals technical
4 report, sir.

5 MR. SCHINDLER: Page 29 of mine
6 appears to be different than yours, but I can
7 certainly -- oh, here we go. Okay, sorry about
8 that, I'm here with you.

9 MR. MERONEK: Is that statement
10 something you can concur with?

11 MR. SCHINDLER: It's a citation that
12 we included in the report, yes.

13 MR. MERONEK: Do you agree with it?

14 MR. SCHINDLER: It's a broad statement
15 that I would have to agree with the context of
16 that particular citation.

17 MR. MERONEK: The second comment that
18 I'd like to make is the suggestion that past,
19 present and future projects or activities are
20 studied to determine whether in combination they
21 can have positive or negative effect on the
22 environment. Would you agree with that?

23 MR. SCHINDLER: Yes.

24 MR. MERONEK: And that these multiple
25 activities can be difficult to interpret. Would

1 you agree with that, sir?

2 MR. SCHINDLER: Yeah, that would be a
3 fair statement.

4 MR. MERONEK: And that this particular
5 cumulative effects assessment on mammals,
6 including moose, was conducted to determine both
7 the positive and negative effects on the viability
8 of moose, and I would expect caribou as well?

9 MR. SCHINDLER: The cumulative effects
10 analysis was much more robust in terms of using
11 the criteria set forth by Environment Canada. For
12 mammals, the CEAs were based on an understanding
13 of the activities that were occurring in and
14 around the FPR.

15 MR. MERONEK: But that statement would
16 at least be applicable, from your perspective and
17 your preparation, it would incorporate moose,
18 correct?

19 MR. SCHINDLER: Yes.

20 MR. MERONEK: So that I don't get this
21 statement wrong, over on page 30 you say that
22 potential and cumulative effects were considered
23 for those projects and activities anticipated to
24 occur within the next 10 to 20 years. Do you see
25 that, sir?

1 MR. SCHINDLER: Yes, that was in the
2 context for mammals, excluding caribou.

3 MR. MERONEK: Correct. And is that
4 what you did?

5 MR. SCHINDLER: I think the team, we
6 in conducting the residual effects analysis did
7 consider those activities into those time frames
8 for -- I think all study specialists utilized that
9 particular time frame.

10 MR. MERONEK: And you didn't use the
11 criteria that we'll come to later that related to
12 caribou, the deemed five years?

13 MR. SCHINDLER: That is correct.

14 MR. MERONEK: Now, when you did your
15 cumulative effects assessment, you identified
16 Wuskwatim as a future project that you thought
17 pertinent enough to consider?

18 MR. SCHINDLER: Wuskwatim as a future
19 project?

20 MR. MERONEK: I am referring to future
21 projects now, sir.

22 MR. SCHINDLER: Are you referring to
23 the Wuskwatim transmission line or --

24 MR. MERONEK: Did you consider
25 Wuskwatim in your cumulative effects assessment?

1 MR SCHINDLER: I believe existing
2 infrastructure that was associated, the Wuskwatim
3 transmission line was in place during the time, so
4 it would be sort of a current disturbance or
5 current activity.

6 MR. MERONEK: Just to move this along,
7 if you could turn to page 118 of the mammals
8 technical report? It would appear from that
9 particular narrative that you reflected a
10 Wuskwatim transmission project 2003 to indicate
11 that there were -- it would have a residual
12 negative effect, but expected to be minimal. Do
13 you see that?

14 MR. SCHINDLER: Yes, I do.

15 MR. MERONEK: Did you update that
16 analysis?

17 MR. SCHINDLER: No.

18 MR. MERONEK: Now, you also in that
19 same area talk about Louisiana Pacific Canada Ltd.
20 And based on a project and an analysis in 2010,
21 you identified that there were going to be
22 negative to uncertain impacts as a result of
23 whatever project or projects Louisiana Pacific
24 were undertaking. And more particularly, on page
25 117 at the bottom it's stated:

1 "Another uncertain effect identified
2 in LP's EIS is the extent of impacts
3 on woodland caribou."

4 Do you see that, sir?

5 MR. SCHINDLER: Yes, I see that.

6 MR. MERONEK: And the report suggests
7 that monitoring of caribou populations must be
8 conducted in order to further understand these
9 potential effects. Do you see that, sir?

10 MR SCHINDLER: Yes I do.

11 MR. MERONEK: And you subscribe to
12 that?

13 MR. SCHINDLER: I do.

14 MR. MERONEK: You also make reference
15 to Tolko Industries Ltd. over on page 117, and
16 indicate with respect to their activities that
17 cumulative effects of this project may not have
18 been considered. Do you see that, sir?

19 MR. SCHINDLER: Cumulative effects, I
20 think that's in reference to Tolko, as far as
21 management plan, their assessment of cumulative
22 effects may have not been considered. I think
23 that's correct.

24 MR. MERONEK: And then in terms of
25 mining, the report states at page 118 that mining

1 related activities -- well, first of all, it talks
2 about Hudson Bay minerals in a project that is
3 expected to be in production in 2012, full
4 production 2014. And there's an indication in one
5 of the pieces of literature that references that:

6 "Mining related activities also create
7 high level of disturbance causing
8 avoidance of terrestrial and avian
9 species in the area."

10 Do you see that?

11 MR. SCHINDLER: Yes.

12 MR. MERONEK: So in terms of whatever
13 analysis has been conducted, you have identified
14 certain negative and uncertain cumulative effects
15 from other projects that may impact upon Bipole
16 III. Would that be fair?

17 MR SCHINDLER: I think they are
18 discussed in the context of the other projects and
19 some of the uncertainty is certainly expressed in
20 this report, yes.

21 MR. MERONEK: Did you assess those
22 particular projects in relationship to Bipole III,
23 or were you just itemizing them?

24 MR. SCHINDLER: I think there is a
25 table we can refer to in the technical report.

1 There is that table 9.2.1 of the chapter nine,
2 cumulative effects might be worth looking at.

3 So there are some descriptions on that
4 table. I don't know if you've got it handy or
5 not?

6 MR. MERONEK: Could you just point out
7 the page to me, please?

8 MR SCHINDLER: And this is chapter
9 nine.

10 MR. MERONEK: I'm looking at the
11 mammals technical report. Is there any analysis
12 or conclusion, summary, anything in that report to
13 reflect a conclusion as a result of the other
14 projects that we have just discussed and that were
15 identified?

16 MR SCHINDLER: I don't think there is
17 any specific analysis, but I believe that these
18 were incorporated into the EIS chapter nine, and
19 it may be worth discussing with Cam Osler on this
20 particular --

21 MR. MERONEK: Now, in terms of the
22 mammals technical report, did you have any
23 discussions with Manitoba Hydro with respect to
24 potential future Hydro projects in that area?

25 MR SCHINDLER: In which area specific?

1 MR. MERONEK: The one we're all
2 looking at.

3 MR SCHINDLER: Well, we certainly
4 included, for the caribou assessment we looked at
5 all of the Hydro infrastructure that is proposed
6 or could be developed into the future, including
7 Keeyask transmission, Keeyask generation, and
8 Conawapa.

9 MR. MERONEK: I'm talking about for
10 the mammals technical report?

11 MR. SCHINDLER: For the mammals
12 technical report -- we believe not.

13 MR. MERONEK: Did you have any
14 discussions with Manitoba Hydro, or were you
15 advised by Manitoba Hydro, and bearing in mind the
16 10 to 20 years, that in 2025 Bipole III will not
17 be sufficient from a reliability perspective and
18 further transmission lines may or will be
19 required?

20 MR. SCHINDLER: No. Maybe some
21 general understanding of future transmission, but
22 nothing specific in terms of imminent projects.

23 MR. MERONEK: And that's something
24 that you would want to know in order to do a
25 compete and fulsome cumulative effects assessment;

1 would you agree with that?

2 MR. SCHINDLER: I think any specialist
3 would like to know the extent of activity or
4 industrial activity that is being proposed within
5 or in the proximity of the project being assessed.

6 MR. MERONEK: Now, just moving over to
7 caribou, and this is again a follow-up of some
8 brief discussions you had with Mr. Williams. Five
9 years in terms of future projects was deemed to be
10 the appropriate length of time for caribou; is
11 that correct?

12 MR. SCHINDLER: That was the
13 identified time frame that we had collectively, I
14 guess, looked at in terms of Hydro's understanding
15 of knowledge of future projects, five years.

16 MR. MERONEK: Would it be fair to
17 suggest, sir, that that was a limit that Manitoba
18 Hydro placed upon you gentlemen in terms of making
19 a cumulative effects assessment with respect to
20 caribou?

21 MR. SCHINDLER: I believe it was an
22 agreed to, but recognizing, and I would suggest
23 that perhaps it achieves the objective of the
24 cumulative effects of knowing what will be
25 happening, and in relation to the forestry

1 activities, those 20-year plans, and just knowing
2 what's happening beyond 25 years. And we don't
3 know, you know, where fires are going to happen
4 and how that might change forestry operations,
5 what linear development is being developed in 20,
6 30 years. We did not have that information so...

7 MR. MERONEK: But from a scientific
8 perspective, it would have been preferable to do
9 an analysis that went out beyond five years?

10 MR. SCHINDLER: I believe it would be,
11 you know, from a scientific perspective I would
12 say that, yes, I mean it would be nice to go a
13 little bit further. But I think in the context of
14 the planning horizons for this particular project,
15 there might be some extra explanation that Hydro
16 and maybe Mr. Cam Osler could help with later in
17 terms of this.

18 MR. MERONEK: And again, from a
19 caribou perspective, it would have been helpful to
20 assess or be made aware of future Hydro
21 transmission lines in that area. Would you agree
22 with that?

23 MR. SCHINDLER: Yeah, any type of
24 development that would be within those caribou
25 ranges assessed would provide valuable

1 information. I would add that the effects of
2 linear development appear to have -- or don't
3 appear, but have limited effect on those
4 disturbance calculations. But having said that,
5 any information beyond those horizons would be
6 valuable.

7 MR. MERONEK: All right. We'll get
8 into some short zingers, if I can find them.

9 THE CHAIRMAN: You realize,
10 Mr. Meronek, that zingers will have a higher
11 expectation than snappers.

12 MR. MERONEK: What was that old TV
13 program?

14 THE CHAIRMAN: Front Page Challenge?

15 MR. MERONEK: Front Page --

16 THE CHAIRMAN: Reach For The Top.

17 MR. MERONEK: These are five point
18 questions.

19 You mentioned yesterday, in terms of
20 predation, the impact of black bears potentially
21 on moose and caribou. Do you recall that?

22 MR. RETTIE: Yes.

23 MR. MERONEK: Have you done any
24 studies or assessment as to the potential impact
25 of migration of polar bears from Hudson's Bay?

1 MR. RETTIE: No.

2 MR. MERONEK: Do you accept that there
3 are some environmental concerns about the polar
4 bears migrating south due to the shrinkage of the
5 ice?

6 MR. RETTIE: I have no knowledge of
7 how far inland polar bears might come or what
8 their abilities are in preying on terrestrial
9 wildlife. They are marine predators.

10 MR. MERONEK: Did you take into
11 account the potential of climate change in terms
12 of assessing whether the summers would be drier,
13 therefore, having the potential of invasion of
14 pine beetles?

15 MR. SCHINDLER: I believe climate
16 change was assessed in a different component of
17 the EIS. We did not include specific climate
18 change within our assessments, to be frank. I
19 think it was dealt with at a higher level.

20 MR. MERONEK: Thank you very much,
21 gentlemen. Those are my questions.

22 THE CHAIRMAN: Thank you, Mr. Meronek.
23 Ms. Whelan Enns, do you have any questions?

24 MR. BEDDOME: Is it all right, if we
25 make a switch?

1 THE CHAIRMAN: Certainly, Mr. Beddome
2 you can come forward.

3 MR. BEDDOME: While I get myself
4 organized, I'm going to firstly say, James
5 Beddome, Green Party of Manitoba, for the record.
6 I want to just echo the sentiments made by Mr.
7 Williams earlier this morning to thank the
8 assistance of both the Commission and their
9 secretaries and other administrative staff, but
10 also I think it's worth acknowledging the people
11 that are in the hot seat today, who I'm sure have
12 also been putting in late nights to prepare
13 themselves. I just wanted to, in the spirit of
14 comradery, open with that. And also conveniently
15 stall as my computer loads, which seems to be
16 having trouble today.

17 THE CHAIRMAN: You're just trying to
18 butter them up.

19 MR. BEDDOME: Well, of course, why
20 not? I don't know if you had enough sugar last
21 night or not.

22 There we go. Finally my documents are
23 loading. I had some computer problems this
24 morning, so I apologize for that.

25 Thank you very much for being here

1 today, Dr. Rettie and Mr. Schindler. I may ask
2 some questions that you already explained, and
3 just hope you'll bear with me, just trying to make
4 sure that I understand everything as well as
5 possible.

6 I wanted to start -- and I see the
7 slides aren't numbered, but it is the slide called
8 Historical Caribou Research Data. The one thing I
9 just found interesting on that slide, I think you
10 had it up -- anyways, I notice there you are using
11 data from the Naosap herd that predates the 2010
12 fire, correct?

13 MR. RETTIE: Yes.

14 MR. BEDDOME: So I'm just kind of
15 wondering about what the value of that data might
16 be. And to give you some background of that, my
17 understanding, and correct me if I'm wrong, is
18 there is certainly some uncertainty, and some
19 people think, given the damage to the habitat,
20 they may end up joining with an adjoining herd, I
21 would suppose likely the Reed Lake herd. Is that
22 a correct -- I know that certainly there's not a
23 degree of certainty, but is that a correct theory
24 that people are curious about and wondering if
25 that might be the long-term effect of the fire?

1 MR. SCHINDLER: Actually, that's a
2 very good question. And I can tell you that,
3 although not part of the Bipole studies, I'm aware
4 that Manitoba Hydro is working with Manitoba
5 Conservation. They actually have collared
6 individuals in that particular area. And I think
7 one of the objectives, and I'm speaking from my
8 memory on this particular project that I'm not
9 involved with, but they are looking at the effects
10 of caribou movements during post fire in the
11 Naosap area. There's also some ranges to the
12 north there as well, there is Imperial range as
13 well as the Kississing range that come very close.
14 So I believe the Northwest Region Caribou
15 Committee is embarking on partnerships to look at
16 monitoring that particular population and looking
17 at the response.

18 The one thing that has happened up
19 there which is very interesting is the fire has a
20 very patchy configuration. There's a lot of green
21 areas, and there's a lot of burnt, and there seems
22 to be a fair bit of use in that area during the
23 summer where it's been burned. But I think
24 Dr. Rettie would agree with me, you know, that
25 some of these five year post fire seems to be --

1 will be kind of the telltale sign where they
2 disperse or where they might end up going.

3 MR. BEDDOME: Go ahead, Dr. Rettie.

4 MR. RETTIE: I agree, I'll be
5 interested to see where they go as well.

6 MR. BEDDOME: So it would be fair to
7 say that there's a certain degree of uncertainty
8 to what might happen with that herd?

9 MR. RETTIE: Yes.

10 MR. BEDDOME: And to go to some of
11 your earlier comments that these ranges are -- I
12 guess maybe it's too strong to say they are
13 arbitrary lines, but to a certain extent they are
14 lines and ranges that we draw, but they change
15 over time. And if we look over historical caribou
16 studies dating back in the Province of Manitoba to
17 2001, and then to 2005, same with the Federal
18 reports, the ranges change over time. That would
19 be correct to say, right?

20 MR. RETTIE: Yeah, if I can just bring
21 up a slide here. I think this shows the historic
22 ranges as outlined by Manitoba Conservation in
23 those solid blobs. And then lines are the
24 evaluation ranges that we determined from the
25 animals via radio telemetry. That's not to say

1 those earlier range delineations are wrong. So,
2 you know, it could be in response to disturbance
3 events, or for succession, that these populations
4 are changing where they are. They may have sort
5 of a central area they have in common, but over
6 decades, it wouldn't surprise me to see them move
7 at all.

8 MR. BEDDOME: I think you're helping
9 answer my next question, but I'll just ask it,
10 since you may be able to add more. This changing
11 range, is it a result of changing scientific
12 understanding, a result of changing herd patterns,
13 or a bit of both?

14 MR. RETTIE: I would think probably a
15 bit of both.

16 MR. BEDDOME: That's essentially what
17 I had assumed, but I appreciate you for clarifying
18 that.

19 MR. RETTIE: If I can clarify, I think
20 into the future, given the quality of the
21 information we have presently with all of the
22 animals that we have radio marked, we actually
23 have a very good understanding of where animals
24 are distributing themselves now. And so 10, 15
25 years from now, when we see a difference in where

1 animals in an area are spending their time, that
2 that won't be a technological issue, that won't be
3 a scientific understanding question anymore, that
4 will instead be because the populations have
5 actually shifted where they are residing.

6 MR. BEDDOME: So we'll have a much
7 better idea, it's not necessarily a lack of
8 knowledge, but now it's actual range changes,
9 we'll be better able to measure that?

10 MR. RETTIE: That's right.

11 MR. BEDDOME: And so that goes to the
12 point that, you know, you made a comment, I can't
13 remember which one of you it was. I think if you
14 could have all the data to forecast 10 to 20 years
15 out, that would certainly be greater -- I think
16 that was in response to Mr. Meronek about the
17 five-year cumulative effects. But it would be
18 fair to say there is a lack of data then, in terms
19 of truly trying to be able to understand this, you
20 know, threatened species?

21 MR. RETTIE: I would say that there's
22 a lack of ability to predict some things. I mean,
23 wild fire is a huge one in terms of the extent and
24 the frequency of fire events on the landscape.
25 You know, you can drop something in there that's

1 completely unexpected or of a size that we could
2 not foresee at this point in time, and it could
3 change a lot. So I don't know that that's a lack
4 of scientific information. Some of that's, if you
5 go ten years down the road, that's -- it's a very
6 difficult thing to predict.

7 MR. BEDDOME: And in terms of
8 predicting, is there a threshold or percentage in
9 terms of percentage of a total population of an
10 ecological unit, being a herd of caribou, that you
11 attempt to capture for radio collaring data in
12 terms of statistical significance?

13 MR. RETTIE: Yeah, I think that
14 probably we'd be looking at a minimum of 20
15 individuals. The number of animals that you seek
16 to include depends specifically on the question
17 that you're trying to answer. And so the number
18 of individuals and the duration over which you are
19 monitoring those individuals will allow you to
20 answer different questions. You know, 20 is I
21 think probably at the minimum end of the sample
22 size that you'd want to be looking at. And
23 following them for three to five years is probably
24 an appropriate period of time.

25 MR. BEDDOME: Okay. But then -- so

1 you're saying 20 individuals is a minimum, almost
2 regardless of population size? Like you'd
3 obviously want a larger size if you had a larger
4 caribou herd, or not necessarily?

5 MR. RETTIE: You would want a larger
6 size, but it doesn't increase proportionally to
7 the size of the population. I mean, if you were
8 up to 40 to 50 individuals, even if you had a
9 population of a thousand animals, that would be a
10 good sample size.

11 MR. BEDDOME: Okay. Even if you had a
12 small population of 80, you would still want
13 hopefully 20?

14 MR. RETTIE: That's right.

15 MR. BEDDOME: I just sort of noticed
16 you were saying you'd want 20 animals and three to
17 five years, but in this case you didn't have 20
18 animals per herd and you weren't in fact
19 monitoring them for three to five years. That
20 would be correct, right?

21 MR. RETTIE: Not to date, but
22 monitoring is undergoing still, it's underway at
23 the moment.

24 MR. BEDDOME: How many years further
25 do you anticipate monitoring for?

1 MR. SCHINDLER: I believe the
2 monitoring plan is still being developed, but from
3 what I know there are commitments to carry on with
4 the monitoring of the ranges that are affected by
5 the Bipole III project.

6 MR. BEDDOME: But you're not sure how
7 many further years?

8 MR. SCHINDLER: I couldn't tell you
9 exactly how long that is planned.

10 MR. RETTIE: We are in year three
11 already for most of the herds, or beyond.

12 MR. BEDDOME: Okay. I think that will
13 actually help me to move to, I think it is just
14 three slides up from where we are -- oh, we
15 moved -- three slides from the last slide we were
16 at. So I think it would be 30. I could be wrong.
17 It's the one entitled Pre-project Collaring
18 Telemetry Studies. I guess it isn't necessarily
19 fully relevant, given some of the information you
20 have given me, but if you could just sort of give
21 me a sense of the herd size of each of the Reed
22 Lake, The Bog, Wabowden, Wheadon, Wimapedi-Wapisu?

23 MR. SCHINDLER: We have a table with
24 that. We can get you those actual counts, but I
25 can give you the --

1 MR. BEDDOME: If you'd like to do that
2 by way of undertaking, I'm fine with that.

3 MR. SCHINDLER: We'll get you the
4 right numbers.

5 MR. BEDDOME: I just noticed that we
6 don't have 20 animals per herd in this data. I
7 guess we do for Wheadon, and we are fairly close
8 for The Bog by 2010, but I notice that doesn't
9 quite meet the 20 animals.

10 MR. RETTIE: One thing I should note
11 here is this is cumulative, so these were the
12 radio collars that were deployed, so those collars
13 are still active year after year. So in the
14 Wabowden area, for example, in 2009, ten collars
15 were put out, ten more were put out in 2010. But
16 for the ones from 2009, other than the animals
17 that may have died in that intervening year, are
18 still active. So by the end of 2010, we were
19 looking at, at the bottom four ranges there
20 anyway, having -- well, no, in all of them we
21 would have had 20 collars deployed in all of
22 those.

23 MR. BEDDOME: With the exception of
24 Reed, I guess?

25 MR. RETTIE: That's correct.

1 MR. SCHINDLER: If I could just
2 clarify? On the Reed Lake it was almost like --
3 what had happened during the initial collaring
4 when we were working with Manitoba Conservation to
5 target the herds, it was actually a newly
6 discovered group of caribou that were near the
7 Wuskwatim transmission line on one of the routes,
8 and those animals were subsequently collared later
9 on in the project, as earlier on it was not known
10 that that was a particular important area for the
11 Reed Lake animal. So it was kind of like new
12 information. So the collaring on that area was a
13 little bit delayed compared to some of the other
14 areas, so...

15 MR. BEDDOME: And I think you have
16 answered this, but just for clarification, the
17 collars last roughly three years is sort of the
18 battery life of them?

19 MR. SCHINDLER: Um-hum.

20 MR. BEDDOME: So those 2009 collars
21 will be depleting off, and are you planning to
22 collar again this winter?

23 MR SCHINDLER: I believe that there is
24 plans for continued monitoring, and I don't have
25 the specifics of that as it's beyond the licensing

1 and everything here. So I know Manitoba Hydro has
2 plans to carry on and continue monitoring.

3 MR. BEDDOME: On page 29 of your
4 August supplemental caribou report, I was just
5 sort of curious, you talk about calving sites on
6 that page. I don't know if it is fully necessary
7 for you to review it, but I just want to give you
8 the pinpoint where I was referencing. Do calving
9 sites move from years to years, similar to as we
10 were talking about the range herds changing, do
11 preferred calving sites move from years to years?

12 MR. RETTIE: Individuals will use
13 different sites each year, yes.

14 MR. BEDDOME: And on page 28 there
15 there's only two years of calving site data, I
16 believe?

17 MR. SCHINDLER: You're referring for
18 Reed Lake, correct, Reed Lake, two sites?

19 MR. BEDDOME: Yes, I think so, yes.
20 Although for the other herds did you have more
21 than two years data?

22 MR. RETTIE: Yes, in table 16 on that
23 page you'll find there's a listing of the number
24 of calving sites per evaluation range by year. So
25 some -- for the Wimapedi-Wapisu range, for

1 example, there's data from five different years.

2 MR. BEDDOME: From five different
3 years, and each year -- so an animal doesn't
4 necessarily come back to the same calving site, in
5 fact, each year it changes?

6 MR. RETTIE: Yes, I would think it
7 would be more likely for it to change than for it
8 to return to the same site.

9 MR. BEDDOME: So you've got anywhere
10 from two to five years data there for the calving
11 sites. In terms of changing, is it not possible
12 that over a decade or more that that could change
13 substantially?

14 MR. RETTIE: Yes, it is possible.

15 MR. BEDDOME: And with only having two
16 to five years data, is it not somewhat difficult
17 to forecast that?

18 MR. RETTIE: In terms of --

19 MR. BEDDOME: Calving sites in
20 particular?

21 MR. RETTIE: Well, I can describe to
22 you how these data were used to identify potential
23 calving sites in the future. What happens is, for
24 each one of the areas where an animal is observed
25 to use a site for calving, we looked at the

1 attributes associated with that site. So
2 regardless of the year, for a given evaluation
3 range, we looked at all of the attributes, the
4 habitat attributes, the distance to different
5 features, the configuration of the habitat
6 patches. And from those we extracted the
7 variables that best explain what the
8 characteristics are of those sites. So it could
9 be the same animal in two different years, it
10 could be ten different animals in one year, eight
11 different animals in the next year. But
12 collectively for that range, we looked at what
13 habitat characteristics best explained what made
14 that site different than any other site in the
15 evaluation range. And so then we took that
16 information and we then projected, we went out and
17 said, okay, where are the other sites that have
18 these valuable habitat attributes and how are they
19 distributed across the landscape? And so that's
20 what we used to then create those calving
21 potential. That coloured diagram that I had that
22 had the little hexagons on it, that's a result of
23 projecting out, based on known information.

24 MR. BEDDOME: Okay. I think that
25 makes sense. Just to really simplify it, it was

1 almost sort of to a certain extent where your
2 habitat model met with some of your collaring data
3 and you were then able to further sort of
4 extrapolate from that?

5 MR. RETTIE: It is not just where it
6 met with collaring data, but also how it differed
7 from sites where animals were not -- or rather
8 more properly than a random assortment of sites
9 from within that range, a large number of random
10 points, what made the sites used by animals
11 special?

12 MR. BEDDOME: Okay, thank you. That
13 handles that area.

14 Correct me if I'm wrong, sort of as I
15 was reviewing some of the reports last night, when
16 you guys analyzed -- and once getting your August
17 report, the Wuskwatim as a case study, there was
18 really only one year of collaring, I guess you
19 might have got three years of data out of it, but
20 collaring in 2007 and 2008, and then collaring
21 again in 2011, right, in terms of analyzing the
22 pre and post. Am I correct on that?

23 MR. SCHINDLER: Yeah, there's a table
24 29 on that page 38.

25 MR. BEDDOME: Thank you. And so given

1 that, is it not fair to say that that's sort of a
2 bit of a small sample size, and that certainly it
3 would have been preferable to have, you know,
4 three to five years of monitoring
5 pre-construction, and three to five years
6 monitoring post construction?

7 MR. SCHINDLER: I would agree in an
8 ideal situation the study design would have those
9 types of attributes. I believe Jim hit on a
10 really good point in terms of the number of
11 collars relative to your objective of your study.
12 And obviously it would have, you know, increased
13 the results considerably. You'd have more animals
14 collared. You know, perhaps the one winter prior
15 to construction, maybe you didn't need three or
16 four years, but just to get some relative
17 information, it would be nice to have the
18 variability. But that initial collaring was part
19 of an initiative by Manitoba Conservation that
20 requested Manitoba Hydro's assistance. So I think
21 they were just trying to get some distribution.
22 And during winter you can have one collared animal
23 that can actually represent the movements of many
24 other individuals within the groups or bands or
25 small herds that they are associated with. So a

1 smaller number of collars can be used to give you
2 general distribution, but definitely for looking
3 at discrete movements, you know, a higher sample
4 would certainly help.

5 MR. BEDDOME: Correct me once again if
6 I am wrong, but your general conclusion on that
7 was because the animals seemed to be utilizing the
8 areas close to the corridor, sort of your general
9 argument seemed to be that that seemed to show
10 that the impact was minimal maybe would be the
11 word to use?

12 MR SCHINDLER: Well, I was not around
13 when those initial collars were placed. But from
14 my understanding and looking, it was a joint
15 project between Manitoba Conservation and Manitoba
16 Hydro to look at pre-project distribution and
17 looking at using whatever information they could
18 to look at the effects of the construction. And
19 this analysis kind of provides that particular
20 analyses.

21 MR. BEDDOME: Is it not possible the
22 animals are using it more as a corridor, though,
23 rather than actually utilizing the space by
24 utilizing the transmission line as a
25 transportation corridor?

1 MR SCHINDLER: I don't think our data
2 really demonstrates that. I think it illustrates
3 that some of the core use areas are in proximity
4 to the transmission line. Actually, a lot of them
5 are.

6 MR. BEDDOME: This is a total side
7 question but just, you know, I note Bipoles I and
8 II go through several caribou herds almost
9 intersecting them directly. Are either of you
10 aware of any studies that were done, pre or post
11 Bipoles I and II, and even studies that have been
12 done post that tried to look at the impact or
13 model or quantify that impact in some way?

14 MR. SCHINDLER: I guess you'd be
15 referring to ranges like William Lake, the
16 Interlake?

17 MR. BEDDOME: I think it's the
18 Interlake herd, the William Lake, Harding, is it?

19 MR. SCHINDLER: Harding Lake is a long
20 ways off from Bipole.

21 I'm not really aware of any particular
22 studies. I know Conservation has done some
23 monitoring in those areas, but I don't think it is
24 specific research relative to linear development
25 in the north Interlake, for example, looking at

1 the effects of transmission. So I'm not aware of
2 any.

3 MR. BEDDOME: I was just hoping there
4 might be a study to get you to take an undertaking
5 to provide, but if there's none you are aware of,
6 that answers the question there.

7 Because in many cases you were
8 paralleling existing linear developments, be that
9 Wuskwatim transmission, or in some cases highways
10 or other provincial roads, logging roads, that you
11 felt that that mitigated the impact to a certain
12 extent, correct?

13 MR SCHINDLER: Well, it certainly
14 provides an opportunity to minimize the effect as
15 opposed to going through areas that have no
16 disturbance in them.

17 MR. BEDDOME: But couldn't having a
18 second or even a third linear disturbance,
19 couldn't that be -- how should I put it -- the
20 straw that broke the caribou's back, so to speak,
21 that at a certain point, you know, the first
22 linear development it will cross, but after so
23 many linear developments, it becomes too much for
24 it to cross?

25 MR. SCHINDLER: Part of our analyses

1 has looked at various barrier types, and I think
2 we described it in our presentation there. For
3 example, like the number 6 highway with Bipole
4 III, which is a fairly significant disturbance if
5 you look at an actual paved highway, relative to
6 the Wuskwatim transmission line, which is a double
7 line currently, like north of highway 39, which in
8 effect would be similar to Bipole III paralleling
9 the Wuskwatim line south of 39, which is going --
10 so it would be a very similar case study in terms
11 of the width of the transmission line. So the
12 actual Wuskwatim case study provides us an example
13 of a -- it's basically a double wide transmission
14 facility right now. So it's like it is 120
15 metres. Where it parallels the Wuskwatim line
16 south of 39 towards The Pas, that area, those
17 existing transmission lines are 60 metres. So it
18 would, in essence, be a similar infrastructure to
19 what you'd see in the area north of Snow Lake.

20 MR. BEDDOME: Moving on -- did you
21 have something to say, Dr. Rettie?

22 MR. RETTIE: No.

23 MR. BEDDOME: Okay. In one of your
24 slides, and I'm not going to reference which one,
25 I don't think it's that relevant, but you made a

1 comment that your study also tried to incorporate
2 aboriginal traditional knowledge, which I'll refer
3 to as ATK. Is that correct?

4 MR. SCHINDLER: That is correct.

5 MR. BEDDOME: How did you attempt to
6 incorporate that knowledge into the study? Would
7 you give a brief outline of the methodology of
8 that?

9 MR. SCHINDLER: I think it was an
10 undertaking yesterday that we will be providing in
11 terms of all of the reports and the timing and so
12 on, that has been incorporated into the final
13 assessment of the routes. The reference to
14 caribou was mainly associated up in the Fox Lake
15 area, in the northern part of the project
16 component where, you know, much of the description
17 of the caribou that utilize the area up in the
18 Gillam area were very consistent with what we
19 found in the collaring results. So that
20 information was incorporated and included.

21 ATK information on boreal caribou,
22 there wasn't a great deal of discussion relative
23 to caribou in many of the reports and interview
24 questions that we had. But where it was
25 available, it corroborated some of our knowledge

1 of known caribou locations, et cetera.

2 MR. BEDDOME: So in general you found
3 the ATK corroborated what you found in your
4 studies?

5 MR. SCHINDLER: Yeah, and I don't
6 recollect any real contradictory issues relative
7 to caribou and ATK in terms of location or known
8 occurrence or use.

9 MR. BEDDOME: The reason I ask is just
10 that I have noticed in some of the ATK reports
11 that I'm sure were probably done separately by a
12 separate part of Hydro, but there were numerous
13 comments that caribou weren't crossing roads and
14 Hydro transmission lines. And I think we've
15 talked that there's not a great amount of data
16 going back 50, 60 years or beyond to look at, and
17 to me I was sort of wondering. So if ATK doesn't
18 corroborate your scientific modeling, what
19 knowledge base prevails? I mean, you are hearing
20 one thing on the ATK side, but then your studies
21 are leading you to a different conclusion. How do
22 you put the two together, or does one prevail over
23 the other, or how do you deal with that?

24 MR. SCHINDLER: Are you referring
25 specifically to caribou crossing the road?

1 MR. BEDDOME: More just that -- I was
2 referring to there was a number of self-directed,
3 as well some Aboriginal traditional knowledge
4 reports. I am not sure if you have reviewed them,
5 I am not sure if they were done by someone
6 separate from yourself. But I noticed that there
7 were a lot of comments that, from my perspective,
8 seemed to be stronger than perhaps the findings of
9 your caribou technical report. And I guess I'm
10 wanting to know if those two don't meet and
11 corroborate each other, but somehow you find a
12 split, or a schism, or a difference of opinion, or
13 maybe I am not using perfect words for it, but you
14 find they are at odds with each other, how do you
15 determine which knowledge base prevails? How do
16 you try to mend the two together I suppose?

17 MR. SCHINDLER: Well, like something
18 like caribou hesitance to cross the road and so
19 on, I mean, we have demonstrated in our data that
20 there is some effects. So in that case I would
21 say they tend to corroborate each other.

22 MR. BEDDOME: If they don't
23 corroborate each other -- so you're saying the
24 impacts will be minimal and not significant, and
25 the findings on the opposite -- and I think this

1 can be as true for caribou as it could be for
2 moose, but the findings from the traditional
3 knowledge holders is different. You know, what do
4 you do at that point when they are at odds, when
5 they don't corroborate? I mean, it's certainly
6 easy when they corroborate, but what if they don't
7 corroborate?

8 MR SCHINDLER: Well, the ATK reports
9 were wide and varied across the entire study area.
10 I mean, there were statements and opinions, and
11 even with the ATK reports themselves, sometimes
12 there's variable differences in opinions, you
13 know, trappers or other people. And so I think
14 essentially we utilized it, and if there were, you
15 know -- and it would have been incorporated just
16 to corroborate. And areas where there were
17 significant differences, I mean, there were --
18 they might be relative to a different situation in
19 a different area. But, I mean, we used our best
20 judgment in terms of incorporating where we felt
21 it corroborated and it supported. And then the
22 areas, we assessed those effects based on our
23 professional judgment, including the ATK, you
24 know, that we do take to heart and look at very
25 seriously. And again, it was at various levels

1 throughout the area, the ATK.

2 MR. BEDDOME: So it essentially
3 becomes a decision of professional judgment?

4 THE CHAIRMAN: Mr. Beddome, I think
5 that's a very good question. I think you should
6 probably hold it until next week when the ATK
7 panel is back on the stand.

8 MR. BEDDOME: Sure. But I was posing
9 this to the scientific people in terms of how
10 they -- I mean, I think I've got the answer so I'm
11 moving on anyway. It was just a clarifying
12 question. I think you more or less said that.

13 MR. SCHINDLER: Yeah, and I think that
14 the ATK component into the EIS, like those things
15 were discussed later.

16 MR. BEDDOME: And my last question
17 just sort of related to the risk of parasites and,
18 I will take a little bit of a preamble. But I
19 just noticed The Bog herd seemed to be the
20 southernmost herd that you focused in on. Is it
21 not possible that interactions with white-tailed
22 deer would be heightened for The Bog herd,
23 particularly if we saw more agricultural
24 development in terms of clearing land so that it
25 created habitats that were more conducive to

1 white-tailed deer? So would it be fair to say
2 that, although you didn't find that the parasite
3 risk was very large, and given that The Bog herd
4 is a somewhat isolated herd so it's a somewhat
5 fixed genetic pool, would it not be fair to say
6 they have a slightly increased risk of a parasite
7 infection versus the other herds that were
8 studied?

9 MR. RETTIE: I mean, there are deer in
10 the area, very few of them, but if there was an
11 agricultural development that's altering landscape
12 at a large scale into a type of habitat that's
13 more appropriate for deer, then, yes, I would
14 think that you would find a greater deer
15 population. And consequently, any interactions
16 that they might have with adjacent areas where
17 there are caribou, yes, I would think the
18 possibility would go up. But we didn't address
19 what might happen with agricultural development.

20 MR. BEDDOME: You didn't look at all,
21 in your cumulative effects assessment, as to any
22 sort of land developments in that region?

23 MR. SCHINDLER: We know, and I think
24 the Carrot River Valley, The Pas area, as you know
25 it's been diked and so on, and the availability of

1 land for agriculture between Red Deer Lake and The
2 Pas would be confined. And there's been deer in
3 The Pas for 60 years, and our discussions with the
4 wildlife managers and people in The Pas, and there
5 are sustained populations of deer within The Pas
6 per se, but the persistence of deer as a result of
7 disturbance within that habitat between Red Deer
8 Lake and The Pas area -- I mean, it's not
9 agricultural land, it's predominated -- and I
10 think you saw Jim's maps in terms of the types of
11 habitats, it's very boggy, it's extremely -- a lot
12 of peatland, it is not good deer habitat. And
13 even with some limited forestry operations that
14 even the forest productivity is very low, that the
15 disturbance level from forestry and linear is not
16 enough to accommodate, you know, long-term
17 persistence of deer at the populations that would
18 be required to transmit brainworm. That, in
19 combination with the fact that brainworm is not
20 prevalent in Western Manitoba, also adds to our
21 reduced concern for brainworm in that particular
22 area.

23 MR. BEDDOME: So you don't have a very
24 high concern because of the reasons you just gave,
25 basically that you think it's not an issue in the

1 Western area, but would it still be, just as a yes
2 or no question, would it still be fair to say that
3 The Bog herd is at a heightened -- in comparison
4 to the other herds -- heightened risk of disease
5 and parasites?

6 MR. SCHINDLER: Yes.

7 MR. BEDDOME: Thank you. That
8 concludes my questions. I really do appreciate
9 it, gentlemen. I know it's probably not easy
10 being in the hot seat, so...

11 THE CHAIRMAN: Thank you, Mr. Beddome.
12 We'll take a break now and come back just before
13 quarter after. At that time, Ms. Whelan Enns, if
14 she is still here, will have an opportunity to
15 cross-examine, followed by the panel.

16 (Proceedings recessed at 2:57 p.m. and
17 reconvened at 3:15 p.m)

18 THE CHAIRMAN: We have the last
19 cross-examination today is Ms. Whelan Enns and
20 that will be followed by a few questions from
21 panel members.

22 MS. WHELAN-ENNS: Thank you,
23 Mr. Chair. I just want to be specific in terms of
24 starting, that these questions are from Manitoba
25 Wildlands, and that the transcript needs to

1 reflect that as in one voice or one organization
2 at a time.

3 Mr. Schindler and Dr. Rettie, I have
4 some questions in relation to moose and some
5 questions in relation to woodland caribou. I'll
6 try to keep them separate or indicate when the
7 questions are moving back and forth. Thank you.

8 If I may, as I arrived today I believe
9 it was the Consumers Association
10 cross-examination.

11 Mr. Schindler, you referred to relying
12 on 20 year forest management plans as one of the
13 sets of information in terms of your work
14 regarding these two species. Would you just tell
15 us which plans, which companies?

16 MR SCHINDLER: Actually that works for
17 the cumulative effects component of the caribou,
18 and it was Tolko's long-term harvesting plans data
19 that we used in the cumulative effects for
20 caribou.

21 MS. WHELAN-ENNS: Thank you very much.
22 In the moose slides, again we are all coping with
23 being a little black and without numbers, but I
24 will do my best to make sure I am clear. This is
25 the moose, as the VEC. Have you, in your analysis

1 and your assessment work, applied what -- and this
2 is a non scientist asking a scientific question --
3 applied the law of the minimum at all? Have you
4 assessed any effects if we have moose disappear
5 from any of the ranges that we know about now?
6 You do make a reference to 80 percent of boreal
7 forest wildlife in the same habitats, that is more
8 the question?

9 MR. SCHINDLER: I think the comment
10 was relative to the habitat requirements of moose
11 represent a broad range or a spectrum of species
12 that occur in the boreal forest. And this rule of
13 the minimum, you're going to have to clarify for
14 me a little bit. What are you asking specific of,
15 I'm sorry?

16 MS. WHELAN-ENNS: Again, it is a lay
17 person's question. The law of the minimum has
18 generally got to do with when the primary or
19 umbrella species in an ecosystem is gone from that
20 ecosystem, then basically it puts a species that
21 are usually in that habitat, in that ecosystem,
22 with that umbrella species, puts them at risk. So
23 my question is whether you have included any of
24 that kind of perspective in your assessment?

25 MR. SCHINDLER: I think the abundance

1 of moose within areas is a factor of a number of
2 other things, not specifically related to habitat
3 quality. The abundance of moose is strongly a
4 factor of hunting and harvest levels clearly. The
5 availability of moose habitat, there are certainly
6 areas of high quality moose habitat that would
7 still produce areas that are acceptable to that
8 whole suite of other species that would utilize
9 those habitats, birds, mammals, all types of
10 creatures that would still occupy those habitats
11 in the absence of moose.

12 MS. WHELAN-ENNS: Thank you. Just a
13 small comment in terms of turning pages, there are
14 sections in some of these slides, because they are
15 reverse on black that are not readable. The first
16 one that hit me is the second lower page one
17 headed "moose" in a series that have the same
18 header.

19 MR. SCHINDLER: Would you like me to
20 go to the slides?

21 MS. WHELAN-ENNS: I think it would
22 take -- I mean, we might have the occasional one
23 we need to look at, but I think it would take more
24 time than the panel wants to use, so let's just
25 see how we do. I have been through the EIS, our

1 summary of it, and also certain of the technical
2 reports, focusing though mostly on the
3 presentation in front of us. Could you give us
4 just a -- and I know there's been questions in
5 this -- associated with this asked already. Do
6 you in fact see moose predators and predation
7 increasing once the corridor is in place?

8 MR. SCHINDLER: I think we have looked
9 at and acknowledged the fact that linear
10 disturbance or linear development can be a conduit
11 for increased predation. I mean, it's that
12 notion. What is unclear, and there is not
13 definitive literature to state that specifically a
14 corridor such as Bipole III as a transmission line
15 corridor will definitively result in X number of
16 extra predation events, et cetera. There is
17 various types of evidence in the literature
18 regarding the effects of linear development.
19 There are studies that say that wolves avoid
20 roads. There are studies that say wolves use
21 roads and trails. There are, you know, for
22 example, caribou avoidance of roads, and wolf use
23 of roads is documented in the literature as well.
24 So it's not the type of topic -- and I think we
25 discussed it the other day in terms of the effects

1 of predation is not necessarily crystal clear in
2 the literature, but we did include that in our
3 evaluation, definitely.

4 MS. WHELAN-ENNS: Thank you very much.
5 I am now on the slide that is the second one with
6 the header MCWS moose management, and it has to do
7 with the closure. I was somewhat surprised to see
8 a reference under enforcement to the addition of
9 two new natural resources officers, and the reason
10 for the surprise, of course, is the Government of
11 Manitoba information, the jobs bulletined, the
12 positions filled are for a new biologist position
13 in each of the regions of the province where the
14 moose hunt has been closed. Are you comfortable
15 with that correction?

16 MR. SCHINDLER: I'm aware of that, and
17 that was information that came from Manitoba
18 Conservation and we did not want to change it, but
19 that's a very good point.

20 MS. WHELAN-ENNS: Thank you. In the
21 slide, the top of the page, historical data Duck
22 Mountain Provincial Park, and the sequence of
23 slides then in your presentation, my comment or
24 request of you would be would you tell us, please,
25 the sources of the data? And again, I know

1 there's other technical work, and that the EIS is
2 thorough, perhaps thorough with more content about
3 woodland caribou than moose. Is all of the data
4 from the Province of Manitoba on these slides?

5 MR. SCHINDLER: Yes, it is.

6 MS. WHELAN-ENNS: And so when there's
7 a variable in terms of start year and end year, is
8 that because you have selected start year and end
9 year, or because there's data only for those
10 years?

11 MR SCHINDLER: Only data for those
12 years.

13 MS. WHELAN-ENNS: So if we have
14 historic data for the Duck Mountain provincial
15 park in terms of calves from the 1960's until now,
16 then we'd only have from the 1990's until now in
17 terms of estimates from the total population?

18 MR. SCHINDLER: From the data that we
19 had available to us that is what we ascertained.
20 That is the data that we had.

21 MS. WHELAN-ENNS: Interesting. Thank
22 you very much. I won't repeat the question, but
23 that sort of jumped off the page a little bit in
24 terms of the stop and start years, and these
25 population in calve graphs. It is a little bit

1 surprising -- I am going to, if I may, indicate
2 why the question and that is, of course, the
3 Government of Manitoba since late 1940's, early
4 1950's has been tracking all data from trapping,
5 and yet the same dynamic in terms of the
6 collection of the data, which they had to pay to
7 track and pay for fur, they were also then
8 including any of the significant -- any
9 significant ungulates or large mammals that were
10 being hunted. So that data, it exists. So this
11 means then your answer is this is the data we were
12 given.

13 MR. SCHINDLER: It terms of population
14 census and data on cow/calf ratios, actually some
15 of the data we went to the library, the Natural
16 Resources library and acquired. But it's all
17 sourced from Manitoba Conservation.

18 MS. WHELAN-ENNS: Thank you. What I
19 was basically indicating is that since the 1950's
20 at the very least, moose data is in the data that
21 all the precursors of Manitoba Conservation and
22 Water Stewardship department have been called,
23 where they have collected that information at the
24 same time as trapline information. So I won't
25 repeat the question again in terms of the other

1 data and other charts, but it's a lot of stop and
2 start dates, and I accept what you're saying in
3 terms of the information as you were given it.

4 Moving rapidly, it's a challenge for a
5 lay person to understand the relationship between
6 the results in your studies and assessment
7 regarding moose and the direct relationship to the
8 project area, study area, the local study area and
9 the corridor. One of the reasons that's a
10 challenge in our office is because we routinely
11 map these things. And the most recent data
12 received from Manitoba Hydro, and this is about a
13 week ago in our office, is a 4.5 kilometre wide
14 impact zone. So that's varying from the
15 information here from, you know, 3.8 to 4 to maybe
16 4.5, if we looked in the transcripts.

17 The reason why the introduction and
18 comment on that is because it is hard to
19 understand as a lay person the relationship
20 between the number of moose in the study area and
21 the local project area, of the size of their
22 ranges, and what appear to be in your answers
23 yesterday, that when you hit the edge of the study
24 area you stopped, even if the range area for moose
25 or caribou went farther.

1 Now am I understanding correctly that
2 that's what happened in your assessment, is that
3 you stayed in the boundaries of what you were
4 studying, even if the herd area or range area went
5 wider?

6 MR. SCHINDLER: I think what I
7 described yesterday was the fact that the local
8 study area was that 4.5 kilometre band in
9 association with the 66 metre right-of-way.
10 Habitat was assessed within those areas. And what
11 I described yesterday was the relationship of the
12 right-of-way in relation to the moose habitat
13 requirements, and the range requirements of moose
14 across a broader landscape, and understanding that
15 there are many different components of habitat for
16 moose, and that the FPR represented a relatively
17 minute proportion for any particular moose or
18 groups of moose, or range of moose throughout that
19 area.

20 MS. WHELAN-ENNS: Thank you. The
21 slide I'm looking at now is evaluation of
22 alternative routes, which is after evaluation of
23 alternative routes with a right-hand map on it.
24 Would you tell us, historically, how far south on
25 the west side of Manitoba we had moose? So go

1 back 50, 60, or 75 years, and tell us generally,
2 if you will, the historic range for moose?

3 MR. RETTIE: My understanding is that
4 moose were all the way down to the U.S. border in
5 the Turtle Mountain areas.

6 MS. WHELAN-ENNS: Thank you. The
7 slide here is evaluation of the FPR, and it's the
8 fourth one in the sequence with that header. I
9 think there is six in total. There's some
10 reference here to the Wuskwatim transmission line
11 and the rail line. And again this may be a
12 layperson's question, or difficulty in
13 understanding, but I think that your slide says
14 there's already one transmission line, so adding
15 another transmission line will have little
16 increase in impact on moose?

17 MR. SCHINDLER: The principle of
18 following existing linear development relative to
19 moose, and the predicted affect of increased
20 harvest and mortality by predators, is based on,
21 if you've got an existing linear feature, you
22 already have that access, so that effect is
23 already in place. So by sticking close to an
24 existing effect, you're not creating an additional
25 effect in an area away, or through an unfragmented

1 habitat. So it takes opportunity of existing
2 disturbance to minimize the impacts beyond the
3 area.

4 MS. WHELAN-ENNS: Thank you. The
5 slide I'm looking at now is the incorporation of
6 ATK, it's about two pages later. I'd like to know
7 whether you were asked or included in your
8 assessment the value of the subsistence economy
9 with respect to hunting moose, and whether there
10 was going to be any impact in that regard, or
11 effect in that regard? I understand what you said
12 overall in terms of insignificant effects, but
13 this struck me as perhaps something that's
14 missing.

15 MR. SCHINDLER: It's probably dealt
16 with in the socioeconomic component in terms of
17 that particular use. I would probably defer that
18 to those that looked at that particular issue.
19 But I can tell that you that we did, you know, we
20 looked at the effects on moose, the ecological,
21 and the significance of those effects were based
22 on moose per se, so...

23 MS. WHELAN-ENNS: Thank you. And I'll
24 take that as direction in terms of double checking
25 in the socioeconomic analysis.

1 The slide below that in terms of
2 mitigation, I know that an EIS is a theoretical
3 advanced set of assessments, as are hearings.
4 What I wanted to ask you, given that this slide is
5 pretty much about the planning and routing
6 exercise, and in advance, therefore, theoretical.
7 Are you comfortable and are you certain that these
8 statements in terms of mitigation will continue to
9 be effective and true once construction and then
10 long-term operation is going on?

11 MR. SCHINDLER: Our effects assessment
12 was based on the mitigation that we presumed to be
13 in the EIS, and I would expect Hydro, and I think
14 they are going to be talking about mitigation and
15 monitoring, that all I can tell you is that our
16 assessment of residual effects is based on the
17 description of these mitigation, and the
18 successful application of these mitigation
19 measures.

20 MS. WHELAN-ENNS: Thank you. I
21 switched PowerPoint presentations and documents, I
22 have switched to caribou, there will be a few
23 crossover questions at the end. The slide I'm
24 looking at is barren ground caribou. I was struck
25 by the reference to habitat that is occasionally

1 occupied. Tell me if I'm correct, if you would,
2 that we are talking about wintering grounds?

3 MR. SCHINDLER: That would be correct.

4 MS. WHELAN-ENNS: Okay. So wintering
5 grounds each year?

6 MR. SCHINDLER: The Qamanirjuaq
7 caribou, I think occasionally would be one way to
8 determine that they are not known to enter into
9 the study area on a regular basis.

10 MS. WHELAN-ENNS: Is that also true
11 then for the Beverly herd?

12 MR. SCHINDLER: The Beverly herd,
13 less.

14 MS. WHELAN-ENNS: Thank you. I am not
15 up to date in terms of the Beverly Qamanirjuaq
16 herd management methods and so on, but we all
17 generally know its multiple jurisdiction has been
18 in place for, I want to say 25 years, it might be
19 longer than that in terms of data collection and
20 monitoring these two huge herds, including their
21 wintering grounds in Manitoba. The duets -- I
22 call it a duet system in terms of how there's two
23 people also on that board for each and every
24 community in Saskatchewan, Manitoba, north of 60
25 and so on -- is a model. It's considered a model,

1 I believe probably internationally.

2 One of the things I'd like to ask you
3 then is, how do you view their standards in terms
4 of, for instance, when they assess survival rates,
5 when they assess calving rates? Do you agree with
6 their standards? They have 25 years plus data.

7 MR. SCHINDLER: Yeah, dealing with
8 barren ground caribou, they do a number of
9 different types of surveys. They do calving
10 counts on the calving grounds, for example. The
11 productivity or the calving success can be much,
12 much higher in migratory populations. They use a
13 lot of photographic counts doing their, you
14 know -- the scientists there are obviously doing
15 good work.

16 MS. WHELAN-ENNS: It's a while since
17 I've seen the reports, but I've already been
18 impressed by the fact that they, on survival
19 rates, for instance, or calving, that they
20 definitely use multiple years.

21 MR. SCHINDLER: Um-hum.

22 MS. WHELAN-ENNS: And they share data
23 obviously in terms of the multiple jurisdictions,
24 because it's four or five, depending on how you
25 count the Federal Government in. And I wanted to

1 ask you about that a little bit, because the
2 common sense, of course, is the best way to handle
3 the data to get answers from assessment and
4 management of herds is to use longer time gaps,
5 time periods, and comparative periods. Would you
6 agree?

7 MR. SCHINDLER: I would agree.

8 MS. WHELAN-ENNS: Thank you. I am on
9 the slide that's under Cape Churchill, it says Pen
10 Island. And I wanted to -- it's sort of a little
11 bit like the occasionally inhabited question. And
12 that is, would you agree with my description that
13 the Pen Island herd is from Hudson's Bay, Ontario,
14 and it comes down through Ontario into Manitoba?

15 MR. SCHINDLER: Yeah, it includes a
16 number of calving areas from the Pen Islands up
17 through in Ontario and into Manitoba, definitely.

18 MS. WHELAN-ENNS: Thank you. The
19 slide I'm looking at is the Aboriginal traditional
20 knowledge slide. There is a chart on the bottom
21 of the previous page that's range size
22 comparisons. In the cross-examination and
23 questions from the Manitoba Metis Federation
24 counsel yesterday, I believe you were asked what
25 Aboriginal traditional knowledge you had

1 accessible to your team to do the assessment that
2 you were undertaking. And I believe your answer
3 was that you had the same ATK information as the
4 other specialists did.

5 MR SCHINDLER: Yeah, that's correct.
6 I believe there is an undertaking on that, so
7 we're putting that information together.

8 MS. WHELAN-ENNS: I was glad to hear
9 that. It is a little bit difficult to understand
10 because there were sort of about three tracks in
11 terms of how the ATK was acquired, because there
12 is historic independent community core projects,
13 and the workshops and independent interviews. So
14 that's been going on for quite a while. And I'd
15 appreciate if you could tell us what the cut-off
16 point in time was for your work and your team's
17 assessment in relation to the ATK information and
18 data you had? Did you have it as of, you know,
19 March 11, November, 2010, more recently?

20 MR. SCHINDLER: I believe that's part
21 of that undertaking, so we just wanted -- there
22 was a number of reports that were available at
23 different times and in draft form, and final form,
24 so we want to make sure we get that to you.

25 MS. WHELAN-ENNS: Thank you very much.

1 And sorry for the repetition, but that was what
2 struck me, is it can't have all been at one point
3 in time for all of the specialists and external
4 experts. There are some references then in this
5 slide and following slides to the National
6 Recovery Strategy, 2012?

7 MR. RETTIE: Yes.

8 MS. WHELAN-ENNS: So is the National
9 Recovery Strategy 2012 incorporated into your
10 assessment and your technical reports?

11 MR. SCHINDLER: The final version came
12 out after the formation of our reports, so any
13 subtle changes, and there are some differences,
14 they were not incorporated just because they came
15 out very recently.

16 MS. WHELAN-ENNS: Thank you. I think
17 that's worth establishing, because the 2012
18 recovery strategy is quite recent.

19 MR. SCHINDLER: Yes.

20 MS. WHELAN-ENNS: And there are then
21 some, it's my understanding, directives in terms
22 of certain of the woodland caribou herds that are
23 potentially affected by Bipole III. That is this
24 strategy is specific about certain Manitoba herds,
25 is that correct?

1 MR. SCHINDLER: Yes.

2 MS. WHELAN-ENNS: Okay. The slide
3 below refers to woodland caribou management in
4 Manitoba and to Manitoba strategy. Could you tell
5 us then whether this is the 2001 strategy or the
6 2005 strategy?

7 MR. SCHINDLER: That would be the
8 2005/6, with the wrong date on it.

9 MS. WHELAN-ENNS: Yes. And we would
10 agree in this room then that the 2011 woodland
11 caribou strategy released by Manitoba
12 Conservation, with a title page, as it's province
13 wide, only pertain to the herds, four of them on
14 the east side?

15 MR. SCHINDLER: That is correct.

16 MS. WHELAN-ENNS: Thank you. Flipping
17 to the next page in terms of the Manitoba Hydro
18 process to evaluate threats to boreal woodland
19 caribou; could you tell us then whether the
20 participants in your formal process or your
21 experts' workshops, or workshop, whether there
22 were any First Nation or Aboriginal experts
23 involved?

24 MR. SCHINDLER: There were no
25 Aboriginal or First Nation experts involved.

1 MS. WHELAN-ENNS: To ask the question
2 again slightly differently, did you have then any
3 advisers or any elders assisting you in this
4 two-pronged approach?

5 MR. SCHINDLER: No.

6 MS. WHELAN-ENNS: Thank you. I am on
7 the expert workshop key recommendations. I know
8 you have had a variety of questions in terms of
9 that expert workshop to date. I was struck by
10 sort of where it stops again. Layperson's
11 question, and that is, were there key
12 recommendations from the workshop, or maybe second
13 tier recommendations from the workshop in terms of
14 what to do after the monitoring, based on the
15 results of monitoring?

16 MR. SCHINDLER: There was actually a
17 publication that we could get to that really
18 describes the detail, you know, you can't get it
19 all onto the slide.

20 MS. WHELAN-ENNS: I recognize the
21 PowerPoint presentation and what's in front of us
22 in the room here can be limiting. But it struck
23 me that, I mean, sometimes it maybe needs another
24 slide, but I'm aware of that other publication and
25 thank you.

1 MR. SCHINDLER: Yeah, you're welcome.

2 MS. WHELAN-ENNS: The slide below that
3 makes another reference in terms of your
4 assessment of historic and known provincial
5 distributions for woodland caribou. It's the same
6 as my question in terms of moose. And I accept
7 what you're saying in terms of the data you were
8 provided with versus what I believe is in fact out
9 there, though it would be stronger and more
10 thorough regarding moose because of the
11 subsistence economy, the same people who were
12 trapping or hunting moose, and that data has been
13 collected for, as I say, about six decades.

14 Okay. Turning rapidly, honest. I'm
15 on the slide that is the first Wuskwatim slide.
16 Wuskwatim case study summer, pre and post. You
17 are showing more woodland caribou activity after
18 construction in this snapshot?

19 MR SCHINDLER: Yes.

20 MS. WHELAN-ENNS: And you're referring
21 to the case study. So correct me, but basically I
22 don't think the case study is EIS, maybe it is,
23 and I don't know that?

24 MR. SCHINDLER: It's in the
25 supplemental technical report.

1 MS. WHELAN-ENNS: Fair enough. I'll
2 take a look at our summary again. I'm somewhat
3 obligated then to ask you, based on these two
4 snapshots, whether you expect further increase in
5 woodland caribou activity after the construction
6 of Bipole III?

7 MR. SCHINDLER: I think the purpose of
8 the before and after case study for Wuskwatim was
9 to attempt to illustrate some of the pre use and
10 post use. And I think what we also explained on
11 this particular slide, that the collaring effort
12 was much greater post construction, therefore,
13 there is a lot more density of locations within
14 those areas. So I would suggest that it lead in
15 and assisted with the assessment with the effects
16 of linear development on boreal caribou, core
17 range.

18 MS. WHELAN-ENNS: Thank you. So it is
19 as much a reflection of the intent and activity of
20 monitoring, more collaring?

21 MR. SCHINDLER: The intent is to learn
22 from the Wuskwatim case, and that was one of the
23 reasons that Manitoba Conservation initiated some
24 of the initial collaring studies in 2007 in those
25 areas. And it provided a good opportunity to look

1 at the movement patterns and location of wintering
2 areas and calving areas during, or after
3 construction.

4 MS. WHELAN-ENNS: Thank you very much.
5 I am looking at the bottom statistical slide on
6 annual survival. I asked my question earlier, so
7 this is just to basically indicate that we are
8 looking at two years only. Basically you can
9 see --

10 MR. RETTIE: For the annual survival?

11 MS. WHELAN-ENNS: Yes.

12 MR. RETTIE: Yes, correct.

13 MS. WHELAN-ENNS: Thank you. I have
14 already asked in terms of whether or not the 2012
15 Environment Canada Recovery Strategy was part of
16 your work. I'm commenting on that again because
17 in your note slides, you made another reference to
18 the 2012 strategy, which is only just out. Do you
19 anticipate any further advice to Manitoba Hydro or
20 to the panel in terms of any adjustments in your
21 assessment and your technical work, based on
22 what's been prioritized in the 2012 strategy for
23 Manitoba herds?

24 MR. SCHINDLER: I believe the
25 fundamental elements relative to disturbance

1 thresholds are the same between the draft version
2 and final version, and that the affects assessment
3 that was conducted for boreal caribou would stand
4 in terms of that particular revised document being
5 released in its final format.

6 MS. WHELAN-ENNS: Thank you. There
7 are certain herds though now, as of three weeks
8 ago, in the National Recovery Strategy specific to
9 this project that have specific directives.
10 Again, layperson's interpretation, the cumulative
11 effects charts I believe are on five years data.
12 There's black left-hand and maps on each of these
13 snapshots. Are they five years data?

14 MR. SCHINDLER: Yes.

15 MS. WHELAN-ENNS: Thank you. It's an
16 obvious statement, but it's evident from your
17 assessment and technical reports and participation
18 here that you have essentially concluded that the
19 threat to boreal woodland caribou from this
20 project is low?

21 MR. SCHINDLER: I'm not so sure we
22 used the term threat, but the residual effects
23 were not significant would be more appropriate.

24 MS. WHELAN-ENNS: On the threat
25 summary slide, you are right, it's overall level

1 of concern is low in terms of how you billed that
2 in threat categories. Thank you.

3 I'm fairly close, Mr. Chair, in terms
4 of use of time today.

5 I think the only other thing that I'd
6 appreciate a couple of minutes to do is to, for
7 the benefit of everyone in our relative -- our
8 various roles and responsibilities in these
9 proceedings, and then also who have been working
10 and/or are concerned about woodland caribou, I'd
11 like to, if I may, I can do this by asking
12 questions and I know the two of you know all of
13 this, but I think it's relevant to talk about the
14 rather -- I think perhaps high risk to woodland
15 caribou, delays overall in terms of the national
16 strategy. So under the Act, the SARA recovery
17 strategy was due June 6th, 2007. There was in
18 2008, a Federal Government report issued, and a
19 commitment in terms of the strategy would be
20 available. That date passed in 2010. And then in
21 August --

22 THE CHAIRMAN: Are you asking
23 questions or are you making a statement?

24 MS. WHELAN-ENNS: I sort of asked the
25 question how best to do this. Point taken,

1 Mr. Chair.

2 THE CHAIRMAN: If you are making a
3 statement, you'll have an opportunity to do that
4 in a couple of weeks.

5 MS. WHELAN-ENNS: Okay. I'm going to
6 frame a question or two and stop. Thank you.

7 So what I'd like to ask you,
8 Mr. Schindler, given that we have been at this for
9 a very long time, including, of course, it was
10 almost a 15-year period in terms of the technical
11 reports before that, which I do actually remember
12 reading, I wanted to ask you whether or not this
13 dramatic length of time in terms of a decision,
14 and then the recovery strategy for woodland
15 caribou, in your opinion, increases the risk to
16 woodland caribou, both in that time, specifically
17 in that long delay time period? It's a general
18 question, not specific to Bipole III.

19 MR SCHINDLER: I would suggest that
20 the Province of Manitoba has been, within their
21 various regions, have been conducting boreal
22 woodland caribou management in a spirit and intent
23 that is very consistent with what the intention of
24 the National Recovery Strategy is looking towards
25 maintaining those populations and their ranges.

1 And I think that's an ongoing process. I think
2 there's a number of particular examples in the
3 province on the east side of Lake Winnipeg, the
4 Owl Lake integrated forestry strategy, for
5 example. There's other integrated projects on the
6 go. I don't think that caribou have suffered as a
7 result of the delay of this particular report and
8 strategy. However, it does provide direction
9 moving into the future for these caribou ranges.

10 MS. WHELAN-ENNS: Thank you. Two
11 quick questions then. You are aware, of course,
12 that in the period of time that we're talking
13 about, that there were literally judicial orders
14 for a Federal recovery strategy that were missed
15 and so on. May I take from your comments about
16 Manitoba's approach to woodland caribou management
17 that you would agree that we have a need for a
18 woodland caribou plan or strategy for Manitoba
19 again since 2005?

20 THE CHAIRMAN: This is not relevant to
21 this hearing. It's a very relevant question, but
22 it's not relevant to our hearing.

23 MS. WHELAN-ENNS: I hear you
24 Mr. Chair, and thank you.

25 THE CHAIRMAN: Thank you, Ms. Whelan

1 Enns.

2 Panel members have a few questions.

3 Ms. MacKay?

4 MS. MacKAY: I have a few questions
5 around bears, particularly as it relates to
6 caribou. You have both indicated that bears, as a
7 predator of caribou young, are just a big question
8 that we don't know anything about. Is that
9 correct?

10 MR. RETTIE: Yes. Well, there's been
11 some recent information, recent paper I believe,
12 it was from Quebec, where they had chronicled the
13 level of predation by bears on woodland caribou.
14 It's a very difficult thing to study, and I don't
15 think their conclusions were definitive either.
16 But they did note that there was a considerable
17 level of predation. I can find that publication
18 for you, if you'd like, and provide that to you.

19 MS. MacKAY: I guess that would be
20 useful, thank you. Yes. So it was a considerable
21 level. I guess the details of that don't really
22 matter. How would you go about trying to pin that
23 down?

24 MR. RETTIE: The studies that I have
25 seen that have related to bear predation on

1 recruitment levels, they have taken a variety of
2 approaches. It's very difficult to actually study
3 what happens with individual neonatal caribou.
4 First of all, you have to be able to find them at
5 the time at which they are born or very shortly
6 thereafter. And then you'll have to be able to
7 mark them in a manner that doesn't increase their
8 probability of mortality. And then you have to be
9 able to track them essentially on a daily basis.
10 And they are so small, that I remember studies
11 having been done on caribou in the past for barren
12 ground animals, where they would go out everyday,
13 having marked a bunch of calves, and there would
14 be -- they would have a visual observation one
15 day, and the next day all they would find is a
16 collar. They are so small that they can be
17 consumed in a manner of an hour or two and then
18 gone, so you don't actually know what has happened
19 to them.

20 So the studies that have been
21 conducted, I know the ones conducted in Alaska on
22 moose, what they have done is they have
23 essentially provided supplemental feeding for
24 bears during the calving period, and then they
25 have looked at how that affects an increase in

1 recruitment. So they have essentially baited the
2 bears away from predation. They have provided
3 them with an easier food source and they have
4 noted there's been an increase in recruitment.

5 MS. MacKAY: Is there any reason why
6 you couldn't be checking bear feces for caribou
7 protein or DNA?

8 MR. RETTIE: No, that's a possibility.
9 But whether or not that -- it can be difficult to
10 determine what the effect of that is, how many
11 individuals have been consumed and what the effect
12 of that is on the population. So, yes, you can
13 determine, if you can detect bear scat in the
14 spring, and I know there are people who have
15 attempted to do that using detector dogs, you can
16 determine if caribou have been consumed. But the
17 relative levels of predation are difficult to
18 determine from that. It's a very difficult
19 subject to get at, to get sample sizes that are
20 adequate, and our knowledge of population sizes
21 and the number of offspring that were born in the
22 first place, and then try to quantify loss, it's a
23 challenge.

24 MS. MacKAY: We're collaring wolves to
25 try and figure out how they are interacting with

1 caribou. Is there any reason not to be collaring
2 bears to figure out how they are, as part of the
3 answer to how they are interfering or interacting
4 with caribou?

5 MR. RETTIE: No, I think that's a
6 possibility, but I do think that in terms of
7 actually quantifying predation, it's -- following
8 wolves when they are preying on larger animals,
9 you have typically got a kill site that they are
10 occupying for a day or more and there are remains
11 left behind. But when you're looking at predation
12 on calves, there's virtually nothing left, and I
13 don't even know if you'd be able to determine if a
14 bear had remained in an area long enough to have
15 picked up on that area as a mortality site for
16 where it killed something and consumed it. The
17 calf, there would be nothing left, it would be
18 gone.

19 MS. MacKAY: But in terms of our
20 concern over caribou, is this something that we
21 should be pressing for more research on?

22 MR. RETTIE: It's worth considering,
23 yes. I don't know if we should be pressing for
24 more research on it or not. I think, as I
25 outlined yesterday, in terms of a threat of

1 predation to caribou, there are two things that we
2 would need that I would think would be precursors
3 to our concern. One of them would be evidence
4 that there is population decline, or as I outlined
5 yesterday, there is poor recruitment, and there
6 has been for a couple of years, if that persists
7 then that's evidence that there may be a problem.
8 And then we should perhaps be looking at what the
9 cause of that poor recruitment is, knowing that we
10 have got high pregnancy rates and likely high
11 birth rates, we should be then investigating, if
12 it persists for more than two or three years. And
13 the other thing is to try to determine if there's
14 a likely connection with, if we can come up with a
15 line of reasoning that would connect the low
16 degree of habitat loss, or increase in access that
17 may be provided by a transmission line, and
18 whether or not it would be possible to make a
19 logical link with that as a cause for predation,
20 for those low recruitment rates. And if we can
21 make that link logically, then I would suggest
22 that the impetus for a study would be increased.

23 MS. MacKAY: And in relation to the
24 right-of-way, is the potential increase in fodder
25 for bears, as in berry crop along the

1 right-of-way, liable to be any sort of a problem
2 for increased bear numbers in the area?

3 MR. SCHINDLER: That was actually a
4 very good point that was brought up by our expert
5 panel at the beginning of the studies that we had
6 indicated in terms of our -- the experts, what
7 they predicted, that perhaps this is something
8 that could require some further evaluation and
9 research, relative to creating succulents in a
10 vegetation right-of-way, just as you indicated, in
11 and near calving areas in particular. If you are
12 attracting bears into those areas, it was thought
13 to be an issue that should be investigated.

14 There is probably a number of ways
15 that you could assess this in terms of looking at
16 locations of female caribou in relation to
17 transmission lines and so on, and then following
18 the success of their recruitment through the
19 summer period, knowing whether or not they are
20 losing their calves in proximity to some of these
21 disturbances as opposed to other areas. So
22 there's ways that we could probably look at, or
23 recommend that maybe analysis of calf survival in
24 and near linear features could be assessed.

25 Ontario is also -- I wasn't able to

1 get to the last caribou conference, but apparently
2 they are using camera collars to get that exact
3 information, to find out why these calves are not
4 making it through the summer period. And they are
5 looking at the possible use of -- it's a pretty
6 unique piece of electronic innovation, but it's
7 able to look at, you know, particularly during
8 that period.

9 The one thing that I should mention is
10 that there is a lot of studies that have indicated
11 that bears do predate on ungulate calves. And
12 it's an interesting time frame, when those calves
13 are actually at their most vulnerable stage. And
14 it almost relates to the timing of green up, and
15 bear foraging behaviour is really related to that
16 critical period of time when they come out of
17 their dens, particularly large bears that are
18 craving protein would perhaps maybe be those
19 cohorts that key in on calves. But as the summer
20 starts to green up and they have got other
21 opportunities to forage, that risk seems to
22 dissipate.

23 So what Jim was mentioning about
24 diversionary feeding, it has really worked in
25 areas on a short period of time as sort of an

1 opportunity to increase recruitment rates.

2 MS. MacKAY: Just on the topic of
3 berries and the right-of-way, in your slide on
4 mitigation for moose, you suggest that natural
5 regeneration providing forage in the right-of-way
6 for moose is one of the mitigation factors. Are
7 the bears and berries an alternative negative
8 around that for predation on young moose?

9 MR. SCHINDLER: That's a very good
10 question. I think the mitigation for natural
11 predation would be one to not degrade the habitat
12 within, you know, particularly important moose
13 areas. I think the production of berries,
14 particularly blueberries kind of favour perhaps
15 more arid, dry sites, that a lot of those areas
16 would regenerate to sort of almost to what was
17 there before.

18 MR. RETTIE: I think as an addition to
19 what Doug was mentioning earlier about the timing
20 is also a critical factor. So berry output is
21 going to be late July and into August, and at that
22 point the vulnerability period for moose calves is
23 passed.

24 MS. MacKAY: I have one more question
25 that's totally unrelated, if I could, before I

1 yield the microphone. When you look at your
2 evaluation ranges, many of them butt right up
3 against one another. And I'm wondering, if we're
4 really talking about separate herds here, caribou
5 herds that will actually have a social structure
6 within them, or if this is perhaps as the moose,
7 more general population. Are these individual
8 identifiable herds, and if so, how much
9 interbreeding is there between the different herds
10 in general?

11 MR. SCHINDLER: There is just recently
12 been some genetic research, I'm not sure it's
13 published yet, but Dr. Paul Galpren looked at some
14 of the genetic distribution, particularly in the
15 areas north of The Pas, that includes all of the
16 evaluation ranges. And I don't have the
17 information right in front of me, but I can tell
18 you that there is evidence that those populations
19 are genetically similar, so that they are
20 connected genetically. So they do interbreed, if
21 you wish.

22 The determination of evaluation ranges
23 is a function of their calving areas and their
24 wintering areas. So it's almost like
25 conglomerations of animals that are, you know,

1 unique characteristics of utilizing that same
2 patch of land, as we have defined by our
3 evaluation ranges.

4 You make a very good point that some
5 of them do overlap. And as I indicated in the
6 presentation, going across Canada there are sort
7 of different philosophies by different
8 jurisdictions in terms of lumping populations or
9 splitting populations. And even in Manitoba, if
10 you look at the range maps there's some overlap in
11 certain parts of the province, and in other parts
12 of the province there are probably separate sub
13 ranges that are included in one larger range.

14 So we did not want to -- we used kind
15 of a similar kind of thinking that the wildlife
16 folks at Conservation, and we didn't lump, and we
17 tended to split it out, which would create a more
18 precautionary approach in terms of evaluation. If
19 we would have lumped some of those populations, it
20 would have lessened the degree of effect, so we
21 wanted to be precautionary and tighten it up as
22 much as we could.

23 MS. MacKAY: Thanks very much.

24 THE CHAIRMAN: Mr. Gibbons.

25 MR. GIBBONS: Yes, thank you. I do

1 have several questions, in some cases for
2 Dr. Rettie and in some cases for Mr. Schindler, in
3 others, perhaps either one could answer.

4 First, though, I think goes to
5 Dr. Schindler, and it's actually a point of
6 clarification regarding a table. And I'm
7 wondering whether or not I'm misreading the table
8 or not. It's in regards to what, by my count, is
9 slide 27 on the moose presentation. It's the
10 reference -- let me see if I can find the exact
11 title for you. No, sorry, slide 42. I will come
12 to slide 27, but slide 42 first.

13 For slide 42, there is a key used in
14 this map indicating high quality moose survey
15 results ranging, with shadings indicating levels
16 of 10 percent up to 90 percent, where 10 percent
17 is the darkest concentration and 90 percent the
18 lightest. And I'm wondering, just for my own
19 information, from my understanding of the map, if
20 the key has been reversed? In other words, is
21 that a typographical error or am I missing
22 something? Typically the dark areas would
23 indicate the highest rather than the lowest, I
24 would think.

25 MR SCHINDLER: Those are probability

1 kernels. And the outer ring would be like, there
2 is a 90 percent probability of a point falling
3 within that larger area. And as you move closer,
4 there is darker areas, 10 percent of your
5 observations would be within those areas. So it's
6 a term used in terms of the distribution, density,
7 the technical term is utilization distribution.
8 So it's a function of probability of a moose. So
9 out of the broader area, you've got a 90 percent
10 chance of having a moose. And as you go into
11 closer -- so if we picked, for example, like the
12 50 percent kernel, we would, you know, it would
13 represent 50 percent of the probability of having
14 moose.

15 MR. GIBBONS: So what you're not
16 trying to do necessarily is to avoid the darkest
17 areas? I guess I am trying to figure out the
18 implication of the map and I am having some
19 trouble. The implication in terms of routing the
20 line, the dark areas are not areas that you would
21 necessarily avoid because there's only a
22 10 percent chance of that being high quality
23 habitat?

24 MR. RETTIE: I'll try to explain it.
25 What happens is if you have got concentrations of

1 points, the highest concentration of points are
2 those darkest areas, so 10 percent of your points
3 are found in those very tight areas. So there's a
4 very high concentration of observations there. So
5 as you go out, you are including more and more of
6 your points, but they are spread out more. So the
7 density gets lower and lower.

8 MR. GIBBONS: So the density gets
9 lower as you go out?

10 MR. RETTIE: So the darkest points are
11 the ones you're most concerned about.

12 MR. GIBBONS: They are?

13 MR. RETTIE: Yes.

14 MR. GIBBONS: Because when you see the
15 10 percent and the 90 percent, it seems almost
16 counterintuitive that there are -- that you would
17 want to avoid the 90 percent. But what you're
18 trying to do is avoid the 10 percent, because
19 that's the area where they are the closest
20 together?

21 MR. RETTIE: That's right.

22 MR. GIBBONS: That helps me understand
23 the map thing.

24 Staying with Dr. Rettie, with the same
25 study, the moose study, and here again referring

1 to your slide, what by my count is slide number
2 27. And I think it might well apply to a couple
3 of the other slides. But in comparing, as one
4 might, the historical data for the GHA 14, sorry,
5 for Porcupine Mountains, Duck Mountain, et cetera,
6 in the case of, I think it's Duck Mountain, the
7 Duck Mountains, you have indicated where there was
8 a decline on the table itself with the word
9 access, presumably the idea that increased access
10 is what is likely the cause of that precipitous
11 decline in the moose population in the period from
12 roughly 1998 to about 2007, went from an estimate
13 of around 3000 down to about 2000. Sorry, that
14 would be -- so these are slides 21, 24 and 27, I
15 guess. For Porcupine Mountains Provincial Forest,
16 however, and for GHA 14, and GHA 14 had a massive
17 decline in terms of the numbers that were -- the
18 population estimates. For those two we don't see
19 any indication as to what might have been the
20 cause, I'm assuming that we might not know
21 exactly, but what might have been the cause for
22 what is the 30 percent decline in the case of the
23 Porcupine Mountains, and then a massive decline
24 from about 2400 down to about 140 in GHA 14. Is
25 it strictly a hunting issue? Was there increased

1 predation? Was there disease? Can I get a better
2 sense of what the estimated cause of those
3 declines might have been, particularly for GHA 14?

4 MR. RETTIE: Sure. Just in reference
5 to the one on game hunting area -- sorry, for Duck
6 Mountain Provincial Park where you have that
7 access noted in there. If I understand it
8 correctly, and Mr. Schindler put these together,
9 that was a period where there was increased forest
10 harvesting, so the number of roads that went in
11 for forest operations increased considerably at
12 that period of time.

13 For game hunting area 14, when I look
14 at the numbers that are here, the key figure to me
15 is the one that doesn't show the population
16 decline, but the one, even though there are only
17 data points in there, where we look at calves per
18 hundred cows, where that gives us measure of
19 recruitment. It's the bottom slide on that page.
20 So there's a top slide that says historical data,
21 GHA 14 --

22 MR. GIBBONS: That's the one I'm
23 referring to, there is a precipitous decline.

24 MR. RETTIE: Yeah. When I see a
25 population where I've got 50 or 60 calves per

1 hundred cows being produced, then I see a
2 population that has no issues for habitat. There
3 is a very clear relationship in population
4 responses to stresses brought about either by a
5 high population density, one that's exceeding the
6 capacity of the habitat to sustain it, or even
7 stochastic events like very severe winter or
8 something like that, what happens is the first
9 thing that goes is recruitment. That's the first
10 place you should see an effect. And although
11 there are only years worth of data here, those
12 recruitment rates are really high. So that points
13 to a population that should be in a habitat that's
14 well able to sustain not only the population
15 that's there, but well able to provide growth.

16 And so when I see a population
17 decline, as shown in the top slide, I
18 automatically think of hunting as the most likely
19 cause, particularly when we see a loss of
20 80 percent of a population over a ten-year period
21 up to 2002, and then we lose another two-thirds of
22 the population in the ten years that follow.

23 MR. GIBBONS: Do we know that there
24 was anything specific to that area that we should
25 be aware of? Was there increased hunting during

1 that time?

2 MR. SCHINDLER: In the context of our
3 EIS, the amount of hunting and the statistics
4 available to us are very limited. And I don't
5 believe that Manitoba Conservation has the data
6 that would, you know, provide hunting statistics
7 on a year-by-year basis, or by community, or First
8 Nation, or Metis Federation, et cetera. There's
9 very little information on who's shooting moose.

10 MR. GIBBONS: So we're pretty much in
11 the dark about what happened there I guess?

12 MR. SCHINDLER: (Witness nodding).

13 MR. RETTIE: (Witness nodding)

14 MR. GIBBONS: I think that's it for
15 the moose question. On the caribou question, this
16 is just from my own following of the
17 documentation, both in its presentation form, but
18 also in the technical reports. There are times,
19 there are reasons for this I'm sure and I guess
20 that's the question, where in some cases, for
21 example, on the screen right now we have five
22 ranges included in -- so five ranges had deployed
23 collars out of a total of seven. But at various
24 times the charts, maps, et cetera, refer -- well,
25 the maps normally refer to six or seven ranges.

1 The tables and charts, sometimes anywhere from
2 three to seven and something in between. For
3 example, in some cases Harding Lake is included,
4 other cases not. Reed Lake is included in some
5 cases, other cases not. Can I get a better
6 understanding of why there is a variation in what
7 is or is not included in the data in the
8 individual tables?

9 MR. SCHINDLER: I think what has
10 happened, that some of these, there's been some
11 collaring going on, for example, in the Harding
12 Lake area earlier on is included, and actually
13 should be on that particular slide. Our apologies
14 there, we can update that particular piece of
15 information. But there's a difference between the
16 evaluation ranges that were used in the assessment
17 of the recruitment and mortality work as opposed
18 to some of the pre-project monitoring that was
19 done relative to defining the ranges across the
20 project area. So there would have been some
21 collaring in Harding Lake, for example. And there
22 would have been collaring in the Wheadon area as
23 well, which is separate from the Wimapedi-Wapisu
24 group. So some of the analyses have not been
25 conducted on all of the ranges that have been

1 collared, but have been used in the evaluation of
2 alternative routes, but may not have been used in
3 some of the research on recruitment and mortality.

4 MR. RETTIE: I think, though, the one
5 obvious omission is on this very slide where the
6 Harding Lake collar deployments are noted.
7 Otherwise the collar deployment slide would
8 contain those ranges, exclusive of Charron Lake,
9 which was not really part of the assessment of the
10 study area, but was rather used in reference for
11 the -- for population dynamics. So perhaps
12 Charron Lake should be on here as well. Other
13 than that, I noticed for all of the three tables
14 that we have for population dynamics, the one on
15 adult survival, the one on recruitment, and the
16 one on lambda, they include all of those
17 populations. And then later on when we got into
18 the assessment of habitat selection, at that point
19 we were looking only at The Bog and Wabowden
20 because those were the only two that were
21 intersected by the final preferred route. So
22 that's why our analysis narrowed for that portion
23 of the analysis.

24 MR. GIBBONS: Last question might have
25 a couple parts to it, but I think they are

1 connected, so perhaps it would be easier for one
2 or both of you to speak to this in a more
3 composite fashion. It has to do with what I
4 suspect is going to be on the part of most people
5 listening to the caribou reports and reading the
6 caribou reports and so on, and that is that there
7 is obviously some concern about the low
8 recruitment figures. They are, in essence, out of
9 whack with what we see elsewhere. They are about,
10 if I compare with the data that you have, they are
11 about, they are less than half, if you average
12 them out as I have done -- sorry, I am one of
13 those number crunchers so I do that -- they
14 average out to be less than half of the rate in
15 Alberta that we saw, and less than one-third of
16 the rate that we saw in Saskatchewan. And when
17 you look at data from other areas other than
18 those, they seem to be quite -- well,
19 statistically speaking, they are outliers, they
20 are really quite low compared to what we might
21 have expected. As a result of that, I'm
22 wondering, seeing those kinds of recruitment data,
23 whether a couple of things might be thought as, if
24 not necessary, at least useful.

25 One is what kind of monitoring must be

1 done and how comprehensive should it be in order
2 to understand what the effects of Bipole might be
3 on the caribou population? That includes
4 potential for cumulative, a stronger cumulative
5 effects analysis given that we have such a
6 fragile, what seems to be a fragile population.
7 And if I'm using the term fragile here in an
8 inappropriate way, do correct me on that.

9 I suppose the other element of that is
10 over what time period? Dr. Rettie, I heard you
11 mention, and if I'm putting words in your mouth,
12 please correct me if I am, but I thought I heard
13 you say a person might prefer more than a two or
14 three year study. Now, not necessarily in this
15 context, but I'm wondering in general, is two or
16 three years enough for the kind of study that
17 would seem to be required to fully understand the
18 situation? And I'm speaking now not only two to
19 three years in the future, but also in terms of
20 some of the data that we have going back. Because
21 in some cases, you can see here we have data
22 for -- we have collars for 2009, 2010, 2011. We
23 can't go back and put collars on historically, but
24 I'm wondering if we can reach back historically in
25 terms of data and try to get a better sense of

1 what the patterns have been over time. It seems
2 to me that two to three years is a fairly short
3 period when we're trying to deal with animals, for
4 example, that might display some form of adaptive
5 behaviour and so forth. So I'm wondering if you
6 can speak to that kind of question. What kind
7 of -- how comprehensive should the study be, what
8 time period, to what extent do we need to
9 incorporate cumulative analysis because of these
10 low recruitment rates?

11 MR. RETTIE: I would say that two to
12 three years is probably too short, particularly to
13 assess recruitment. I would like to look at a
14 five-year period. One of the things that I would
15 note, though, is that for recruitment you don't
16 actually require the radio collared animals, you
17 can go out and do surveys in those areas, and age
18 and sex the animals that are there, which makes it
19 a more affordable thing to do. Because the
20 purchase of collars and capturing of animals can
21 get quite expensive. Aerial survey work will give
22 you a good assessment of recruitment. And if the
23 data that we have right now, that suggests that
24 adult mortality is reasonably high, particularly
25 as this study continues on for another year or

1 two, or however long it's supposed to go for,
2 we'll have I think probably a fairly solid data
3 set that shows us that adult survival is sound and
4 it is, you know, it's approaching 90 percent. And
5 that that's likely stable. That's what we would
6 expect, is that you wouldn't see a lot of
7 variation in adult survival. I mentioned earlier
8 that recruitment is the first thing to go, adult
9 survival very last thing to go. So if we can go
10 out and monitor recruitment by aerial surveys in
11 affected areas, that's probably an affordable
12 thing to do over the long-term. And you know, I
13 would say a five-year period is appropriate to get
14 a reasonable assessment.

15 MR. GIBBONS: Thank you.

16 THE CHAIRMAN: Thank you. I have a
17 few questions about white-tail deer, and then
18 following that about the worm, the brainworm, and
19 also I think one or two questions about your
20 cumulative affects assessment. But on the
21 white-tailed deer, in your presentation you said
22 that very few deer were observed on the trail
23 cameras. But there had been sightings of deer in
24 The Bog area on the trail cameras, is that not so?

25 MR SCHINDLER: Yeah, there has been

1 very low densities, but they do occur, yes.

2 THE CHAIRMAN: And you also state that
3 the habitat north of Red Deer Lake is limiting for
4 white-tail deer?

5 MR. SCHINDLER: Yeah, it's a very
6 boggy and open environment, it's a lot of moss and
7 lichen. It's not what you would typify as good
8 white-tail deer habitat.

9 THE CHAIRMAN: But a hundred years ago
10 there were almost no white-tail deer anywhere in
11 Manitoba. Nowadays, any of us who might have
12 property in rural Manitoba, or even live near the
13 Assiniboine Forest in Winnipeg know that
14 white-tail deer seem to be extremely adaptive and
15 extremely prolific. We know that in, from a 2011
16 study in Northern Alberta, or in Alberta in boreal
17 caribou habitat, over a period from '94 to 2009,
18 the number of white-tail deer increased 17 fold.
19 I realize it's differ terrain. There are
20 white-tail deer further north in Saskatchewan,
21 again, different terrain, but they are moving
22 north. And then there is always the very real
23 presence of climate change.

24 So can we say with certainty that
25 white-tail deer are not going to move further

1 north? And before we go there -- or that they are
2 not going to go north through the Interlake?

3 MR. SCHINDLER: I have had several
4 discussions with the regional wildlife manager up
5 there. And you know, white-tail deer have been
6 prevalent in the Carrot River Valley and in The
7 Pas area for 50, 60 years, there's been a core
8 population. And in some of our discussions, you
9 know, relative to, you know, why are we not seeing
10 these populations expand, even with some forestry
11 operations that have occurred south of The Pas?
12 And it just seems to be that, you know, through
13 time if there would have been some establishment,
14 you've got sort of that satellite population of
15 viable deer, but they stick to the valley, the
16 agricultural areas, the different terrain that's
17 associated with the Delta at The Pas. We would
18 have assumed that, you know, within the last 50
19 years maybe they would have established themselves
20 through that area. But for some reason, you
21 know -- and then flying over the area, and I've
22 been over it a lot, and it's a very open
23 coniferous peatland area with very poor soils.
24 And I mean, with climate change, I mean, anything
25 is possible. But we have not seen any type of

1 maintenance of populations outside of The Pas or
2 south of Red Deer Lake in terms of white-tail.
3 They don't seem to be able to persist. I mean,
4 you can move in there, and you need white-tail
5 deer in fairly significant concentrations in
6 proximity to caribou for them to order to pass on
7 the parasites as well. The parasite would be
8 transmitted during their feces and feeding during
9 summer period.

10 THE CHAIRMAN: How about in proximity
11 to moose, because it also affects moose, if I'm
12 correct?

13 MR. RETTIE: Yes, it does affect moose
14 as well.

15 THE CHAIRMAN: Is there any -- the
16 moose are further south in that area. Is there
17 any intermingling of moose and white-tail deer in
18 any of the study area?

19 MR SCHINDLER: Yeah. I mean, the
20 overlap of white-tail deer and moose, it would be
21 very significant as you move south through the
22 Porcupine Mountains, game hunting area 14, the
23 Ducks, significant overlap of white-tail deer and
24 moose. They would be occupying much the same
25 types of habitat. The information provided to us

1 in discussion with Manitoba Conservation, you
2 know, they never had a case of brainworm that has
3 been reported within that western region of
4 Manitoba, it has not occurred there. You would
5 expect that if there was a prevalence of brainworm
6 within the white-tail, it would show up within the
7 moose population. And from my experience, when I
8 used to work in the southeast part of the province
9 there, that brainworm infected moose made
10 themselves quite obvious in terms of their getting
11 into open areas, and just their behaviour, they
12 can be detected. But you know, there hasn't been
13 any reported cases.

14 THE CHAIRMAN: I find that
15 interesting. We have been made aware of a study
16 done in 2003 by a person named Wassel et al, who
17 looked at almost 2000 deer heads from
18 Saskatchewan, Manitoba, and North Dakota. And for
19 the area around The Bog, he shows an existence of
20 the parasite. This was in 1989 and '90. And
21 shows it at a pretty high rate, at 40 to
22 60 percent of the sample. Now, I don't know how
23 big the sample from that area was, it might have
24 been quite small, but he does indicate there was a
25 presence of this parasite over 20 years ago.

1 MR. SCHINDLER: Yeah, that's very
2 true. And it's interesting that parasite shows up
3 in white-tail deer close to the border of
4 Saskatchewan, and I don't argue with the results
5 of that. The presence of -- the occurrence of the
6 actual -- the reports of actually infected moose
7 have not occurred. But you raise a good point
8 that there is that particular little bit of risk
9 there. But based on our information and the
10 distribution of deer within the area, that is how
11 we have come up with our conclusions. But you
12 know, we did investigate those particular papers.

13 THE CHAIRMAN: Has there been any
14 evidence of white-tail deer moving up through the
15 Interlake into the study area?

16 MR. SCHINDLER: Well, white-tail deer
17 are very prevalent in the Chitek Lake area up into
18 Easterville. There is not a lot of -- I don't
19 think we had any population or deer density
20 information. They don't tend to survey those
21 areas very often. And the distribution of deer in
22 relation to that Chitek Lake, I forget the game
23 hunting area number, but I don't believe there's a
24 lot of deer surveys that had been done up in that
25 neck of the woods basically, so there's not a lot

1 of deer survey data for that area where The Bog is
2 or in that area through the Interlake.

3 THE CHAIRMAN: Do you think that there
4 should be monitoring for brainworm in that area?
5 Do you know the last time anybody did any
6 monitoring for brainworm anywhere across that mid
7 northern part of the province?

8 MR. SCHINDLER: I know there's been
9 some done in Southeastern Manitoba. And actually
10 you can monitor, I know that Manitoba Conservation
11 is monitoring for chronic wasting disease up
12 through that area. It's not that difficult of a
13 program to look at monitoring, you know, if
14 hunters turn in deer heads, that it's a fairly
15 simple monitoring program that could be
16 undertaken. You can also look at surveying the
17 snails within the soil, because those parasites
18 show up in the snail populations. So there are
19 some relatively inexpensive ways to monitor the
20 prevalence of P. tenuis or brainworm in those
21 areas.

22 THE CHAIRMAN: Do you think it's worth
23 doing?

24 MR. RETTIE: I'm not sure. I know, as
25 Doug had mentioned, when animals other than

1 white-tail deer are infected, they do make
2 themselves -- it affects their behaviour, they
3 wind up on the roads, they wind up in fields, and
4 they are wandering around in an erratic manner.
5 Most of the places I'm familiar with where they --
6 what I've heard people specifically studying P.
7 tenuis, typically it's after an observation has
8 been made. So they make conservation officers or
9 people out on the land aware of what the
10 characteristics are of animals that are infected,
11 and they wait for an observation to come in. At
12 that point they start monitoring, rather than
13 going out and doing a proactive monitoring
14 program. But if there are already programs in
15 place where hunters are turning in deer heads, as
16 there are in Western Manitoba, it is relatively
17 straightforward to be sampling for P. tenuis at
18 the same time.

19 THE CHAIRMAN: Thank you. I did have
20 one question about your cumulative effects
21 assessment. And it strikes me that it's fairly
22 simple, and all you really looked at was how much
23 the line would add to the disruption in an area.
24 Am I correct, is that really all you looked at?

25 MR. SCHINDLER: Well, that was part of

1 it, and to assess -- we wanted to use the approach
2 that was utilized in the National Strategy in
3 terms of looking at the percent disturbance within
4 the range, the contribution of the FPR to that, as
5 well as looking at the cumulative effects of other
6 activities as we described, the mining activities,
7 the forestry activities. So are we getting close
8 to that threshold, or what were the effects. But
9 it does give you a picture of all of the
10 disturbance, plus the amount of natural
11 disturbance versus the human caused disturbance as
12 well. So, you know, we wanted to test the
13 footprint of the FPR obviously against the
14 standards that Environment Canada has laid out,
15 but, yeah.

16 THE CHAIRMAN: Thank you. Mr. Kaplan?

17 MR. KAPLAN: If I could, just
18 continuing along with the brainworm issue, and
19 only because it was one of the first things I read
20 when all the volumes were sent of the EIS to my
21 house. Dealing with brainworm, and assuming for
22 the moment that it was in fact detected as far as
23 caribou and/or moose population, how long, if that
24 were detected, would it take you to correct the
25 situation do you think?

1 MR. RETTIE: I think a typical
2 response would be to try to eradicate deer in the
3 area, to the best of your ability. It's unlikely
4 you're going to clean it up any other way than
5 removing the definitive host. So if you can
6 effect hunting opportunities in a manner that
7 encourages people to take additional deer and
8 reduce the deer population, reduce the deer
9 density, you should reduce the prevalence of the
10 disease.

11 THE CHAIRMAN: Are there any members
12 of the public who have questions on this specific
13 issue of the Hydro officials? Mr. Williams?

14 MR. WILSON: I don't have a question,
15 just -- I'm not usually asking for undertakings
16 from the Commission and I'm certainly not asking
17 for one now. But I note there was a reference to
18 a Wassel report in terms of parasites. And if
19 it's not on the record, certainly my client would
20 appreciate a reference to it so that they can --
21 perhaps we could ask Ms. Johnson to distribute it?

22 THE CHAIRMAN: We'll have to consult
23 with our consultant who references it in a report,
24 but I don't believe provided us the report, but
25 I'm sure we can get it.

1 MR. WILSON: That would be
2 appreciated, Mr. Chairman.

3 THE CHAIRMAN: Okay. Well, thank you.
4 You guys have had a couple of big days.
5 Mr. Mills?

6 MR. MILLS: Just a process question.

7 THE CHAIRMAN: Oh, certainly, I was
8 going to excuse these gentlemen.

9 MR. MILLS: And you could, this is
10 just some housekeeping.

11 THE CHAIRMAN: Okay.

12 MR. MILLS: A brief history, on
13 October 11th Hydro made a Pine Creek First Nation
14 watershed study available in the community. We
15 requested that on October 27th -- pardon me, on
16 October 22nd in Dauphin, as you may remember. We
17 received it on October 25th with an indication
18 that it's to be presented at or near the end of
19 Hydro's presentation. We will take information
20 from that and need a bit of time to put that
21 together for our subsequent presentation. And I
22 fear I'm going to be outside of your seven, 14-day
23 hard and fast. So I'm asking you in advance,
24 we'll be able to submit most of our presentation
25 prior, but I'm asking for you to confirm that

1 we'll have some leeway in order to incorporate
2 that tight schedule? We can make it work if
3 you'll allow us to make it work, but I don't want
4 to be told no.

5 THE CHAIRMAN: You don't want to be
6 told no.

7 MR. MILLS: I don't like that. It
8 happens all the time.

9 THE CHAIRMAN: Let's work this out off
10 the record. But I would think as long as you can
11 submit the bulk of your submission within the time
12 frames that had been prescribed, and you can work
13 with Ms. Johnson just in respect of that piece
14 that will relate to the Hydro document that you
15 obtained, and as long as it's not the night before
16 your presentation.

17 MR. MILLS: We would ask for some
18 breathing time between Hydro giving us that
19 information and us putting it into our position.

20 THE CHAIRMAN: You've had it for four
21 or five days already. So talk with Ms. Johnson,
22 and we'll work out something reasonable, but you
23 will submit the bulk of your presentation within
24 the seven days, is that what you said?

25 MR. MILLS: We will. But all we've

1 had, to be clear, Mr. Chairman, is the PowerPoint
2 presentation. And there's going to be a lot of
3 questions asked and there is going to be a lot of
4 information received. And I just want to make
5 sure I've got the elbow room to carry that
6 information forward.

7 THE CHAIRMAN: We'll be reasonable.
8 You'll be reasonable, I'm sure.

9 MR. MILLS: We always are.

10 THE CHAIRMAN: Okay.

11 MR. MILLS: Well, thank you, I'll hold
12 you to being reasonable.

13 THE CHAIRMAN: Okay. Well, I'll
14 excuse you now. As I started out saying, you have
15 had a grueling couple of days but you've done
16 well. So thank you to Mr. Schindler and
17 Dr. Rettie, and to your support staff behind you
18 there. And we'll see at least some of you next
19 week.

20 Now, I'm not sure that we should begin
21 a cross-examination right now of the main thing.
22 It's about 20 to 5:00, we're going to break for
23 supper shortly anyway. We do have I think four
24 people scheduled to make presentations after
25 supper. They are allowed 15 minutes. I suspect

1 that some of them may take the 15 minutes, some of
2 them may not. So we may be ready to have some
3 cross-examination at 8:00 o'clock.

4 Now, Mr. Mills, would you be prepared
5 to begin cross-examination on the environmental
6 assessment stuff this evening?

7 MR. STOCKWELL: Sorry, I'd like some
8 understanding of how we're going to proceed, like
9 what of the presentations we're going to have
10 access to?

11 THE CHAIRMAN: We're going to be
12 dealing with -- and let me see if I can find my
13 notes here -- we're going to be dealing with
14 everything that was presented by Hydro on Monday
15 and Tuesday, which includes the environmental
16 assessment approach, sustainability assessment,
17 cumulative effects assessment by Mr. Osler, the
18 biophysical elements and assessment, which was
19 three parts, birds by Mr. Berger, vegetation by
20 Mr. Szwaluk, aquatics and amphibians by Mr. Mazur.
21 Then on Tuesday, socioeconomics by Ms. Hicks,
22 heritage and archaeology by Ms. Petch, agriculture
23 by Mr. Nielsen, and the property which I suspect
24 won't be a big deal, Mr. McLeod.

25 MS. MAYOR: Sorry, Mr. Sargeant, as we

1 had spoke about over the noon hour or one of the
2 breaks, we'll probably break it down into
3 components, we would break it down into two
4 panels. So the first one would be, the first
5 topics leading up to I think the last presentation
6 was mammals and birds, so kind of the biophysical
7 plus the cumulative effects, and we will let that
8 panel group go up. And then once they are
9 finished their cross-examination, then we would
10 have the cumulative effects and the socioeconomic
11 group.

12 THE CHAIRMAN: So this evening, if we
13 have cross-examination, would be on the
14 environmental assessment piece, the Monday
15 presentations?

16 MS. MAYOR: That's correct, and early
17 into Tuesday morning.

18 THE CHAIRMAN: Oh, yes, the mammals
19 was Tuesday morning.

20 MS. MAYOR: Yes, thank you.

21 THE CHAIRMAN: Does that help you,
22 Mr. Stockwell?

23 MR. STOCKWELL: That helps. No, we
24 won't be ready.

25 THE CHAIRMAN: Would anyone else be

1 ready to begin cross-examination on the
2 environmental assessment approach this evening?
3 Nobody is jumping up and volunteering, which just
4 means that we may have to catch up an hour
5 somewhere else. I can tell you right now that
6 we're going to have to sit Monday evening. So
7 we'll be going all day Monday, most of it, if not
8 all of it on cross-examination. So everybody
9 better be prepared for Monday or else you are SOL.

10 So we will break now then for dinner.
11 Please come back at 7:00 o'clock. We will have,
12 we know of four people, there perhaps will be more
13 that may show up for presentations, or questions.
14 So Hydro better have at least a skeleton crew here
15 to perhaps take notification, if you can't answer
16 the questions.

17 (Proceedings recessed at 4:42 p.m. and
18 reconvened at 7:00 p.m.)

19 THE CHAIRMAN: Could we come to order,
20 please? This evening, we're opening the floor for
21 members of the public to make presentations. I'll
22 just note that public presentations are limited to
23 15 minutes each. For those of you who may be
24 making presentations, I have a couple of cards,
25 one that says five and one that says two, and I'll

1 give you a flash, I'll flash the cards when you're
2 getting close to the end of your 15 minute period.
3 You should also know that members of the panel may
4 have questions of those who make presentations,
5 but you're not subject to cross-examination from
6 any of the parties.

7 So we have four people who have
8 registered to speak this evening, we'll take them
9 in order. Mr. Tishinski, Ms. Hamilton, Paul
10 Rempel and Shandra Rempel. And anyone else who
11 wishes to make a presentation, after that I will
12 invite and open the floor after that.

13 I should also note that our rules of
14 procedure require that anyone making a
15 presentation, who in other words is giving
16 evidence, needs to affirm that the evidence they
17 give will be true. So the Commission secretary
18 will ask you to make that affirmation.

19 I don't believe we have any other
20 business to deal with at the open, so the first
21 person on my list Will Tishinski.

22 MS. JOHNSON: Could you please state
23 your for the record?

24 MR. TISHINSKI: Will Tishinski.

25 Will Tishinski: Sworn.

1 THE CHAIRMAN: Go ahead, sir.

2 MR. TISHINSKI: My entire 36 year
3 working career was spent with Manitoba Hydro, the
4 last nine years as vice-president. Most of my
5 years were involved in the planning and operating
6 of generating stations and high voltage
7 transmission lines. I hold Bachelor and Master
8 degrees in Electrical Engineering from the
9 University of Manitoba. I make this presentation
10 as a private citizen and not on behalf of any
11 organization.

12 It's a travesty that the scope of the
13 CEC hearing has been made so restrictive that no
14 review can be made of reliability, nor of the
15 NFAT, which is need for and alternatives to the
16 Bipole III project.

17 Manitoba Hydro spent the better part
18 of the afternoon of the first day describing the
19 catastrophic consequences of an outage of the
20 existing DC transmission lines, and explaining the
21 need for Bipole III. Reliability was advanced as
22 the primary reason for the construction of this
23 line. Despite all of the arguments for
24 reliability, that topic was ruled out of scope.
25 It is incredible that the project's most important

1 purpose has been eliminated from the review
2 process.

3 Likewise, elimination of an NFAT
4 review prevents any discussions of the alternative
5 route on the east side of Lake Winnipeg. Any
6 major project should be able to withstand the test
7 of an NFAT review. The crucial need for having an
8 NFAT review is best understood by reviewing the
9 history of Bipole III.

10 Ever since Bipoles I and II were
11 placed in service, Manitoba Hydro recognized that
12 Bipole III would be required at some future date.
13 In the early 1990s, when a sale to Ontario was in
14 place, Hydro began planning a route for Bipole III
15 on the east side of Lake Winnipeg. The
16 professionals within Hydro considered all of the
17 relevant issues involved in planning a
18 transmission line, including technical, economic,
19 reliability, environment and social.

20 Later when Hydro established a need
21 for Bipole III for Manitoba's own needs, it stayed
22 with the east side option. This plan initially
23 called for a line only and no conversion
24 equipment. Hydro had the right plan. Aboriginal
25 consultations and route selection process

1 commenced and continued for several years.

2 In 2004, the Government of Manitoba
3 asked Hydro to cease work on the east side. The
4 reason given was that the province intended to
5 apply to UNESCO for a heritage site designation of
6 some 43,000 square kilometres of forest on the
7 east side of Lake Winnipeg. There was also a
8 concern over the habitat disruption for woodland
9 caribou in the area.

10 Hydro professionals reviewed these
11 reasons and deemed them insufficient to cause a
12 costly re-routing. Their extreme concern was
13 documented in reports written in December 2004 and
14 January 2005. These reports were presented to
15 Hydro's board and eventually leaked to the public.

16 Undaunted, the government directed
17 Hydro to abandon all work on the east side. The
18 east side was no longer an option. The remaining
19 option for the line was a route on the west side
20 of the province near the Saskatchewan border.

21 After an approximately two year
22 period, engineering studies discovered a shocking
23 engineering condition. The west side route, which
24 was some 54 percent longer than the east side,
25 would not work in conjunction with the existing

1 Bipoles. Costly conversion equipment was needed.
2 The current conversion equipment requirement was a
3 crucial revision to the engineering plan. This
4 discovery figuratively threw a monkey wrench into
5 the Bipole III plan. What started off as a
6 perceived simple re-routing of a transmission line
7 exploded into a costly engineering revision.

8 The prudent course of action would
9 have been to put the line back to the east side.
10 Government stubbornly refused. It reminded Hydro
11 the east side was not an option. At this
12 juncture, the project essentially fell off the
13 rails.

14 Hydro now had to find a way to help
15 pay for the costly conversion equipment. The
16 electrical demand growth within Manitoba was
17 modest, and a steep increase in costs could not be
18 absorbed by Manitoba ratepayers. The obvious
19 solution was to acquire new power sales to the
20 United States to help pay for the conversion
21 equipment.

22 In April 2008, a government
23 announcement was issued that 500 megawatts of
24 power had been contracted with Wisconsin Public
25 Service, accompanied by a new transmission line to

1 the States. This announcement simultaneously
2 triggered a spin by government that the Americans,
3 not Manitobans, would pay for the additional costs
4 of Bipole III. And this spin will be addressed
5 later.

6 Now, facing the government's
7 54 percent longer west side line, plus the
8 addition of conversion equipment, Hydro made a
9 quick re-estimate of the project cost. A new cost
10 of 2.247 billion for Bipole III was entered into
11 the 2007 financial plan.

12 Hydro commenced to work actively on
13 many fronts, including work to obtain more
14 detailed costs.

15 For several years the cost of Bipole
16 III remained constant in the financial plan. Then
17 rumours surfaced that the costs had risen
18 significantly to \$4 billion. Knowledge of the new
19 number was vehemently denied by government and
20 Hydro's CEO as recently as December 2010. At
21 about the same time a report was leaked from
22 Hydro, signed off by the two most senior
23 engineering vice-presidents within the corporation
24 confirming the new number of \$4 billion for Bipole
25 III.

1 While debate was raging in public
2 about the project cost, retired Hydro executives
3 and university professors, using data from leaked
4 reports, calculated the additional cost of the
5 west side route as being \$1 billion. This
6 \$1 billion pertained only to the line and had
7 nothing to do with the converters. It was a
8 present value calculation that took into account
9 the cost of the additional line length, increased
10 losses and reduced security.

11 Hydro was now confronted with a
12 troublesome issue whereby the total project cost
13 mushroomed from \$1 billion to \$4 billion. And
14 sadly, but coincidentally with the astronomical
15 cost increase, we get reduced transmission
16 capability, reduced security, increased losses and
17 increased environmental and agricultural impact.

18 Confronted by such a dramatic increase
19 in the project cost, the CEO of Hydro rejected the
20 estimates prepared by his own engineers and hired
21 an outside consultant to review the estimate
22 hoping for a lower cost. In March 2011, the
23 consultant submitted a lower estimate of
24 3.288 billion, which now stands as the official
25 estimate.

1 The lower estimate contributes nothing
2 towards lowering the power rates. Rates will be
3 determined by the true cost, which will be known
4 when line construction is completed and work
5 orders closed out.

6 I am personally convinced the Hydro
7 engineer's estimate will be proven to be correct.
8 They have 40 years of experience with DC
9 transmission and more years of proven methodology
10 for estimating costs.

11 There has been much political
12 chicanery since the government directed Hydro to
13 build the line on the west side. Initially
14 government had claimed there would be mass
15 deforestation of the boreal forest if the line was
16 built on the east side. Not true. If the line
17 were routed through the narrowest points, the
18 cleared right-of-way in the boreal forest would be
19 no more than 150 kilometres in length. The
20 cleared area would be less than ten kilometres
21 squared out of a total of 43,000 squared
22 kilometres proposed for the UNESCO site. This is
23 equivalent to cutting ten trees out of 43,000.

24 Some proponents of the east side line
25 have called the line through the forest nothing

1 more than a thread on a football field, which is a
2 good analogy. There would be no mass
3 deforestation.

4 Another government representative
5 stated that the reason the line was being built on
6 the west side was so that we could sell power to
7 Saskatchewan. This is nonsense. DC transmission
8 is used for point to point transmission. And
9 nobody would build a costly converter station for
10 over \$1 billion to sell a small amount of power
11 for which the transmission already exists.

12 The next spin was that Americans would
13 pay for the additional cost of the west line and
14 it would not cost Manitobans a cent. Not true
15 again. Purchases by American utilities are based
16 on least cost alternatives, not Manitoba costs.
17 If a cheaper line is built on the east side, the
18 savings become pure profits for Manitobans.

19 Another spin was that if we damage the
20 forest on the east side, the Americans will not
21 buy our power. Not true again. American
22 legislation was passed to purchase clean hydro
23 power, but nothing is said about location of
24 transmission lines.

25 An NFAT review with expert witnesses

1 testifying under oath would have clarified all of
2 these points and eliminated public confusion
3 surrounding the project. This review would have
4 also shed light on a number of other outstanding
5 issues. Here are some of the more notable. Since
6 the line is being rerouted to preserve the forest
7 on the east side of Lake Winnipeg in order to
8 enhance UNESCO heritage designation, we need to
9 see a business plan for the heritage site. It is
10 claimed by the heritage site proponents that huge
11 ecotourism benefits will flow when this forest
12 receives its designation. No business plan has
13 been prepared to illustrate the claimed benefits.
14 We don't know if all the ecotourist revenue will
15 come from a Banff style operation, or from leaving
16 the forest in a pristine wilderness state. If
17 tourism revenues are to be derived from an
18 operation such as at Banff, then we must have
19 development of roads, service stations, hotels,
20 night clubs, sewage lagoons, et cetera. This kind
21 of infrastructure is far more intrusive than any
22 transmission line.

23 On the other hand, if we leave it as a
24 wilderness area, then how is it possible to derive
25 all the ecotourism benefits?

1 A billion dollar decision was made
2 without back-up information.

3 Regarding disruption of the woodland
4 caribou, a road with this traffic will kill more
5 caribou than any transmission line.

6 Another issue that needs to be
7 reviewed is the in-service date. When the west
8 side line was announced, the in-service date was
9 pegged at 2017. Since that time our economy has
10 changed dramatically. A recession has struck
11 North America. Hydro's load growth has decreased.
12 The American economy has softened, as evidenced by
13 the Wisconsin Public Service sale reduction from
14 500 megawatts to 100 megawatts. Natural gas
15 prices are lower, and a host of other parameters
16 have changed.

17 A project delay is not new to Hydro.
18 In 1976, construction of the Limestone station was
19 started and then stopped two years later, because
20 of a reduction in the predicted electrical demand.
21 Construction was resumed in 1985, and fortuitously
22 the plant came in under budget concurrently with
23 profitable American export contracts. It would be
24 prudent to examine the Bipole III in-service date.

25 Hydro also seems to be paralysed in

1 its creativity. With the government ostensibly
2 doing all of the planning for Bipole III, it
3 appears as if Hydro is so intent in pleasing its
4 political bosses, there is no attempt to minimize
5 the west side line costs. Significant cost
6 savings opportunities exist with a re-examination
7 of the preferred location for the receiving end
8 converter station, which is currently at Riel.

9 The Riel Station location was
10 established with the expectation Bipole III would
11 approach Winnipeg from the northeast side. Given
12 that the line will now approach the city from the
13 southwest side, it makes economic sense to
14 consider moving the converter station to the
15 southwest corner of Winnipeg. The line length
16 could be shortened by 120 kilometres, leading to
17 an immediate savings of at least \$120 million.
18 The shortened line would also give us increased
19 security, reduced losses, and avoidance of
20 negative environmental impact on valuable farmland
21 south and east of Winnipeg.

22 The restrictions placed on this
23 Commission by the government have prevented any
24 investigation of these and other important
25 aspects.

1 But the greatest tragedy of all is
2 that the environmental impact of the east side
3 line is not compared to the west side line,
4 because any discussion of the east side has been
5 ruled out of scope.

6 The severe restrictions placed on this
7 Commission have not served the public interests at
8 all.

9 The only rationalization I can offer
10 to the process and the Bipole III saga as it has
11 unfolded is linked to the adage, no person is
12 totally useless, he can always serve as a bad
13 example.

14 Likewise, this line, with all its
15 inferior qualities, will also serve as a bad
16 example. For the next hundred years, future
17 generations will gaze at the towers and ponder how
18 it happened that reckless politicians built this
19 crazy west side line instead of the vastly
20 superior east side line, as proposed by
21 experienced, competent, professionals within
22 Manitoba Hydro.

23 THE CHAIRMAN: Thank you, sir.

24 Could I ask you why no conversion
25 equipment would have been needed if the line had

1 gone on the east side?

2 MR. TISHINSKI: It would not have been
3 on the east side in the initial stages, not until
4 new generation was built. Because this line was
5 built for reliability purposes only, and Hydro
6 clearly spelled it out, I think it was Mr.
7 Tymofichuk spelled it out in the afternoon on the
8 first day. So in the initial stages, no, there
9 was no conversion equipment needed.

10 THE CHAIRMAN: So it would have gone
11 from one of the existing converter stations in the
12 north to Dorsey?

13 MR. TISHINSKI: It would have gone to
14 Riel.

15 THE CHAIRMAN: But you would have
16 needed an inverter station at Riel?

17 MR. TISHINSKI: No. The line was
18 strictly there to come into service in the event
19 one of the two Bipoles failed. No issue of
20 conversion equipment until new generation was
21 added.

22 THE CHAIRMAN: So it wasn't going to
23 be an active line?

24 MR. TISHINSKI: Yes, it was. In fact
25 it was going to save 80 megawatts of power. It

1 was going to be placed in service. With some
2 switching arrangements, it would be made to work.

3 THE CHAIRMAN: Well, I'm not an
4 engineer so I don't fully understand, but I'll
5 accept your word for it. Thank you. Mr. Gibbons?

6 MR. GIBBONS: Two questions, if I may.
7 The Bipole lines require conversion at Radisson
8 and then reconversion, I know it's called
9 rectifying, I guess at Dorsey. Why wouldn't the
10 new line require a rectifier at Dorsey if it came
11 down the east side?

12 MR. TISHINSKI: Because the switching
13 arrangement was such that it would have been
14 carrying some power and use some existing
15 conversion equipment. The existing conversion
16 would have been used. And it was there strictly
17 to unload existing Bipoles I and II. It would
18 have been part of the switching arrangement, it's
19 a little complicated switching arrangements, but
20 the switching arrangement was provided to achieve
21 that. In fact, the reports we read, it would have
22 been saving a loss of about 80 megawatts if this
23 Bipole III would have come in on the east side,
24 because it would have unloaded existing lines,
25 Bipole I and Bipole II.

1 MR. GIBBONS: We may have to follow
2 that up with someone later.

3 A second question of my own in this
4 case, the \$120 million savings if Bipole III went
5 in its current way, but instead of going to Riel
6 was located elsewhere. You indicate the
7 possibility of shortening the line by 120
8 kilometres.

9 MR. TISHINSKI: Yes.

10 MR. GIBBONS: Could I get you to
11 elaborate a little bit on that with perhaps
12 including in that the idea as to, from a
13 reliability perspective, how it would be far
14 enough from Dorsey that it would not presumably be
15 struck by the same kind of significant weather
16 event or something of that sort?

17 MR. TISHINSKI: It's a good question.
18 The converter station would then have to be moved
19 to the southwest corner of Winnipeg, with
20 sufficient distance from Dorsey. But in order to
21 provide adequate reliability, the towers would
22 have to be strengthened, as they have been within
23 the vicinity of Winnipeg, to provide the adequate
24 security that's required for Dorsey.

25 Now, this station would be

1 approximately five miles south, five kilometres
2 south existing LaVerendrye station, and it would
3 be somewhere in the southwest corner of Winnipeg.
4 But it would save an awful lot of the line which
5 comes around the south and east side all the way
6 around Ste. Anne's, and it should have come
7 directly to the southwest corner of Winnipeg.
8 That wasn't examined. I haven't seen any plans in
9 any of the reports that were leaked to us that
10 showed that that was ever examined.

11 MR. GIBBONS: I should just point out,
12 I don't think we were precluded from considering
13 that in terms of the mandate, the idea that -- I
14 don't think the Riel station is off limits, so
15 that's why I asked the question.

16 MR. KAPLAN: Mr. Tishinski, referring
17 to page 2 of your presentation, when you talk
18 about in the first paragraph the Hydro
19 professional's review, reasons, et cetera. And
20 then you put, their extreme concern was documented
21 in reports written in 2004, December, and January
22 2005, and those reports represented Hydro's board.
23 Do you have copies of those reports?

24 MR. TISHINSKI: I've seen copies of
25 them.

1 MR. KAPLAN: Do you have copies?

2 MR. TISHINSKI: Not with me here
3 tonight, no. But they were leaked reports to the
4 public, and I have seen them and I have read them.

5 MR. KAPLAN: Can we get copies?

6 MR. TISHINSKI: Hydro can give them to
7 you.

8 MR. KAPLAN: So we should ask Hydro?

9 MR. TISHINSKI: Yes.

10 MR. KAPLAN: Thank you.

11 THE CHAIRMAN: I think that's all the
12 questions. Thank you very much, Mr. Tishinski.

13 MR. TISHINSKI: Thank you, Mr. Chair.

14 THE CHAIRMAN: Next on our list is,
15 Mrs. Hamilton.

16 MS. HAMILTON: I'm sorry, I don't have
17 copies for you, and I had my computer stolen.

18 THE CHAIRMAN: That's fine.

19 MS. JOHNSON: Could you please state
20 your name for the record?

21 MS. HAMILTON: Judith Hamilton.

22 Judith Hamilton: Sworn.

23 THE CHAIRMAN: Go ahead,
24 Mrs. Hamilton.

25 MS. HAMILTON: Okay, I apologize for

1 not using Powerpoint and it's not typed. My
2 computers were stolen out of the truck.

3 These hearings have been going on in
4 Manitoba for some time now. It would be nice if
5 we could look at the map and see into the future,
6 and see the whole picture, not just through the
7 fog that I am seeing it in. I am just following a
8 hard act to follow, he did an excellent job.

9 In my opinion, we should look at the
10 map and see the whole of Manitoba. I am a cattle
11 farmer, my late husband was a cattle farmer and
12 I'm continuing with my son. And these many last
13 years I have come to know some of the facts about
14 farming near to the hydro towers, which Bipole II
15 is 200 feet from my front door. And some of the
16 people around us, one of my neighboring farmers
17 had a brain tumour and died, and another farmer,
18 she had a brain tumour and died. My daughter has
19 an inoperable brain tumour. And I read the
20 studies at the medical college where I was an
21 executive secretary in the '60s. And they did
22 studies in Sweden, and they said that living too
23 close to the hydro towers can cause lumps and
24 brain tumors. And a vet noticed about, oh, when
25 my husband was alive, about 30 years ago, that our

1 cattle had a higher incidence of lumps in their
2 bodies. And he pointed it out to us. We hadn't
3 really noticed it.

4 Anyway, these are some of the facts
5 that I have come to know. We had 200 pure-breed
6 cattle, heifers, and we have gone down to, through
7 mad cow disease and everything, we have gone down
8 to having 52 cows, cattle calf operation. And my
9 son is working full time for a feed company in
10 order to support feeding the cows, and we are
11 still not over mad cow disease. And lately they
12 have caused problems with the meat saying that,
13 you know, the e. coli situation. And we -- our
14 farm is in Warren and Woodlands, our home farm is
15 just a half section where the hydro towers are.
16 And then the rest of our farm is up in St.
17 Laurent.

18 And the NDP government, in their
19 wisdom, has been allowing drainage into the three
20 small Shoal Lakes, and they are using it as a
21 reservoir, and it's big -- all three small lakes
22 are one big lake now. And I spent \$30,000 on
23 fences since my husband was killed 15 years ago.
24 And the section I have, we own, and 518 and
25 whatever the other highways are, two of them have

1 been out for at least seven years. And it's
2 caused by drainage, not really flooding. But you
3 see, it's really hard to be a poor farmer.

4 They were talking today about the
5 moose and all these other animals becoming
6 extinct. And don't get me wrong, I really love
7 animals. I raised border collie dogs on the farm
8 and I had 5,000 chickens at one time, and kids on
9 a farm need a newspaper route, so chickens were
10 the job. And I helped with the Calf Club and the
11 4-H and, you know, like it's really sad to see my
12 husband's family, we're Selkirk settlers, 200
13 years they have been in Manitoba farming, and it's
14 sad to see all the hard work that they put into
15 it, and I'm losing it. Having to take a mortgage
16 at my age is not right, I don't think.

17 Anyway, I think that west side for the
18 hydro tower should not be used. It shouldn't go
19 through farmland because of the incidence of lumps
20 in the cattle, and it's really hard to drive a big
21 hay bind or some of the large machinery of today
22 around these towers. And we need, in my opinion,
23 I believe, that they should go on the east side.

24 And I have tried to tell the
25 government about the trees on the east side. Now

1 don't misunderstand me, I love trees and I love
2 animals. And these hearings have been going on
3 about different species such as the moose and
4 caribou and birds. I, on my land up in St.
5 Laurent, I saw Piping Plovers over the years and,
6 you know, all the water birds, because there was
7 always a lake there. But some of the other birds
8 can't nest there anymore, and I think that's very
9 sad. And I think that if we put ourselves in the
10 picture, we should realize that the deer in Riding
11 Mountain area have TB, which has been shown to
12 spread to the tame herds of cattle. And this is,
13 I believe, where humans get the TB. The higher
14 incidence in that area has been shown.

15 And we need to look at the future. As
16 all we need, in Maslow's theory, we need food,
17 clothing, shelter, fuel and clean, pure water.
18 And that's the basic needs that we all need. And
19 I think farming is far superior and needed more
20 than the trees in the boreal forest. If they put
21 the hydro towers down the east side, they could
22 put -- have the hydro towers and put a highway up
23 to the reserves. Because one of my kids has been
24 a mountie and flown up to the reserves, and if
25 climate warming is really true and Lake Winnipeg

1 isn't frozen in the winter, they can't get food up
2 to those reserves up in the northeast side. And
3 the Natives shouldn't be isolated from the rest of
4 us, they should have a highway and the hydro
5 towers, and it wouldn't take up that much away
6 from the boreal forest. I mean, don't get me
7 wrong, I plant trees on our farm and the land
8 that's all flooded now, all the trees I have
9 planted over the last 30 years are flooded.

10 So, you know, like you need to realize
11 that what I believe and other people that I have
12 talked to believe that it should go on the east
13 side. And if we look at the map we can see that,
14 you know, what I'm talking about, about it's
15 cheaper to put it on the east side and it's closer
16 for the Natives. And then they can be assimilated
17 and come to Winnipeg, and not have to be flown out
18 for medical care and food flown in, and it would
19 cost less money. And I think the Aboriginals on
20 the east side deserve to have a proper community
21 with us, the rest of us in Winnipeg and down in
22 Southern Manitoba.

23 And as you can see, there's no access
24 to the reserves, and the isolation is not really a
25 good thing for them, for education and living in

1 this modern world. I mean, we all need
2 electricity, but with the Sandy cyclone, hurricane
3 of last week, I think we need an auxiliary kind
4 of -- besides the electricity, we need something,
5 like people need fireplaces, and/or if gas, if gas
6 can come. Like I have an old oil burner that was
7 put in, in '96, and there was an oil burner before
8 that in my house, and I would like to have
9 electric heat. But it seems to me that, like they
10 stated that if I got gas, it would cost \$20,000
11 just to bring it down the road to my farm, and I
12 can't afford that, I'm a senior citizen.

13 And I also think that the reserves,
14 because they need to eat properly -- I am a
15 diabetic and I know that a lot of the kids, I
16 substituted the last 17 years on the reserves and
17 up in St. Laurent, the Metis children, a lot of
18 them have diabetes. I saw one little kid that
19 weighed nearly 300 pounds and he was in grade
20 three. And that's not eating proper vegetables.
21 And I suggested to the government that they have
22 greenhouses up there and have the people do
23 gardening, and maybe they could have a, you know,
24 a different type of -- if they don't want to have
25 them buy electricity.

1 And I think if we put the hydro towers
2 through the boreal forest, we'd still have the
3 boreal forest, and there would still be moose and
4 other animals in that forest. And like there
5 would be maybe still -- we'd still have predators.

6 And I know, like if you have ever seen
7 like cougars and bears like I have on our land,
8 and if you have ever seen a baby calf ripped apart
9 by a small little coyote, you'd probably agree
10 with me that we need to have the right to shoot
11 more coyotes and kind of exterminate a few of
12 them, because now as a farmer -- I don't shoot
13 guns, but if I get somebody to shoot them, I am
14 only allowed to kill one a year. And I think that
15 the Conservation should change their ideas a
16 little bit.

17 And anyway, I think that we can
18 foresee us all getting along with food for
19 everyone. And farmers are number one under
20 economics, everything else is tertiary. I hate to
21 brag about that, but that's the way it is. You
22 can't get along without clean water and food. And
23 that's my point of -- I think the hydro is
24 wonderful. I love to flick on a light switch.
25 When I was a little kid we had a cottage and we

1 had oil lamps and they are kind of dangerous.

2 Anyways, that's sort of mainly my
3 point. I followed a hard act. He did a really
4 good program there. And I'm sorry I don't have a
5 typed up copy.

6 One other thing, I read livestock, the
7 parasites, for some the battle is won, others
8 still need fighting. And deer, they shed flu eggs
9 which are ingested by the cattle. I just read
10 that today. And I was thinking, you know, like
11 the bugs getting into the cattle, that's kind of
12 an interesting thing. And like the TB worries me
13 that the cattle around Riding Mountain, the
14 farmers are having a hard time there with the TB.

15 Anyway, that's about all I have to
16 say.

17 THE CHAIRMAN: Thank you,
18 Mrs. Hamilton. Paul Rempel?

19 MS. JOHNSON: Could you please state
20 your name for the record?

21 MR. REMPEL: Paul Rempel.
22 Paul Rempel: Sworn.

23 THE CHAIRMAN: Go ahead, sir.

24 MR. REMPEL: Thank you. Good evening,
25 panel members, ladies and gentlemen. My name is

1 Paul Rempel, as was stated. I farm in a community
2 that is situated 29 kilometres south of the south
3 perimeter of Winnipeg, on provincial road 330, at
4 a small hamlet called Osborne. We farm a variety
5 of crops including wheat, canola, oats, soybeans,
6 sunflowers and grasses. I would like to speak
7 this evening as a landowner who lives along the
8 chosen route for Bipole III, but more importantly,
9 I speak as a citizen of this province.

10 The Clean Environment Commission
11 hearings for the Bipole III project started on
12 October 1. The transcripts of this hearing record
13 that in the last four weeks, you have heard
14 opening statements from the proponent, Manitoba
15 Hydro, as well as from the nine participants in
16 the hearing. You have heard in great detail a
17 description of how Manitoba Hydro arrived at the
18 final proposed route for Bipole III. You have
19 heard testimony from experts, both from within
20 Manitoba Hydro and from outside the Crown
21 corporation, explaining how they arrived at
22 certain decisions when planning for the proposed
23 Bipole III project.

24 The panel has travelled across
25 Manitoba in the past three weeks and stopped in

1 key rural towns and cities to give the public
2 their chance to be heard. Your efforts to seek
3 input are appreciated.

4 Some of the things that I might say
5 tonight, I wish the Commission to not take
6 personally, but I feel they need to be said.

7 Firstly, when I sat down here, you
8 make me take an oath that I would not mislead the
9 Commission, and you said, I don't know if you said
10 it tonight, but you said it at Niverville when I
11 was there, and you said that Manitoba Hydro had
12 taken that same oath. How can Manitoba Hydro vow
13 that they are not misleading the Commission when
14 it was Hydro who firstly chose an east side route,
15 because it was more cost effective and, of course,
16 made much more sense because of the shorter
17 distance by almost 50 percent?

18 At every stop along the way, the panel
19 and the proponent have made it clear that the
20 decision to take the far west side route for
21 Bipole III was not their decision. It was what
22 they called a "Policy" decision made back in
23 September of 2007 by the government. According to
24 the transcript, Manitoba Hydro even had the
25 audacity to call it an "Electoral" decision.

1 Your mandate includes reviewing the
2 project as it is presented in the environmental
3 impact statement that Manitoba Hydro has prepared
4 for the Bipole III project. It includes listening
5 to all of the concerns you will hear during the
6 Commission's hearing process. It includes
7 analysing all that you hear, and coming up with a
8 report to the Minister of Conservation and Water
9 Stewardship that will recommend the project be
10 granted a licence to proceed as it is presented,
11 or perhaps it will recommend a licence be issued
12 with certain changes the panel may recommend, or
13 maybe it will recommend the project not proceed at
14 all.

15 To the members of the panel, I say
16 that there is a heavy onus on you to recognize
17 that your decisions will affect all Manitobans.
18 To be sure, it will affect landowners, not only
19 those of us who are stewards of the land today,
20 but also our children and our grandchildren and
21 generations beyond. But it will also affect every
22 Manitoban.

23 Governments come and governments go.
24 Even the leadership of Manitoba Hydro changes with
25 time. Today's leaders are not the ones directly

1 affected by this line, not today and not even in
2 the future. It is the citizens of this province
3 who will be affected either directly or
4 indirectly.

5 The present routing of the line was
6 the brainchild of former Premier Gary Doer. Where
7 is he now? Ms. Rosanne Wowchuk was a champion of
8 the west side decision. Where is she today?
9 Mr. Vic Schroeder and Mr. Bob Brennan were quite
10 happy to support and even implement the
11 government's decision. Where are they now?
12 Almost all of those who made the decision to
13 accept Mr. Doer's request back in 2007 are long
14 gone. Either that, or they are hiding behind
15 simple statements that can no longer be defended.
16 Mostly, they are gone, and so is the export market
17 which Manitobans were assured would pay for the
18 project. The current and former leaders are not
19 impacted by this line, but the landowners who will
20 have to live with it and all the citizens that
21 will be forced to pay for it are.

22 I understand that the environmental
23 review process must remain at arm's length from
24 government. Still, I believe that it is not fair
25 that the people who are forcing this decision on

1 all Manitobans should be isolated from the
2 feelings of the people of this province who are so
3 concerned with the routing of the line. Why
4 should the Minister of Conservation and Water
5 Stewardship, Mr. Gord Macintosh, who will make the
6 decision whether or not to licence this project,
7 not have to witness and experience the anger being
8 expressed at these hearings? Why should the
9 Minister of Manitoba Hydro, Mr. Dave Chomiak, be
10 shielded from the tearful presentations you have
11 heard? Why does the new CEO of Hydro, Manitoba
12 Hydro, Mr. Scott Thompson, sit in his office a few
13 blocks away from these hearings, never to hear the
14 voice of First Nations Manitobans saying that they
15 don't trust Manitoba Hydro anymore? Why should he
16 not hear that landowners whose property will be
17 bisected by this line tell this panel that Hydro
18 is a corporate bully. Where is the premier of
19 Manitoba, Mr. Greg Selinger, who announced the
20 "Policy decision" in 2007, that is causing this
21 line to be routed on the west side of the
22 province? Manitobans want an explanation for this
23 decision that makes sense. So far they have not
24 received it.

25 The panel and the Commission need to

1 do the right thing and stop this line from
2 trampling on the rights of landowners and the
3 interests of all Manitobans. Do it for future
4 generations of Manitobans. Entrusted with
5 probably the most important decision the
6 Commission has ever been asked to make, it is your
7 duty as citizens of this province. I am asking
8 you, please, stop this line from running through
9 the places where we farm and where we live.

10 Thank you to the Commission. And to
11 Manitoba Hydro, our family will not put a
12 signature on any proposal that is presented to us
13 until common sense starts to prevail. Thank you.

14 THE CHAIRMAN: Thank you, Mr. Rempel.
15 Questions. Thank you, Mr. Rempel.

16 MR. REMPEL: Thank you.

17 MS. JOHNSON: Could you please state
18 your name for the record?

19 MS. REMPEL: Shandra Rempel.

20 Shandra Rempel: Sworn.

21 MS. REMPEL: Good evening, Mr. Chair
22 and panel members. My name is Shandra Rempel and
23 I live in Osborne, Manitoba.

24 Now, I am proud to be a prairie girl
25 who has been raised on our family farm in Southern

1 Manitoba. In fact, I am the daughter of Paul
2 Rempel who has just delivered a speech on behalf
3 of our farm and our family, asking for somebody to
4 stand up and take responsibility for what our
5 present government and Manitoba Hydro are about to
6 do to many farms stretching across Southern
7 Manitoba. I have two brothers, and together we
8 are tomorrow's farmers. I would like to speak on
9 behalf of tomorrow's farmers as I am concerned you
10 have not yet heard our voice.

11 While my dad was preparing for his
12 speech this evening, we were once again asking
13 each other how this could actually be happening.
14 How did we get to a point where we have to stand
15 before a panel and practically beg to put a stop
16 to this nonsense? I felt compelled to say my
17 piece as I was very angry. So here I stand and I
18 respectfully thank you for this opportunity, no
19 matter how difficult it is for me to remain calm.

20 Now, my grandpa and his family
21 immigrated here to escape the unspeakable
22 depravity of the Ukraine in the 1920's. Since
23 that point in time, my family has worked hard to
24 build a farm that will continue on to the next
25 generation. We are so proud of that fact. So

1 many farms in other areas of the province are not
2 as lucky. And I do say lucky, because that's how
3 I feel. I feel so incredibly blessed to have been
4 born into the farm family in the Red River Valley.

5 Many farms in other less productive
6 areas across the province may not pass on to the
7 next generation, or some farms across Manitoba may
8 not have children who are interested in taking
9 over the farm. And I do respect and understand
10 all of that. What I don't understand is that in
11 this area of the province, where farms are
12 prospering, they are growing, they are becoming
13 more efficient and more productive, and where the
14 future looks so very bright for tomorrow's
15 farmers, how can our government and Manitoba Hydro
16 force their way on to our land to construct Bipole
17 III? What gives them this right, when almost
18 everybody else is telling them that it is the
19 wrong thing to do? Would you let the province
20 barge into your backyard without your consent and
21 put up a big old pole? I don't think that you'd
22 like it either.

23 I grew up in a very, very small town.
24 I know all my neighbours and I love and adore my
25 community. We have a strong connection to the

1 land. It's our land, and many of us look forward
2 to returning to the farm upon leaving for the sake
3 of education. Some of us leave for a time to
4 attend university or college, or just to better
5 prepare ourselves for tomorrow's challenges that
6 running farms may bring. Some of us are taking
7 agriculture or agri business, or perhaps becoming
8 engineers, or studying in other areas of interest.
9 Whatever it is that we have chosen to do today, it
10 has been to better prepare us for tomorrow, and
11 for coming home to where we always knew we would
12 end up, back home on the farm, the start of the
13 next generation of farmers.

14 I know I speak for so many others that
15 may not be able to stand here before you at these
16 hearings. Agriculture runs deep in our veins and
17 we are tied to the land.

18 Now, my generation is very cognizant
19 of the preservation of our environment. We have
20 an understanding of what is needed to sustain and
21 develop our land and the environment because we
22 work with it on a daily basis. Who better to
23 discern the future of the land than those who are
24 stewards of it?

25 What is about to happen with Bipole

1 III feels like a very bad dream. How can the
2 Provincial Government and Manitoba Hydro try to
3 convince us that this decision had to be made to
4 preserve the environment on the east side of Lake
5 Winnipeg? How can a line so much longer be
6 environmentally responsible? How can they say
7 that we need it for exporting power south when
8 even these sales contracts have evaporated? How
9 can making our farmers manoeuvre around huge
10 structures, which burns more fuel, wastes more
11 fertilizer, more pesticides, how can that be good
12 for the environment?

13 Whatever efforts the next generation
14 of farmers try to make for the good of our
15 environment will be defeated and will all be in
16 vain because of one awful decision that is being
17 forced upon us and our farms. There seems to be
18 no amount of reasoning that can stop it. I could
19 tell you that it's nearly 500 kilometres longer to
20 take the western route. I could tell that you the
21 west side will cost upwards of \$1 billion more. I
22 could tell you how unfair it is to force 148-foot
23 hydro poles onto our land and give us 100 percent
24 continuous liability in the event of an accident.
25 And we all know that the boreal forest you are so

1 protective of is all over western Manitoba as
2 well.

3 But you already know all of this,
4 because it's not a numbers game and it's not about
5 facts either. How can it even be possible that
6 the titled land that my grandpa owned and farmed
7 before we did simply be taken from us against our
8 will and changed forever?

9 I have friends, young professionals,
10 just starting out making their way into their
11 careers, working for Manitoba Hydro. A two minute
12 conversation with any of them regarding the Bipole
13 III project will tell you the truth behind all of
14 this. That the government is forcing Hydro to
15 take the wrong route. Do you know why none of
16 them will step out with this information? Because
17 they don't want to lose their jobs. And so nobody
18 will speak out with this information because
19 Manitoba Hydro is a big bully.

20 A decision like this will affect us
21 forever. It is my brothers and I, all of our
22 friends, and then some day eventually all of our
23 children who will pay for this poorly conceived
24 decision made today.

25 And so I am asking you, the Clean

1 Environment Commission panel, to please think
2 about the effects it will have on this prairie
3 girl and all the others who will be tomorrow's
4 stewards of the land and tomorrow's producers. We
5 only have one chance at stopping Bipole III from
6 stomping all over our land. I want to be on
7 record of having at least done my part to help all
8 the others who have spoken before me and to take a
9 stand on behalf of all of us. Please stop Bipole
10 III from crossing my farm and all of the other
11 farms in its path. At the very least, please make
12 sure that those responsible for forcing this on
13 all of us are being held accountable, and
14 recommend that the entire Bipole III project be
15 put on hold so that an independent review of the
16 project can be conducted. That way my brothers
17 and I won't have to look back once it's too late
18 and ask each other how this ever could have ever
19 been allowed to happen.

20 Thank you for your time.

21 THE CHAIRMAN: Thank you, Ms. Rempel.

22 Now, there's an opportunity for --
23 that's all the people who have indicated to us
24 prior to the start of the evening that they wish
25 to speak, but there is opportunity for anybody

1 else in the audience who wishes to have their say
2 to do so. So if you would like to speak for a few
3 minutes, please come forward now. Yes, sir?

4 MS. JOHNSON: Could you please state
5 your name for the record?

6 MR. GRAHAM: My name is Jim Graham.
7 Jim Graham: Sworn.

8 THE CHAIRMAN: Go ahead, sir.

9 MR. GRAHAM: I am a civil engineer. I
10 have taught engineering for almost 50 years, and I
11 ended my career at the University of Manitoba. I
12 want to talk a little bit about process.

13 The very first time that I saw the
14 route for Bipole III, my immediate response was,
15 why is it going there? It was a gut reaction
16 saying, that doesn't make sense.

17 Now, the process. All major
18 engineering projects are subject to a thing that
19 we would call cost benefit analysis, and which
20 nowadays is more sophisticated than simply looking
21 at the cost and the economic benefit. And they
22 are very much like what Will Tishinski talked
23 about, the NFAT, needs for and alternatives to.
24 But in my world a cost benefit analysis involves
25 not only the technical things, but also the costs

1 and the social impacts and the environmental
2 impacts. They are absolutely inherent in the
3 whole process of reaching a decision about where a
4 route should go, if it's a roadway or a
5 transmission line, or how the project would be
6 worked out to completion.

7 We haven't had that for Bipole III. I
8 got into it because I was -- I thought at the time
9 that there must be some reason for going on that
10 western route, which struck me immediately as
11 being so strange. But we have never heard a
12 rational straightforward argument which supports a
13 west side route. All we have heard is that it's
14 better than an east side route, but no reasons are
15 really given.

16 And so I would ask the Commission to
17 seriously question the process that they have been
18 involved in, accepting that the government has the
19 right to make a decision for west side route, but
20 accepting also that the government then has to
21 take the responsibility for the future good and
22 well-being of this province.

23 As an engineer that's what I have to
24 do. I have to, I have taken, or I adhere to a
25 code of ethics which says that my first

1 responsibility is to protect the interests of
2 Manitobans.

3 So I will leave it there, it's very
4 short, but I would ask you to consider process.
5 Thank you very much.

6 THE CHAIRMAN: Thank you, Mr. Graham.

7 MR. BATEMAN: Mr. Chairman, my name is
8 Len Bateman.

9 Len Bateman: Sworn.

10 MR. BATEMAN: Mr. Chairman, I didn't
11 have any inclination to come and speak to you
12 tonight, but there's been one or two things on my
13 mind about this rather rash decision of the former
14 Premier to route the line down the west side. And
15 I wrote a letter to the editor about this at one
16 time. It does violate the Manitoba Hydro Act.

17 The board is really charged with the
18 responsibility of administering the Act for the
19 benefit of all Manitobans. And making this rather
20 rash decision of expenditures that are absolutely
21 unnecessary is not in conformance with the Act. I
22 think that this is one thing the Commission should
23 point out very strongly to the government, that
24 it's all right to do our job, your job of hearing
25 the pros and cons, but for us to have to succumb

1 to a ruling by the government to violate the Act
2 is hardly appropriate for any Manitoban to be able
3 to stand up and hold his head high in the future.
4 And I think that's something that the board should
5 look at pretty seriously.

6 Now, I didn't tell you my experience,
7 but I have been in the utility business for a good
8 part of my life. I graduated from the University
9 of Manitoba with a Bachelors degree and later a
10 Master of Science in electrical engineering. I
11 worked for Winnipeg Hydro until the power
12 agreement was signed, and then I decided there was
13 no more future of building generation there. So I
14 was asked by the Manitoba Hydro board if I would
15 like to organize a planning department and do some
16 planning for Manitoba Hydro, which I undertook.
17 And I think I was rather successful at it. And I
18 had lots of very bright young engineers from the
19 university, including Will Tishinski working for
20 me.

21 Now, this whole idea of doing
22 something for political reasons has never gone
23 over very well with Manitobans. I can remember
24 the decisions that were made back in the '50s
25 about how to reorganize the power industry and so

1 on, none of which really did any good. Finally,
2 it was the will of the people that prevailed. And
3 I think if this was put to a vote for the will of
4 the people, it will be an overwhelming change from
5 the present plans to go on the west side.

6 I think, Mr. Chairman, that concludes
7 the few remarks that I had to make. The main
8 point I want to ensure you take into consideration
9 very seriously is the provisions of the Manitoba
10 Hydro Act, which requires the board of Manitoba
11 Hydro to operate the utility in the best interest
12 of the citizens of Manitoba, and this line is not
13 doing that. Thank you.

14 THE CHAIRMAN: Thank you, Mr. Bateman.

15 MR. BATEMAN: No questions?

16 THE CHAIRMAN: I don't think so, sir.
17 Thank you. Anyone else? Last chance, anyone else
18 in the -- any other member of the public who
19 wishes to say a few words before the Commission?

20 Okay. Well, I thank you all for
21 coming out tonight. I thank the half a dozen or
22 so people who made presentations tonight. As we
23 have always found, they are always well thought
24 out and well reasoned, and we will consider your
25 points when we come to our deliberations. As I've

1 said in other communities, I can't guarantee that
2 we can give you what you want, but we will
3 seriously take into serious consideration what you
4 have said to us.

5 I am sorry, I keep forgetting about
6 document registration, Ms. Johnson.

7 MS. JOHNSON: WPG number 1 will be
8 Mr. Tishinski's presentation; number 2 will be
9 Mr. Rempel; and number 3 is Ms. Rempel. Thank
10 you.

11 (EXHIBIT WPG 1: Mr. Tishinski's
12 presentation)

13 (EXHIBIT WPG 2: Mr. Rempel's
14 presentation)

15 (EXHIBIT WPG 3: Ms. Rempel's
16 presentation)

17 THE CHAIRMAN: Thank you. So we are
18 adjourned until Monday morning at 9:00 a.m. I
19 believe. Oh, yes, and we will be in a different
20 space. We're in this beautiful building behind
21 us, the Fort Garry Place in the ballroom, which I
22 believe is on the same level as the crosswalk
23 which goes off of the first floor of this
24 building. So have a good weekend everyone and
25 we'll see many of you on Monday morning.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

(Proceedings adjourned at 8:02 p.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OFFICIAL EXAMINER'S CERTIFICATE

I, Debra Kot, a duly appointed Official Examiner
in the Province of Manitoba, do hereby certify the
foregoing pages are a true and correct transcript
of my Stenotype notes as taken by me at the time
and place hereinbefore stated.

Debra Kot
Official Examiner, Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.
The unregistered version of Win2PDF is for evaluation or non-commercial use only.
This page will not be added after purchasing Win2PDF.