

MANITOBA CLEAN ENVIRONMENT COMMISSION

HOG PRODUCTION INDUSTRY REVIEW

TRANSCRIPT OF PROCEEDINGS

\* \* \* \* \*

Held at the Recreation Centre

Whitemouth, Manitoba

TUESDAY, APRIL 10, 2007

\* \* \* \* \*



-----  
APPEARANCES:

## Clean Environment Commission:

Mr. Terry Sargeant	Chairman
Mr. Edwin Yee	Member
Mr. Wayne Motheral	Member
Ms. Cathy Johnson	Commission Secretary
Mr. Doug Smith	Report Writer

Presentations:	PAGE
CAL DIRKS	1167
EVA PIP	1174
HUGH ARKLIE	1212
DAVID YOUNG	1224
VICTOR WOHLGEMUTH	1243
CAROL CLEGG	1251
RICK VAAGS	1262
JOHN STEENDAM	1275
JOHN VAN AERT	1255
GUS WRUCK AND BOB BRUNEAU	1292



INDEX OF EXHIBITS

NO EXHIBITS MARKED



1 Tuesday, April 10, 2007

2 Upon commencing at 1:02 p.m.

3

4 THE CHAIRMAN: Could we come to order,  
5 please? I ask you to take your seats.

6 Good afternoon. My name is Terry  
7 Sargeant. I'm the chair of the Manitoba Clean  
8 Environment Commission as well as the chair of  
9 this panel. With me on the panel are Wayne  
10 Motheral and Edwin Yee.

11 I would like to welcome you here this  
12 afternoon. I have a few opening comments to make,  
13 and then we will proceed with hearing from a  
14 number of people who have indicated they wish to  
15 make presentations this afternoon.

16 By way of opening comments, the Clean  
17 Environment Commission has been requested by the  
18 Minister of Conservation to conduct an  
19 investigation into the environmental  
20 sustainability of hog production in Manitoba. The  
21 terms of reference from the minister direct us to  
22 review the current environmental protection  
23 measures in place relating to hog production in  
24 Manitoba, in order to determine their  
25 effectiveness for the purpose of managing the





1 industry in an environmentally sustainable manner.

2 Our investigation is to include a  
3 public component to gain advice and feedback from  
4 Manitobans. This is to be by way of public  
5 meetings in the various regions of the province to  
6 ensure broad participation from the general public  
7 and affected stakeholders.

8 We have also been asked to take into  
9 account efforts under way in other jurisdictions  
10 to manage hog production in a sustainable manner.  
11 Further, we are to review the contents of the  
12 report prepared by Manitoba Conservation entitled  
13 "An Examination of the Environmental  
14 Sustainability of the Hog Industry in Manitoba."

15 At the end of our investigation, we  
16 will consider various options and make  
17 recommendations in a report to the Minister on any  
18 improvements that may be necessary to provide for  
19 the environmental sustainability of hog production  
20 in this province.

21 To ensure that our review includes  
22 issues of importance to all Manitobans, the panel  
23 has undertaken to hold 17 days of hearings in 14  
24 communities throughout agri Manitoba. These  
25 meetings will continue through April. Today is



1 the ninth meeting that we have held. We have  
2 eight more after today. The final meeting is  
3 scheduled for Winnipeg on April 27th.

4           It is open to any groups or  
5 individuals to make a presentation to this panel  
6 on issues related to hog production in Manitoba.  
7 For the most part, presentations are to be limited  
8 to 15 minutes. Exceptions may be made in some  
9 cases where a presenter needs more time and where  
10 the presenter has arranged, made prior  
11 arrangements with the Commission secretary.

12           Anybody making a presentation will be  
13 asked to take an oath promising to tell the truth.  
14 Presentations should be relevant to the mandate  
15 given the Commission by the Minister and to issues  
16 described in the guide to public participation in  
17 this review. If a presentation is clearly not  
18 relevant, it may be ruled out of order, and if it  
19 is repetitive, it may also be ruled out of order.

20           Members of the panel may ask questions  
21 of any presenter during or after the presentation.  
22 There will be no opportunity for other presenters  
23 to question or cross-examine presenters.

24           In addition to the public meetings,  
25 the CEC has engaged a number of consultants to



1 assist us in this review. The results of those  
2 research endeavors will be posted on our website  
3 as they are received by us. For the most part, we  
4 expect that to be in late June.

5           Parties will be invited to provide  
6 comment on any of those reports, if they so wish.  
7 A reasonable, albeit brief period of time, will be  
8 allowed for such comment. Written submissions  
9 will also be accepted. Information as to how to  
10 submit written submissions is available on our  
11 website. The deadline for written submissions is  
12 May 7th.

13           We also realize that many people are  
14 reluctant to make presentations in public for a  
15 variety of reasons. To address this, we have  
16 engaged a University of Manitoba student to meet  
17 with or talk on the phone with people who would  
18 rather not speak at these meetings. Those  
19 conversations will be kept confident. Information  
20 as to how to contact her is available on our  
21 website as well as at the table at the back of the  
22 room.

23           Finally, some administrative matters.  
24 If you wish to make a presentation today, I would  
25 ask that you register at the table at the back of



1 the room. Also, as is our normal practice, we are  
2 recording these sessions. Verbatim transcripts  
3 will be available on line in a day or so. You can  
4 find the link from our website.

5 In respect of cell phones, I would ask  
6 that they be turned off, or the ring tone turned  
7 off. If you must take a call, please leave the  
8 room, although if you have the luck that we have  
9 had with our cell phones, we don't receive them  
10 out here.

11 Finally, I would ask that you not  
12 engage in any conversations while people are  
13 making presentations. If you must talk, I would  
14 ask you to please leave the room.

15 Okay. The first person that we have  
16 on the agenda for this afternoon is Mr. Cal Dirks.  
17 Would you please introduce yourself for the  
18 record?

19 MR. DIRKS: My name is Cal Dirks.  
20 CAL DIRKS, having been sworn, presented as  
21 follows:

22 THE CHAIRMAN: You may proceed,  
23 Mr. Dirks.

24 MR. DIRKS: I would like to, first of  
25 all, thank the CEC, the Clean Environment





1 Commission, for an opportunity to make a  
2 presentation today.

3 I'm a pullet farmer in the RM of  
4 Hanover near Steinbach, and I'm making a  
5 presentation in Whitemouth today as I will miss  
6 the opportunity to present in Friedensfeld due to  
7 other commitments this week.

8 My farm is also on a small acreage,  
9 similar to farms in this municipality. Our farm  
10 was established by my father in 1962, when he  
11 received approximately 10 acres of land from the  
12 neighbour in lieu of wages. He then built a free  
13 run pullet barn in 1966. In 1974, he converted  
14 from floor raised pullets to cages, as this was a  
15 move to a cleaner environment for pullets  
16 resulting in less disease challenge and enhanced  
17 liveability.

18 After I purchased the family farm in  
19 1987, I operated the farm until 2001, when I  
20 undertook another upgrade to a dry manure cage  
21 system. This resulted in another substantial cost  
22 for an entirely new manure handling system. I  
23 would just like to add that it was at my cost and  
24 without any funding assistance, i.e, APF funding  
25 and so on.



1                   I now have the latest, most up-to-date  
2 pullet raising cages available. This new cage  
3 system meets the current code of practice standard  
4 of adequate growing space per bird, increased  
5 water and feed space, and superior air quality for  
6 the birds. We have recently adopted a national on  
7 farm safety food protocol which focuses on  
8 biosecurity, regular sampling of feed and water,  
9 and other best management practices related to the  
10 housing of pullets. This cage system has also  
11 reduced the volume of manure and odour, as it is  
12 dry manure with no water added like the previous  
13 liquid manure system. And we have constructed a  
14 large covered manure building to store up to 12  
15 months of manure. As a result, we are able to  
16 spread in spring or fall, according to current  
17 manure management guidelines.

18                   I have arrangements with the  
19 neighboring farms to take the manure and spread it  
20 appropriately, as my land base is too small for  
21 the 230 waste units of manure produced by my  
22 pullet operation each year. This is valuable  
23 organic fertilizer, and the neighbors recognize it  
24 as such and utilize it for their crops.

25                   In order to address some questions we



1 had about farming on a small acreage, I took the  
2 sessions required to complete my Environmental  
3 Farm Plan and was certified in May of 2006. This  
4 has been a valuable exercise. We live close to  
5 our pullet farm, so our well is close to our barn.  
6 Our septic field is close to our house, and our  
7 fuel storage is on the farmyard next to the  
8 storage sheds. And as you can picture, my farm is  
9 like many other farms in Manitoba.

10 We have been challenged through the  
11 Environmental Farm Plan process to make best  
12 management practices a priority. These efforts on  
13 my farm should ensure sustainable farming while  
14 respecting the environment we live in. My family  
15 and whoever operates this farm in the future will  
16 benefit from the best management practices on my  
17 farm.

18 I would like to conclude by  
19 encouraging the CEC and the Province of Manitoba  
20 to consider the huge strides made by farmers who  
21 have embraced the Environmental Farm Planning  
22 process. This has been a substantial commitment  
23 financially, and sends the important signal to the  
24 public and the Government of Manitoba that we are  
25 concerned about the environment. We are willing



1 to do our part, along with cities and towns,  
2 cottage owners, and what I call ruralites, that is  
3 people who chose to live in the country, to ensure  
4 Manitoba water and environment are protected.

5 Thank you.

6 THE CHAIRMAN: Thank you, Mr. Dirks.  
7 How much land do you use in spreading?

8 MR. DIRKS: We will use somewhere  
9 around 160 acres of land over the year, or over  
10 actually several years.

11 THE CHAIRMAN: So a total of 160?

12 MR. DIRKS: Yes, approximately.

13 THE CHAIRMAN: So you apply it on some  
14 one year --

15 MR. DIRKS: Yes, depending on what the  
16 crop rotation. There is some forage crops, mostly  
17 corn.

18 THE CHAIRMAN: Do you have, or do you  
19 anticipate having any trouble? Do you have a long  
20 term arrangement to apply your manure?

21 MR. DIRKS: Yes.

22 THE CHAIRMAN: So it is not a problem?  
23 Hanover, we know is fairly heavily populated with  
24 livestock operations.

25 MR. DIRKS: Yes. But I think





1 transporting manure is a challenge, the distance,  
2 because of the cost. So most of the farms are  
3 looking to work together and utilize the lands  
4 closest to the livestock production area farms and  
5 so on.

6 THE CHAIRMAN: But there is, at least  
7 to date there is enough land available in your  
8 area for --

9 MR. DIRKS: Yes, in my region, yes.

10 THE CHAIRMAN: -- for all of the  
11 farmers, at least to your knowledge?

12 MR. DIRKS: To my knowledge, yes.

13 THE CHAIRMAN: Thank you.

14 MR. MOTHERAL: Just to follow up on  
15 Terry's questioning, Mr. Dirks, on this 160 acres  
16 that your neighbour utilizes the chicken manure,  
17 do you know, does your neighbour soil test?

18 MR. DIRKS: I believe he does, yes.

19 MR. MOTHERAL: It is something that we  
20 have been noticing throughout the province, that  
21 the requirement with the new phosphorous  
22 regulations, et cetera, they require soil testing.  
23 The Environmental Farm Planning process, of  
24 course, this is just a comment, we have been  
25 getting good comments about that throughout the



1 whole province. It is something that you can  
2 self-evaluate yourself, you can self-evaluate your  
3 operation and there is good things coming from  
4 that. I think that is all I have. Yes.

5 THE CHAIRMAN: Edwin?

6 MR. YEE: Yes. Mr. Dirks, just one  
7 question. In terms of the proposed new  
8 phosphorous regulations, do you see a significant  
9 impact respecting your operation?

10 MR. DIRKS: I guess that will depend.  
11 It will depend on the, you know, if there is any  
12 expansion in our area. We are not expanding, but  
13 I'm totally surrounded by, or primarily I should  
14 say surrounded by beef, dairy farmers, and there  
15 will be some smaller hog operations in my  
16 immediate area, but predominantly we are beef and  
17 dairy. So it will depend, I guess, on the type of  
18 expansion in their industry. And they are going  
19 to have some challenges too, definitely, of how to  
20 handle their dry manure.

21 MR. YEE: Thank you.

22 THE CHAIRMAN: Thank you, Mr. Dirks.

23 Next is Eva Pip. Will you identify  
24 yourself for the record, please?

25



1 MS. PIP: My name is Dr. Eva Pip, and  
2 I'm from the University of Winnipeg. I am a full  
3 professor and my area is toxicology and water  
4 quality.

5 THE CHAIRMAN: Thank you.

6 EVA PIP, having been sworn, presented as follows:

7 MS. PIP: Ladies and gentlemen,  
8 Commissioners, we are here to address an issue  
9 that is a huge issue -- we are here to address a  
10 huge issue which will be a much greater concern as  
11 time goes on, especially with projected climate  
12 change and also the water resources in this  
13 province that are very, very important. And we  
14 are particularly blessed in this regard that we  
15 have these resources, whereas many other areas of  
16 the world and even of Canada do not. And  
17 therefore, it is morally incumbent on us to  
18 protect these resources as much as possible, and  
19 that any activities that we undertake have the  
20 most minimal possible impact on these resources.

21 So even though this is such a huge  
22 topic and we could do a week's worth of  
23 presentations on this, there are a few things that  
24 I would like to highlight for the Commission this  
25 afternoon. And the first thing that I would like



1 to speak about, I would like to first address the  
2 general impact that our human activities here in  
3 Manitoba have on our surface water quality.

4 Over a three-year period we did a  
5 large sampling survey of surface waters in all of  
6 Manitoba, and this went all of the way from the  
7 U.S. border, up as far as Churchill and Tadule  
8 Lake in Northern Manitoba. And basically what we  
9 did, we looked at 425 sites in Manitoba, and there  
10 sites were selected randomly using GPS. And then  
11 we identified the actual location at ground level,  
12 and whatever the nearest surface water was and  
13 also how accessible it was, that was what we  
14 sampled. And we also noted the kind of human  
15 impact that seems to be the most predominant  
16 impact affecting that particular water body. So  
17 we divided our human activity categories into  
18 minimal use, which was the least possible impact.  
19 Of course, in Manitoba we no longer have such a  
20 thing as pristine, there is no area of the  
21 province that is unaffected by our activities, but  
22 at least minimal use meant that there was no  
23 particular development, as such, in the vicinity.  
24 We also looked at cottages, recreation, crop land,  
25 livestock, poultry operations, logging, clearing,





1 mining, hydroelectric development, and urban  
2 effluent. And what we found, we divided up the  
3 province into the five major geographic areas  
4 which are very different in terms of physiography  
5 and also geology and soil chemistry. So we found  
6 that the two categories that we will be concerned  
7 with here today, namely crop land and livestock  
8 and poultry -- livestock and poultry, these were  
9 actually barns in the vicinity. Crop lands, of  
10 course, includes both inorganic fertilizer applied  
11 and manure. And we couldn't, short of going to  
12 interview the individual farmers, we really  
13 couldn't distinguish between the two, the  
14 inorganic fertilizer and the manure, and in some  
15 cases there were combinations of both. So we  
16 lumped them together into a single category.

17           So this table shows the per cent  
18 frequencies of these human activities that we  
19 encountered. Remember, this was randomly chosen  
20 sampling locations according to computer generated  
21 random GPS numbers. So we found that the greatest  
22 frequency of agriculture, as you would expect, was  
23 on the southern flood plain, primarily the Red  
24 River basin. And so in this area we also had the  
25 greatest frequency of livestock operations.



1                   Now, when we are talking about  
2 livestock operations, these turned out to be  
3 roughly 60 per cent hog barns, and the remainder  
4 were cattle, chicken, poultry, sheep, bison. But  
5 the majority of them turned out to be hog  
6 operations, so we found quite a few of them in the  
7 southern flood plain area. And then we also had  
8 in Southwestern Manitoba, of course, a fair bit of  
9 crop land activity, and we also had a fair  
10 proportion of actual barns.

11                   So when we looked at the primary  
12 impact categories among these 425 sites, we found,  
13 first of all for total dissolved solids, that all  
14 of our human activities -- I will just explain  
15 this number in a moment, this low number --  
16 perhaps I will explain it now. This low number is  
17 a function of where hydroelectric development is  
18 located in our province, which means primarily in  
19 remote areas, northern areas, where it already is  
20 on the Precambrian shield. Precambrian shield  
21 waters inherently have low total dissolved solids,  
22 and so where these developments are located, of  
23 course, you would see these low values because of  
24 the underlying bedrock where we have the hydro  
25 dams. But other than that, we have the minimal



1 activity there. And so we found that in logging,  
2 same thing here, eastern Manitoba, we found for  
3 livestock and crops that we had a significantly  
4 demonstrable impact in terms of total dissolved  
5 solids.

6                   Now, when we looked at nitrate, this  
7 was NO<sub>3</sub> nitrogen, the most soluble and therefore  
8 directly assimilable form. Now, we found that the  
9 greatest impact on the surface waters in Manitoba  
10 was in areas where we had livestock operations.  
11 And then of course, well, we had urban effluent,  
12 here also another one of the two greatest impacts.  
13 So in terms of nitrate contamination of our  
14 surface waters, those two were identified as the  
15 two main impacts in terms of contributing nitrate  
16 to our surface waters. Of course, nitrate is a  
17 concern, because when you have excessive  
18 quantities of nitrate in drinking water, this can  
19 pose a health hazard because of the  
20 methemoglobinemia. And we know in areas in the  
21 Interlake, for example, where numerous wells have  
22 had to be taken out of commission because of  
23 excessive nitrate values. Currently that  
24 guideline level is 10 milligrams per litre of  
25 nitrate nitrogen. And also if you consume



1 drinking water over a long period of time with  
2 nitrate in it, it also significantly increases  
3 your risk of gastric cancer and other related --  
4 so this is a problem from the health standpoint,  
5 but also it is one of the two major nutrients that  
6 contribute to algal blooms which I will talk about  
7 just in a few minutes.

8                   Dissolved organic matter, here the  
9 minimal had a fairly high value, and the reason  
10 for this was simply because boggy areas where you  
11 have -- or wetlands which are characterized by  
12 normally occurring high levels of dissolved  
13 organic substances, those are also the areas which  
14 are considered least useful for other human  
15 activities. So we saw this reflected in that  
16 fairly high value for minimal, but other than  
17 that -- okay, for logging it went up, because  
18 again you have now increased erosion, especially  
19 with clear cut, so that contributed more dissolved  
20 organic matter. And then here about, sort of  
21 intermediate, we had the livestock and crop land.  
22 Urban effluent though significantly raised  
23 dissolved organic matter content. And of course  
24 dissolved organic matter is important because it  
25 ties into the dissolved oxygen levels and





1 therefore health of aquatic ecosystems.

2                   Now, when we looked at cadmium, okay,  
3 we looked at three heavy metals, so cadmium,  
4 obviously here, okay, mining had the greatest  
5 impact, but otherwise not really a statistically  
6 difference. Urban effluent was somewhat elevated,  
7 but the agricultural values were in line with the  
8 other human activities.

9                   Now, when we look at lead, however,  
10 compared to the minimal human impact sites, okay,  
11 minimal like hydro who were the lowest, we had  
12 urban effluent and logging contributed the most  
13 lead to surface waters, but we also saw  
14 significant elevation of lead compared to minimal  
15 impact sites for the agricultural areas, the  
16 livestock, the barn, the areas impacted by  
17 livestock barns, and also areas where you had  
18 fertilized crop land.

19                   Now, when we looked at copper, here we  
20 had of course mining, the greatest impact; urban  
21 effluent, a fair amount; then we had livestock and  
22 crop land which were still higher than the minimal  
23 impact. So there was some contribution of copper  
24 from agriculture.

25                   And so when we rank the importance of



1 the major human activities in the province on the  
2 quality of surface water in Manitoba, for total  
3 dissolved solids, we could still identify  
4 significant effects for livestock production. For  
5 dissolved organic matter again, livestock was a  
6 significant effect. For nitrate, the two most  
7 important human activities that impact on nitrate  
8 in our province are urban sewage effluent,  
9 followed by livestock production. In cadmium,  
10 livestock didn't really have much, didn't figure  
11 much here. For lead, though, we still had a  
12 statistically significant effect for lead. And  
13 then copper, livestock were not -- so nitrate was  
14 the most important factor of the parameters that  
15 we looked at.

16           Now, when we broke this down according  
17 to the five different physiographic regions of  
18 Manitoba, what we found was that you still had for  
19 nitrate, okay, when you look at these mean values,  
20 these are the ranges, these are the mean values,  
21 so we found that central Manitoba, which is your  
22 Interlake area, and followed by the southern flood  
23 plain and southwestern Manitoba, these were the  
24 three physiographic areas of Manitoba that were  
25 the most susceptible, that was showing the



1 greatest effects of nitrate contamination due to  
2 human activity.

3           So now when we broke this down even  
4 further, if we looked now at the importance, the  
5 relative importance of the human impacts in  
6 relation to individual physiographic regions, we  
7 found that in central Manitoba, which is primarily  
8 the Interlake area, the two most important  
9 determinants were livestock production and  
10 domestic sewage, and these contributed the most to  
11 nitrate. In the Red River basin again, livestock  
12 was an important contributor, in addition to land  
13 clearing and crop production, in terms of  
14 dissolved organic matter. And you can see that  
15 the statistical significance, very, very high in  
16 this physiographic region.

17           And then we found the most vulnerable  
18 waters to contamination were streams, so the small  
19 water bodies, in other words, were also the most  
20 vulnerable, the most susceptible to contamination  
21 in all regions except in Northern Manitoba where,  
22 of course, the main activity there was mining, so  
23 the other activities really we didn't have enough  
24 to do a statistically significant comparison. But  
25 unfortunately, even though streams were the most



1 susceptible to contamination, 63 per cent of the  
2 livestock sites that we encountered were located  
3 on streams, and these were the areas where they  
4 should least be, where it is least appropriate to  
5 locate them.

6           The most vulnerable region was the  
7 Precambrian shield because of the low total  
8 dissolved solids, low total alkalinity that is  
9 characteristic of this region. The rocks in this  
10 region don't contain a lot of soluble salts. So  
11 surface waters in the Precambrian shield will  
12 range in the order from 100 milligrams per litre  
13 all the way down to less than 10 milligrams per  
14 litre, which is as close to distilled water as  
15 natural waters can get. So these waters also have  
16 the least buffering capacity when it comes to  
17 being able to inactivate and bind with  
18 contaminants. So the Precambrian shield should be  
19 the last area that we should be considering when  
20 we allow these developments there.

21           Now, in terms of the soil types that  
22 we had at these sites, well, only just over half  
23 of all of the livestock operations sites were  
24 located on clay soils, which are, as we know, the  
25 most appropriate types of soils, but only half of





1 the developments were located on these soils; 26  
2 per cent were located on sand and gravel which is  
3 highly, highly inappropriate for these types of  
4 operations, and yet they were still allowed there.  
5 Clay soils were the most likely to show high total  
6 dissolved solids and metal levels in overlying  
7 water. So what this means is when we do locate  
8 them on clay soils, we locate them on clay soils  
9 because they are the least permeable. They still  
10 are permeable, but at least they are the least  
11 permeable to leaching and water flow. But at the  
12 same time, when you have clay soils and water  
13 overlying, these kinds of soils also contribute a  
14 great deal of total dissolved solids and metal, so  
15 there is a great deal of transfer of these  
16 contaminants to overlying water, even when these  
17 operations are on clay soils.

18           Organic soils, of course, were highly  
19 correlated with dissolved organic matter and  
20 overlying water, this is what you would expect.  
21 And then nitrate showed the greatest elevation on  
22 clay soils on the Precambrian shield. And so  
23 again this tells us that we should not be locating  
24 operations that generate nitrate in the  
25 Precambrian shield area.



1                   Now, when we did multi-area analysis  
2 of this, the most vulnerable were the small water  
3 bodies to contamination, streams and ponds. So we  
4 define ponds as ten, the cut-off was ten hectares.  
5 So these, again, the smallest water bodies show  
6 the greatest impact, because you have the least  
7 dilution volume available. On the Precambrian  
8 shield, streams were significantly vulnerable for  
9 all of the parameters that we looked at, no matter  
10 what it was, the streams showed contamination the  
11 most readily. In the Red River basin, streams  
12 were most vulnerable to nitrate and dissolved  
13 organic matter. In southwestern Manitoba streams  
14 were most vulnerable to dissolved organic matter.  
15 Regions with the greatest frequency of livestock  
16 production were also the regions where nitrate and  
17 dissolved organic matter contamination of surface  
18 water were most evident. So this indicated that  
19 livestock production has already had an impact on  
20 our surface water. With the current levels of  
21 production, we have already produced an  
22 identifiable impact. And so this should give us  
23 pause to think, if we are going to expand any  
24 more, that we have to think very, very hard how we  
25 are going to do this, if we are going to do this,



1 because we already have a demonstrable impact.  
2 And unfortunately, the impact cannot be reversed,  
3 you can not clean this water up once it is  
4 contaminated. And remember, this applies to  
5 surface water only. Okay. The groundwater is a  
6 whole other issue.

7 All right. So then we did another  
8 study, and what we did -- now, we were concerned,  
9 we had demonstrated that in normal years of  
10 precipitation there is an impact associated with  
11 livestock production on surface water in Manitoba.  
12 So then we were interested, in view of climate  
13 change and the projected increased frequency that  
14 we can expect for storm events and unusual  
15 precipitation events, what impact does this have  
16 on the water quality? And so what we did, we  
17 looked now this time just in Southern Manitoba,  
18 because this is, of course, where the livestock  
19 productions are found. And we compared so-called  
20 normal precipitation summer and high  
21 precipitation. So we took two normal years in  
22 order to have a wider comparison base. And so we  
23 combined 1998 and 2001, which were sort of normal  
24 years. So the precipitation in 1998 was 435;  
25 2001, 497 ml from January to September, because we



1 stopped the sampling in September. This, of  
2 course, was at the Winnipeg airport where you can  
3 get these measurements, and so you have to  
4 appreciate that in different areas of the province  
5 this would have varied somewhat from these  
6 numbers, but still it was overall whatever you  
7 would consider as a normal precipitation year.

8                   Our flood year was 2005 where it was  
9 547 millimetres, that was again measured at the  
10 airport. And beautifully for our purposes, this  
11 precipitation was not in the form of snow, which  
12 then we would have to study the impact of snow  
13 melt, but it was actually concentrated in June and  
14 July as rainfall events. And, therefore, as  
15 rainfall events, you can really have a nice cause  
16 and effect relationship, that soon after it rains,  
17 that is when you should be able fairly soon to  
18 see, if there is any impact on the surface water,  
19 you should be able to see it fairly soon. So the  
20 impacts of high precipitation events, of course,  
21 they can be snowfall, followed by rapid spring  
22 melt, and I will address what happens in that just  
23 in a moment, or you can have what we had in this  
24 study, high summer precipitation and acute  
25 rainfall events. We have to remember that for the





1 immediate future, these sorts of events are likely  
2 to increase with the climate change cycle. And  
3 the most affected areas, of course, will be where  
4 you already have a high water table because high  
5 precipitation can raise the water table above the  
6 surface of the ground.

7                   Such as in my area, for example, where  
8 I live it is quite low, the water table is just  
9 two to three metres below the surface, so when we  
10 have a wet year everything is in water and you  
11 have basically an island.

12                   Where it slopes, where you have faster  
13 run-off, where you have drains, like municipal  
14 drains going across fields or where people have  
15 made their own drains to get the water off faster  
16 from their fields, where you have very little in  
17 the way of vegetated buffer zones to help retain  
18 the run-off, the intensity of it. Where you have  
19 shallow soils, especially here in eastern Manitoba  
20 this is a concern because we start to get now, the  
21 bedrock now starts to come quite close to the  
22 surface, so you don't have the depth there. And  
23 also where you have flood plains, because you have  
24 to remember that when you have high precipitation  
25 events, and especially if you have a flood like we



1 had in 1997, all of the barns, all of the lagoons  
2 get washed out and everything gets dumped into  
3 Lake Winnipeg. And so it doesn't matter how much  
4 we have dyked it or, you know, when you have a  
5 flood event like that, all of that material ends  
6 up eventually in the lake.

7                   So what we did, now we looked at total  
8 dissolved solids where we compared the non-flood  
9 seasons and the flood season. I should mention  
10 here that the number of sites that we looked at  
11 was 106 sites. So we sampled these 106 sites in  
12 these years, and in this year, and so we found for  
13 the urban, okay, in the flood season, total  
14 dissolved solids went up. In cottage areas total  
15 dissolved solids went up. In crop land, total  
16 dissolved solids went up. These are the ranges  
17 here, by the way. So you had a big range here.  
18 And then livestock, again, it more than doubled in  
19 terms of total dissolved solids. And that was  
20 just a difference of just a little bit over 100  
21 millimetres of precipitation between those two  
22 types of seasons, yet we more than doubled the  
23 total dissolved solid impact to the adjacent  
24 surface water.

25                   Now, when we looked at nitrate, okay,



1 for the urban, this was the only one that actually  
2 went down. And the reason for that was that with  
3 increased storm water going into the sewers, you  
4 are actually diluting the nitrogen that was in the  
5 sewage, because you still had the same amount,  
6 actual amount of sewage going into the system.  
7 But it increased storm water, you diluted this a  
8 bit. But for recreational areas, this didn't  
9 work. You increased. For crop lands, so this --  
10 I put here a note chemical and manure fertilizer,  
11 because we really couldn't distinguish enough  
12 between them -- so for crop land, big increase.  
13 And then for livestock, again, it actually doubled  
14 in the higher precipitation, the precipitation  
15 year compared to the so-call normal precipitation  
16 year. So precipitation is a very, very important  
17 factor in terms of escape of substances, dissolved  
18 substances into the adjacent surface waters.

19           So now we looked at soluble reactive  
20 phosphorous, which is orthophosphate, that is the  
21 most immediately uptakable form of phosphorous in  
22 terms of algal growth, and it is the most soluble  
23 form of phosphorous. So here we found, okay, this  
24 was not a statistically difference here, there was  
25 hardly any difference here between flood and



1 non-flood years for phosphorous. We increased a  
2 bit again here, but not statistically significant  
3 for cottages. This was statistically significant,  
4 so for crop land we did have a statistically  
5 significant increase in phosphorous. And for  
6 livestock operations, same thing, statistically  
7 significant increase in terms of the amount of  
8 phosphorous that was coming off into the surface  
9 water.

10                   Dissolved organic matter increased,  
11 and this probably -- you had increased leaching of  
12 leaf litter and whatever with the higher  
13 precipitation; for the cottages, increased; for  
14 crops, increased quite a bit. And then we also  
15 had some increase here for the livestock  
16 operations. So all of the categories showed an  
17 increase when you had flood versus non-flood  
18 years.

19                   So the results of flooding on adjacent  
20 surface water, high rainfall associated with  
21 increased nitrate soluble reactive phosphorous,  
22 total dissolved solids, and dissolved organic  
23 matter in adjacent waters. Smaller water bodies,  
24 and this again echoed the results of the first  
25 study, smaller water bodies showed higher





1 increases than larger water bodies, again because  
2 of the dilution capacity of the receiving water.  
3 And then this multi-variant, analysis of variants  
4 identified both land use and water body type as  
5 significant determinants for chemistry water  
6 impact. And this is something that is very  
7 important for us to bear in mind. When we do  
8 planning, where do we allow certain operations,  
9 where don't we allow? So we have to consider what  
10 water, what kind of water body type it is, in  
11 addition to the geographical region of Manitoba,  
12 where it is located.

13                   Here is something that was of great  
14 concern. 10 per cent of our 106 sites actually  
15 showed more phosphorous than nitrogen in the  
16 surface water. And so this indicates that  
17 phosphorous is way in excess, and I mean really  
18 enormously in excess, to the point where when you  
19 are talking about its capacity to stimulate algal  
20 blooms that it no longer becomes the limiting  
21 factor in waters like this. So in 10 per cent  
22 nitrogen actually now becomes the limiting factor  
23 compared to phosphorous. So this again echos that  
24 we have to consider both nitrogen and phosphorous  
25 when we are talking about nutrient escape into our



1 surface waters.

2                   And then, of course, the findings of  
3 this study were just about the same as these  
4 people, this was a European study. And so what we  
5 found was pretty well the same as what they found  
6 there in Europe.

7                   Okay. Now, what can we do for  
8 reduction of nutrient escape? Of course, we have  
9 to have means of containment of run-off from barn  
10 property, and you would think this would be like a  
11 no brainer, but you would be -- well, maybe you  
12 wouldn't be surprised how many, you know -- well,  
13 I will show you in some of the slides later.

14 Okay.

15                   So we have to have dykes in place in  
16 the event of future lagoon overflow, liner  
17 failure, storage and rupture, so that we don't  
18 have these instances that we seem to have every  
19 year where you have the super giant spill and it,  
20 you know, makes its way right to the nearest  
21 stream, and people are running around because  
22 there have been no contingency plans in place to  
23 anticipate these events. There should be  
24 monitoring wells that are mandatory for intensive  
25 livestock operations, mandatory permanently



1 vegetated buffer zones around barns and spread  
2 fields. What this means is, like in a lot of the  
3 applications that have come forward, the operator,  
4 the proponent proposes to plant a shelter belt.  
5 Well, A, just a shelter belt won't do it; and B,  
6 it will take how many years for that shelter belt  
7 to actually grow to an appreciable size? So in  
8 the meantime you have to have some interim  
9 measures until that vegetated buffer zone becomes  
10 established. There should be no drains directly  
11 into ditches or municipal drains. But  
12 unfortunately this is something that we see far,  
13 far too frequently. We have -- again, I will show  
14 you some slides later.

15               Spreading setbacks from ditches and  
16 drains; currently we find that in many instances  
17 these are not respected. And again, I will show  
18 you some slides later where, you know, it is not  
19 at all unusual to see manure disposed directly in  
20 ditches.

21               Sediment traps in weirs and culverts  
22 to retain particulates, because a lot of nutrients  
23 are bound to the particulates in soil, and so when  
24 you are losing soil particles with erosion or  
25 run-off, you are also losing a fair proportion of



1 bound nutrients.

2                   And no dribbling of manure on  
3 roadways, again, this is currently not respected.  
4 Again, you can run into this a lot. Okay. And  
5 that will come later, more in monitoring and  
6 enforcement.

7                   Now, nutrient escape reduction, there  
8 should be more than one soil sample per quarter  
9 section of land. A lot of soil testing has just  
10 one sample, which is completely inadequate. I  
11 myself have a 40-acre piece, and I have like six  
12 different soil types on my own little bit of land.  
13 And so that is completely -- well, pretty well  
14 meaningless if you just use one soil sample to  
15 represent a whole quarter. There should be GPS  
16 location of soil samples so that the documentation  
17 indicates exactly where that soil sample was  
18 taken, and if verification is needed, that can  
19 then take place. If there is something strange --  
20 for example, there have been instances that I'm  
21 aware of where a soil sample was taken before the  
22 manure was spread on the field, then another soil  
23 sample was taken after spreading, and the second  
24 soil sample showed levels, nutrient levels far  
25 below those of the first soil sample. And so that





1 obviously was something that would need to be  
2 verified. Periodic sampling should be done at  
3 stated depths below the surface, especially if  
4 manure is being applied repeatedly, again and  
5 again on the same piece of land.

6                   This is the other thing that I wanted  
7 to mention, that I myself have seen instances  
8 where soil samples submitted for testing were  
9 taken from a completely different piece of land  
10 from the one that they were supposed to be. Soil  
11 sampling should be subject to random independent  
12 verification, so that goes back to the GPS there.

13                   In a flood season the nutrients are  
14 not utilized by crops, so they escape to water.  
15 So we know that Manitoba Crop Insurance does have  
16 records of people who repeatedly claim for  
17 flooding year after year. I know in my area where  
18 I live, because it is so wet, they do this. And  
19 so these records can be used to identify these  
20 operators and maybe give them assistance with  
21 other options that they could pursue so that they  
22 don't have this, where they put on the fertilizer  
23 each year, and then it is gone because it was  
24 flooded out, because the area was inappropriate  
25 for that kind of activity in the first place.



1                   Manure spreading on the same plot of  
2 land year after year should not be allowed,  
3 because eventually you have the build-up of the  
4 solids and metals and so that can permanently in  
5 some cases incapacitate the future production  
6 potential of that land. Surface water should be  
7 periodically monitored downstream, and this should  
8 be mandatory in order to promptly identify if  
9 there is going to be a problem, you can address it  
10 early on rather than years down the line when a  
11 lot of damage has already been done. This part,  
12 this relates to the current --

13                   THE CHAIRMAN: Dr. Pip, about how much  
14 longer do you think you have in your presentation?

15                   MS. PIP: Actually, the next, I'm  
16 informed that Mr. Hugh Arklie is not here.

17                   THE CHAIRMAN: He will be here later.

18                   MS. PIP: Would you like me to stop at  
19 this point?

20                   THE CHAIRMAN: No. How much longer do  
21 you think it could be?

22                   MS. PIP: Could I have another 15  
23 minutes?

24                   THE CHAIRMAN: Okay. And I say that  
25 because this is probably the first scientifically



1 based presentation we have had in opposition, so  
2 we will give you a little grace because of that.

3 MS. PIP: Thank you. So then I won't  
4 go into this in detail in terms of the suggestions  
5 that I have, in terms of how the nutrient  
6 calculations can be improved that we have. I will  
7 just move on here.

8 Manure application, this relates to  
9 applying, the problems, particular problems when  
10 we have applied to pasture land and also certain  
11 kinds of crops that tend to be nitrate  
12 accumulators and, therefore, can lead to toxic  
13 concentrations of things like cyanogenic  
14 lycosides, and also in cattle, excess nitrate  
15 levels that may cause nitrate toxicosis.

16 These are just some slides showing  
17 these heaps of -- this is in this case hog manure.  
18 There is the shoreline of Lake Winnipeg, and these  
19 heaps, every year the operator simply adds to them  
20 but does nothing at all in the way of spreading  
21 them.

22 Winter manure application; this is  
23 important because we still have quite a bit of  
24 this going on in our province, especially the  
25 smaller operators. My neighbour, for example, my



1 next door neighbour, every day of the year,  
2 because he doesn't have a lagoon. So no winter  
3 application should be allowed, period, because you  
4 may have a number of these smaller operations in  
5 an area and they can add up numerically in terms  
6 of their impact, they can add up to more than the  
7 impact say of a single larger operation might  
8 have.

9                   The pathogens in swine waste -- I will  
10 move on here. So manure application in winter  
11 months, there is other research from other areas  
12 which showed now that besides the nutrient  
13 problem, the coliform problem, especially when  
14 applied on snow -- and so this is another reason  
15 why this should not be allowed.

16                   This business of antibiotic resistant  
17 bacteria, again, this is other research that I  
18 will just go by here.

19                   We have to plan for swine disease  
20 outbreak, because we know for a fact that sooner  
21 or later this is going to occur in our province,  
22 and so we have to be prepared for how we dispose  
23 of diseased animals -- or even large numbers of  
24 animals, like, for example, you have a barn fire  
25 or something like that, at present we don't have





1 any real -- well, we have to think about this.

2 Okay.

3                   These were studies done in Ontario  
4 with respect to livestock operations and well  
5 water contamination, so basically they found  
6 increased well water contamination, and  
7 particularly e. coli. So I will go past that.

8                   Algae, as we know in Manitoba, big  
9 problem, nitrogen and phosphorous feeds the algal  
10 blooms, and this is a public health issue because  
11 there is no antidote. This is one of the most  
12 toxic -- these are among the most toxic compounds  
13 that there are. So, again, we have the prospect  
14 of climate change, this is something that we have  
15 to consider again in our longer range plans, and  
16 the ecological effects and so on.

17                   So the deficiencies in current  
18 practices, I will just go past this too, and the  
19 need for restrictions. These are all just based  
20 on -- I have now been looking at this for more  
21 than 40 years, sampling water in Manitoba. So all  
22 of these ideas that I have here, they are a  
23 synthesis of what I have seen having traveled now  
24 through all areas of the province, and then where  
25 we should exercise special restrictions, and then



1 other issues such as, for example, greenhouse  
2 gases and so on.

3                   Then what I would like to do is show  
4 you some 35 millimetre slides. And the reason I'm  
5 showing you slides rather than having scanned it  
6 into a digital image, this is so that -- the same  
7 as with forensics and crime scenes, for example,  
8 you still have to use film, you are not allowed to  
9 use -- so these are the actual negatives that you  
10 are viewing. They have not been altered in any  
11 way.

12                   So we have in many areas of the  
13 province some of these very, very large barns, and  
14 we don't even know how many hogs are housed in  
15 these operations because, of course, there is no,  
16 nobody checks, and inspectors are not allowed to  
17 go inside for issues of biosecurity and so on.  
18 And we do know that a lot of hogs get sold not  
19 just through regular channels, but under other  
20 people's names and so on. So, in fact, we have  
21 hogs that we don't account for in the numbers that  
22 we give when we say how many hogs there are in the  
23 province.

24                   Now, as I mentioned, these operations  
25 tend to be located near streams, which are the



1 worst possible place that they should be located.  
2 The other thing is that they are located in areas  
3 where there is a lot of good quality water because  
4 of the high water requirements of these  
5 operations, but unfortunately the water that they  
6 put back is quite different from the water that  
7 they take. And in many cases the technical review  
8 committee -- that is another whole issue that I  
9 had wanted to address but don't have time for --  
10 the technical review committee routinely has  
11 approved projects where there was zero information  
12 in terms of hydrological data, aquifer size, what  
13 other demands were being made on these aquifers,  
14 and yet these projects still got approved.

15           Here is another one, when I had  
16 mentioned no direct drainage to surface water  
17 bodies, here we see -- this is a relatively  
18 smaller operation, but what this person has done,  
19 he dug a ditch straight from his barn door here,  
20 and it goes to the road side ditch which then goes  
21 to the nearest local stream. And so in terms of  
22 the impact on the surface water, we have -- we can  
23 clearly see that there are often large pieces of  
24 waste that end up in the local water. This one in  
25 particular, this happens to be Hazel Creek which



1 is not far from here. Hazel Creek is a  
2 particularly sad example because it contained  
3 many, many rare species originally that were not  
4 found elsewhere in Manitoba, but now we have  
5 allowed it to degrade to the point where not very  
6 much lives in there at all now.

7                   Here is another example of just hog  
8 barn waste dumped into a neighboring stream. And  
9 then this is in the Interlake area, this is a  
10 ditch where hog waste is dumped, and this ditch  
11 goes directly to a wildlife refuge. So here is  
12 another example, this is a stream, again, just  
13 downstream from a hog barn, absolutely nothing  
14 lives in that water except for anaerobic bacteria.  
15 There is nothing else there, and the stench is  
16 horrible.

17                   And here this is in the Fisher Branch  
18 area. So we have the hog manure right here beside  
19 the ditch, and again the flies and stench here, we  
20 see all of the algal blooms. And the problem with  
21 above ground storage tanks, that is a whole other  
22 issue that we have to look at more closely. This  
23 again, there is the shore of, the west shore of  
24 Lake Winnipeg, and we have the manure just dumped  
25 there and the ditch going by.





1                   Okay. Here in this case, this is my  
2 next door neighbour, and the reason that I put  
3 this here is we see an abandoned well head here,  
4 and he generates so much manure that he piles it  
5 up around the abandoned well head. And as a  
6 result, therefore, I have had to boil my water now  
7 for years. It wasn't like that when I first came  
8 there.

9                   And here we see, this is in the Rivers  
10 area in Southern Manitoba, here we see a manure  
11 tanker, and what he is doing is he is going along  
12 the roadway and he is dumping the manure in the  
13 ditch. Toughest regulations in the world, right?

14                   So, again, this is where I live.  
15 Okay. The winter manure spreading, and there is  
16 so much of this that by March -- my house is in  
17 these trees here -- this is what it looks like by  
18 March, it is up to about a foot thick or so on  
19 there. And then this time of year now, okay,  
20 there is another shot of that field next to me.  
21 And so when this melts, this is the same field  
22 that we saw in the previous two slides, all of  
23 this simply rushes off into the ditch and into the  
24 Brokenhead River. Right, toughest regulations in  
25 the world.



1                   And I just wanted here to show you  
2 some slides of the other problems that this  
3 ultimately causes down the line. And that is the  
4 algae, of course. This is what blooms look like,  
5 and they produce a variety of toxins that there is  
6 no antidote. Some of them are extremely fast  
7 acting. In fact, if you were to take a coffee mug  
8 and dip it into here and drink it, you would be  
9 dead in less than five minutes. And we have many,  
10 many livestock, many livestock deaths, hundreds of  
11 livestock deaths each year because of the algae in  
12 dugouts and ditches.

13                   Here, this is a ditch just downstream  
14 from a hog barn. And what we see here, algal  
15 blooms at the end of October. Now, we know that  
16 blue greens normally don't bloom unless the  
17 temperatures are fairly warm, like more than  
18 15 degrees, but here in this case, temperatures  
19 are near freezing, but there is so much nitrogen  
20 and phosphorous in this water that we see algal  
21 blooms even at this unseasonable time of year.

22                   Now here, okay, where does this end  
23 up? Lake Winnipeg now, I will just go through  
24 this quickly here because a lot of you know about  
25 Lake Winnipeg. In some cases these algal blooms



1 are so extreme, here this is on the west side of  
2 Lake Winnipeg, so in this case now the eco-system,  
3 when you have something like that has collapsed  
4 completely, there is absolutely no oxygen in the  
5 water column below that. Again, here we see how  
6 dense these blooms are, okay. And another -- and  
7 so what happens then is we then inflict another  
8 problem to try to deal with the algal blooms. We  
9 treat the water with copper sulfate, even though  
10 that is supposed to be illegal, but we still do it  
11 anyway. So the copper sulfate kills off any of  
12 the aquatic organisms which the original algal  
13 hasn't managed to kill off. Here we see here, all  
14 the copper sulfate here, that is at Victoria Beach  
15 right next to their water intake, so the people  
16 are drinking that water there.

17                   So, I guess I have to quit here now,  
18 even though I would have wanted to say so, so, so  
19 much more.

20                   THE CHAIRMAN: Thank you very much,  
21 Dr. Pip. We may have one or two questions for  
22 you. Edwin?

23                   MR. YEE: Yes, Dr. Pip, just a  
24 question. In your categories you had the minimum  
25 impact land use category. Can you give me an idea



1 of the types of land use? Would that be like  
2 Crown land?

3 MS. PIP: Yes, some of them would have  
4 been Crown land. The minimal land use was simply  
5 sites where we could see no obvious human  
6 activity. So they would have been things like  
7 back country areas, or areas in Provincial Parks  
8 that were away from the developed areas, and many  
9 bogs, like even around here, like the Julius bog  
10 and the Whitemouth bog and so on, where that kind  
11 of land, it is the least suitable anyway for other  
12 human activities. So, yes, therefore that kind of  
13 land tended to have a lot of dissolved organic  
14 matter in it simply by virtue of the bogs. But  
15 other than that, you could have demonstrated, like  
16 for the other parameters, that all of our human  
17 activities have identifiable impacts. And here is  
18 one of the other things that I wanted to say is,  
19 we can't just look at the livestock industry or  
20 the hog industry as though it was hanging by  
21 itself in space, because it isn't, it ties in with  
22 all the other activities that are present in that  
23 area, and that also have impacts on that same  
24 water. And so we have to consider everything in a  
25 comprehensive way, instead of looking at each





1 individual application as though that were the  
2 first application we ever had.

3 MR. YEE: Thank you.

4 THE CHAIRMAN: You noted earlier in  
5 your presentation that about 53 per cent of  
6 livestock sites are on clay land.

7 MS. PIP: Yes.

8 THE CHAIRMAN: And about 26 on sand  
9 and gravel. And then if I understood you, and I'm  
10 not a scientist, but then you seemed to indicate  
11 that where sites were on clay land, because of the  
12 clay there was more run-off into surface water.  
13 Is that --

14 MS. PIP: No. What that indicated is  
15 where you had adjacent surface water, it was also  
16 on clay sediment, it seemed that clay sediment,  
17 the clay particles are very fine, like they have  
18 colloidal particles and so on, they have very  
19 large surface area and a lot of them have ion  
20 exchange capacity, so a lot of these particles  
21 tend to bind nutrients that come off wherever they  
22 come from, the run-off or whatever. And,  
23 therefore, if this water stands in contact with  
24 the clay sediments that contain the bound  
25 nutrients, that you have an increased amount of



1 nutrients transferring across the clay water  
2 interface into the water in these areas simply  
3 because the sediment already contains more of the  
4 bound nutrients, therefore, the likelihood is  
5 greater that the nutrients will transfer to  
6 overlying water.

7 THE CHAIRMAN: So is it okay,  
8 considering all of the other regulations in place,  
9 is it okay to site livestock operations over clay  
10 based soil?

11 MS. PIP: Yes. Yes, that is the best  
12 option because of the least permeability of that  
13 type of soil. So here we are talking about  
14 groundwater potential for contamination. What I  
15 was looking at was overland run-off, which then is  
16 a completely different story. So that comes back  
17 again to one of my suggestions, that we have to  
18 make sure that the site is contained, so that  
19 there is no opportunity for overland escape of  
20 materials into the adjacent surface water.

21 THE CHAIRMAN: And it is your view  
22 that there should be no livestock operations on  
23 sand and gravel based --

24 MS. PIP: That is my view, yes.

25 THE CHAIRMAN: Thank you. Wayne.



1                   MR. MOTHERAL: Thank you. Ms. Pip, I,  
2 being a former councillor, a former municipal  
3 official, I was curious, you say that the  
4 technical review committee approved a certain  
5 project. Well, if I'm on the understanding, I  
6 believe municipal councils have the final say as  
7 to where -- I don't want to, I'm not leading into  
8 anything here, but municipalities do have the  
9 final say, I believe, as to where hog operations  
10 would be.

11                   MS. PIP: Okay. To answer your last  
12 comment first, theoretically, yes, they do, but  
13 when you actually speak to the municipal councils,  
14 they are under the impression that with the new  
15 planning act now, that once a project has been  
16 okayed by the technical review committee, that  
17 they are, if they then vote against this, if it  
18 has been okayed by the technical review committee,  
19 that they are then setting themselves up as liable  
20 for legal action by the proponent under this new  
21 planning act.

22                   The other thing is that in my  
23 experience, I find that the technical review  
24 committee should have better qualifications to  
25 review, because I will cite as one example, well,



1 the most recent example was the night right before  
2 the municipal election last fall, there was, in  
3 Lac du Bonnet, there was a municipal council  
4 meeting to approve a proposal. And that proposal,  
5 first of all, it was on only about a 42-acre  
6 property to have these livestock barns. Secondly,  
7 he didn't have enough manure storage space there.  
8 Thirdly, he was proposing to apply manure. Four  
9 of his spread fields had municipal drains running  
10 across them, and he had indicated no plans to  
11 observe setbacks, not only from property lines,  
12 roadways. And the drains, he was indicating it  
13 was 160-acre field with a big municipal drain  
14 running across it. He had four of them like that.  
15 He indicated that he would be spreading the whole  
16 160 acres. That still got approved. He indicated  
17 two of his parcels would be bog land, completely  
18 100 per cent organic soil. And the technical  
19 review committee didn't blink with that. He was  
20 missing soil samples for some of those proposed  
21 spread fields. The technical review committee  
22 didn't blink with that. Well, that was just one  
23 single application. So what I'm saying is, the  
24 technical review committee process means nothing.

25 MR. MOTHERAL: That is all I have.





1                   THE CHAIRMAN: Thank you very much for  
2 taking the time to come out here today, Dr. Pip.  
3 Excuse me a moment.

4                   Next is Mr. Hugh Arklie.

5                   MR. ARKLIE: Sorry, I just got here,  
6 so I think the process is to identify myself and  
7 then carry on. Is that correct? Did anybody want  
8 to swear me in first?

9                   THE CHAIRMAN: Would you please state  
10 your name for the record?

11                  MR. ARKLIE: My name is Hugh Arklie  
12 and I'm in the postal district of Dugald.  
13 HUGH ARKLIE, having been sworn, presents as  
14 follows:

15                  MR. ARKLIE: So, my presentation today  
16 is entitled "Factory Hog Industry Review Land Use  
17 Planning And Approval." As a result of the  
18 scoping process, the Commission sought input into  
19 those subjects that should be discussed at the  
20 eventual meetings, and a list of opportunities was  
21 presented from which we could choose, and I chose  
22 land use, planning and approval.

23                  Introduction: K. William Kapp in 1971  
24 defined social costs as direct and indirect costs  
25 suffered by third parties resulting from private



1 economic activities. Social costs include damage  
2 to health, property values and natural landscapes.  
3 The impacts of the industrialization of swine  
4 production on the environment, health and makeup  
5 of Manitoba's rural community fit Kapp's  
6 definition of social costs.

7 Manitoba's legislators were not  
8 insensitive to the concept of social costs when  
9 they wrote the Environment Act. In fact, its very  
10 first section describes the intent of the Act to

11 "...ensure that the environment is  
12 maintained in such a manner as to  
13 sustain a high quality of life,  
14 including social and economic  
15 development."

16 So the factory pig industry will be judged not  
17 only by its economic performance, but also on its  
18 social performance. This paper will show it  
19 failed miserably.

20 Furthermore, the Sustainable  
21 Development Act speaks clearly to the issues of  
22 health. It holistically defines health as being

23 "Sound in body, mind and spirit."

24 The Canadian Public Health Association in 2000,  
25 the Canadian Medical Association in 2002, and the



1 American Public Health Association in 2004 have  
2 all adopted resolutions expressing concerns about  
3 health issues and industrialized hog operations.  
4 This paper will show why the mental health of  
5 Manitobans is at risk.

6           There are many routes that this  
7 discussion could take, but a focus on land use  
8 planning and approval will best highlight how the  
9 porcine industry and its confederates in the civil  
10 service have taken square aim at the social  
11 development and mental health of rural Manitobans.

12           The abuse of rural Manitoba by sunless  
13 hog factories has its genesis in the Lisoway v  
14 Springfield Hog Ranch Ltd. case. It was this  
15 court defeat of the hog industry in 1974 that  
16 caused the NDP government in 1976 to strip rural  
17 Manitobans of the ancient English common law right  
18 to sue for nuisance. For 31 years the industry  
19 has been favored by the courts, forcing its  
20 opponents to marshal widespread opposition during  
21 the land use and planning approval process.  
22 Typically, petitions are produced that clearly  
23 show massive public opposition. They are  
24 dismissed because apparently democracy ends at the  
25 ballot box and we are not allowed to participate



1 in the intervening four years. There is no  
2 shortage of examples, including my municipality,  
3 Springfield.

4                   When large numbers of citizens  
5 assemble with the protection of their communities  
6 in mind, the civil service from urban Manitoba  
7 descends to convince them of their errors. In  
8 2001, representatives of the government told the  
9 people of Shellmouth-Bolton that they had no legal  
10 right to oppose a new hog factory. That is, they  
11 had no right to protect their current way of life,  
12 social costs be damned, the Environment Act be  
13 damned. But the hog industry can participate.

14                   In 2000, an operator tried to win the  
15 approval for a new factory by offering \$100,000 to  
16 support the region's bid for the Manitoba Winter  
17 Games. All that the municipality had to do was  
18 stop blocking the company's expansion plans. To  
19 its everlasting credit, Bifrost said get lost.

20                   The sorry history of the intensive hog  
21 industry in Manitoba is replete with examples of  
22 conflict of interest. Individuals are allowed to  
23 sit on technical review committees, while  
24 relatives apply for factory approvals. Municipal  
25 staff offers advice to relatives on how to avoid





1 the spirit of the rules. Councillors do not  
2 absent themselves from debate concerning  
3 individuals with whom they have business dealings.  
4 Councillors compromise their integrity by  
5 approaching applicants during public hearings.  
6 But the best or worst examples include senior  
7 public servants who made the rules and guidelines  
8 for the hog industry. I remember them well. They  
9 would utterly ignore the public upon showing up at  
10 council meetings where they would, with clinical  
11 precision, support a new factory proposal. They  
12 were and are hog industry servants, not public  
13 servants. Too bad that the pigs cannot pay their  
14 salaries and pensions. Some senior public  
15 servants have graduated beyond supporting the  
16 industry while being paid by the public. Now they  
17 are in the employ of the industry and get to  
18 benefit from the work of their earlier careers  
19 when they made the regulations and guidelines  
20 under which they now operate. They also get to  
21 interact on an informed basis with the current  
22 crop of public servants, an advantage that no  
23 rural citizens enjoy.

24 Speaking of the public service, it  
25 enjoys a virtual monopoly over membership on



1 technical review committees. They set the rules  
2 in their offices, then they analyze the  
3 proponent's application. The analytical work, the  
4 so-called analytical work is usually done in the  
5 cozy confines of those same offices. It is then  
6 forwarded to the rural municipalities who in their  
7 wisdom confer environmental assessment status on  
8 this junk.

9                   In the RM of Strathclair and in the  
10 RM of Turtle Mountain, TRCs missed the presence of  
11 water bodies that were crucial to the assessment  
12 of hog factories. In a classic example of  
13 carelessness, a TRC failed to pick up glaring  
14 errors in a proposal that went before the RM of  
15 Portage la Prairie. In these examples it was  
16 citizens who took the trouble to analyze the work  
17 of the TRCs. How many more bungled TRC reports  
18 have been relied upon by municipalities in the  
19 absence of citizens who volunteer their time and  
20 costs to check on the work of the TRCs?

21                   None of this is surprising. It is  
22 disgusting, but it is not surprising, since the  
23 public service is squarely in the corner of the  
24 porcine industry. The so-called work of the TRCs  
25 is illegitimate and unprofessional. There is no



1 requirement of a TRC to visit the field, to  
2 consult with experts, or to gather local  
3 knowledge. The result of the TRC process is to  
4 diminish the spirit and intent of the Environment  
5 Act and the Sustainable Development Act. The  
6 environment is given short shrift, and the social  
7 costs mount.

8                   Land use planning and approval is  
9 irrelevant in Manitoba because that is the way the  
10 industry and the public service wish it to be.  
11 The proof is in the pursuit of offenders. In the  
12 RM of Hillsburg a lagoon was built in flagrant  
13 disregard to the regulations. A video taken by a  
14 neighbour proved that it could not handle a  
15 subsequent rainfall. It was porous and all the  
16 rain, every cupful, leaked right through.

17                   Four million litres of pig manure  
18 spilled near Morden in 2000. The public was told  
19 three years later. Hog slurry is about 100 times  
20 more toxic than raw human sewage. In 2002, a  
21 steel manure storage tank near MacGregor exploded  
22 its way into infamy. It dumped four million  
23 litres of hog slurry in a heartbeat, contaminating  
24 local wells. Near Cypress River in 2005, a lagoon  
25 failed, poisoning the surrounding area with more



1 millions of litres of the hog industry's curse  
2 upon us. These tragic events were understated by  
3 the Department of Conservation. No meaningful  
4 penalty was assessed by the department, much less  
5 paid by the operators, who did not even seem to be  
6 embarrassed.

7                   Government oversight is ineffectual.  
8 Bill 33, the new Planning Act, appears to have  
9 been written to make straight the path of the hog  
10 industry. The Farm Practices Protection Act,  
11 which replaced the infamous Nuisance Act of 1976,  
12 makes provision for a Farm Practices Protection  
13 Board. Unfortunately, the board is regularly  
14 scorned by operators who apparently need multiple  
15 notifications and warnings before they acknowledge  
16 their social responsibilities as embodied in the  
17 Environment Act and the Sustainable Development  
18 Act. What is the point of a speed limit if there  
19 are no traffic cops? Indeed, if there is no  
20 traffic enforcement at all, why issue driver's  
21 licences? The hog equivalent of a driver's  
22 license is land use planning and approval. In  
23 fact such planning and approval is about as  
24 meaningful as a driver's licence in Baghdad.

25                   The industrial porcine business has





1 run rough shod over this province. It has stained  
2 the rural countryside with its presence by  
3 introducing foul odours, heavy metals, noxious  
4 gases and residual antibiotics, all while it  
5 abuses dumb animals in factory enclosures. The  
6 industry has caused social costs that it can never  
7 hope to repay, even if it felt the obligation to  
8 do so.

9                   The CEC should bring down the hammer  
10 on this industry and recommend a permanent closure  
11 on its expansion. In doing so it will invoke the  
12 precautionary principle which ensures that future  
13 harm will not be done by taking precautionary  
14 actions to prevent a threat to human and  
15 environmental health. This can only be done if  
16 you believe that nine million pigs are enough.

17                   That, Mr. Chairman, is the end of my  
18 presentation. I do have a note here that says the  
19 material that you have following my presentation  
20 in your binder is a series of scientific studies  
21 on the hog industry. Some of them are taken from  
22 Manitoba research, some are from the U.S., one is  
23 from France. The one from France is interesting.  
24 It shows that pig manure can now be fingerprinted  
25 so they can tell pig manure from other animal



1 manure. I know that the hog industry will object  
2 to the use of non-Manitoba studies, but the last  
3 time I looked, H2O was water everywhere.

4 Thank you very much.

5 THE CHAIRMAN: Thank you, Mr. Arklie.  
6 Edwin?

7 MR. YEE: I'm not sure if I have a  
8 question for you, Mr. Arklie. I guess just for  
9 clarification, though, I realize what you are  
10 asking us to look at and your position is,  
11 continue the moratorium. But I'm thinking in  
12 terms of on the positive side, would you have  
13 suggestions, given your statements about the  
14 technical review committee, how that process could  
15 be improved, if it were to continue?

16 MR. ARKLIE: I think the standard  
17 should be ratcheted up a significant amount.  
18 There is a general misconception on the landscape  
19 that a technical review, and if you read some of  
20 the rural papers that have reported on your  
21 meetings, you will find that rural participants  
22 that have I have read in some of the rural papers  
23 are equating a technical review with an  
24 environmental assessment. It simply isn't the  
25 case. There is no requirement for the TRC members



1 to actually get their feet dirty by walking on to  
2 a field and have a look at what is going on. They  
3 can do whatever they want from the corner of  
4 Portage and Main. It is not an environmental  
5 assessment, but the public thinks it is an  
6 environmental assessment. So if you want to earn  
7 that type of respect from the public, then you  
8 better perform the work and actually do  
9 environmental assessments as contemplated by the  
10 Environment Act.

11           Technical review is just, it is  
12 nonsense. There is no substance to any technical  
13 review that I have ever seen. It is a matter of  
14 checking off boxes, and apparently putting into  
15 that as much care and concern as the average  
16 consumer doing a corporate survey puts out.

17           The real tragedy, though, is that  
18 people are being allowed to give the public the  
19 misconception that these are environmental  
20 assessments, and once the approval goes through,  
21 then everyone assumes that the environment has  
22 been protected because of the documentation that  
23 has been tabled. It is fraudulent. The process  
24 is useless. I think Dr. Pip said the same thing.

25           THE CHAIRMAN: What do you base that



1 on, that it is fraudulent, that they don't have  
2 very high standards to meet?

3 MR. ARKLIE: Because I think the  
4 industry is quite happy to have the public  
5 confused over what is an environmental assessment  
6 and what is not. I think the hog industry in  
7 Manitoba knows full well that a TRC -- because  
8 they are smart people. Some of them have had the  
9 opportunity of actually working on environmental  
10 assessments, and they know, as well as you and I,  
11 that these are not environmental assessments in  
12 the sense of the Environment Act, which is the  
13 impression they are giving to the public and the  
14 public embraces it. To avoid that, we have to  
15 tell the public either these aren't environment  
16 assessments so don't get your hopes up, or  
17 actually do environmental assessments.

18 THE CHAIRMAN: Thank you.

19 MR. MOTHERAL: I'm not sure whether --  
20 you had this quotation here, Mr. Arklie -- whether  
21 you were trying to bring forth a point, or do you  
22 know from research, is hog slurry 100 times more  
23 toxic than human slurry?

24 MR. ARKLIE: Pardon me?

25 MR. MOTHERAL: I am just wondering if





1 you were just using that to put a point out or did  
2 you have any research at all?

3 MR. ARKLIE: I think you will find  
4 that referred to in at least one of the studies I  
5 have in there. It might be Bill Payton's study.  
6 It might be another one.

7 THE CHAIRMAN: Thank you very much,  
8 Mr. Arklie. Thank you for all of the reading  
9 material.

10 David Young. State your name for the  
11 record, please?

12 MR. YOUNG: My name is David Young.  
13 DAVID YOUNG, having been sworn, presented as  
14 follows:

15 THE CHAIRMAN: Proceed please, sir.

16 MR. YOUNG: Mr. Chairman,  
17 distinguished members of the Commission, the Clean  
18 Environment Commission, my name is David Young and  
19 I appear to present to you a report on water  
20 quality in the Whitemouth River watershed on  
21 behalf of the Whitemouth-Reynolds Soil and Water  
22 Conservation Association. The Whitemouth-Reynolds  
23 Soil and Water Conservation Association is an  
24 unincorporated syndicate of persons interested in  
25 soil and water conservation in the municipalities



1 of Reynolds and Whitemouth. The association  
2 includes members of the councils of both  
3 municipalities and is supported by the  
4 municipalities. The association is supported by  
5 Manitoba Agriculture, Food and Rural Initiatives,  
6 and has also received support and advice from  
7 other agencies of the Government of Manitoba and  
8 from PFRA. Financial support is provided by the  
9 municipalities and, from time to time, by several  
10 agencies of the Government of Manitoba. I would  
11 mention peripherally, sir, that the budget of this  
12 association is approximately \$7,000 per year. It  
13 is a small amount, but it comes from many sources.

14           We are presenting to you today a  
15 report which summarizes the results of six years  
16 of methodical testing of water quality in the  
17 Whitemouth River. The report shows that nutrient  
18 levels in water discharged from this watershed are  
19 within Provincial water quality guidelines. It  
20 also shows that the levels of concentration of  
21 phosphorous and nitrogen in the Whitemouth River  
22 do not increase as the river flows through the  
23 agricultural and residential areas of the  
24 watershed, and the levels of concentration have  
25 not increased during the last six years.



1                   In brief, the report shows that  
2 agriculture and other human activities in this  
3 watershed are not contributing to increased levels  
4 of nutrients in Lake Winnipeg or other downstream  
5 waters.

6                   Sir, if I may digress just for a  
7 moment at this point, I must apologize, I had  
8 completely missed the highlighted point in the  
9 letter received from your Commission asking that I  
10 submit ten copies of our report to you. I  
11 submitted one, plus an electronic copy, and of  
12 course I realize, gentlemen, that you do not have  
13 our report before you. It is 18 pages long,  
14 consisting mainly of data, and it has appended to  
15 it some 15 pages of all of the water test results  
16 from the previous six years. I'm sorry that you  
17 have not got that in front of you. Perhaps when I  
18 finish you may wish to raise some questions that I  
19 have not included in my address because of my  
20 misunderstanding. The fault was entirely mine.

21                   The report which we are submitting to  
22 you today includes and summarizes the results of  
23 301 sets of water quality tests. As we are  
24 presenting you with a complete record of these  
25 tests, I shall, with your approval, sir, confine



1 myself to a brief summary of some of the salient  
2 results and concentrate my presentation on the  
3 rationale for the collection of this information  
4 and on the mythology -- on the methodology, that  
5 was a very unfortunately mistake, sir -- on the  
6 methodology of the testing process.

7                   Most of the population of the  
8 municipalities of Reynolds and Whitemouth live in  
9 the Whitemouth River watershed, and almost all of  
10 the farmyards are located in this watershed, often  
11 near the rivers. A small area of land and a few  
12 farms are in the Brokenhead watershed that is over  
13 towards the Molson area, and another small area  
14 drains directly into the Winnipeg River, that is  
15 in the Rennie area and just in the east side of  
16 the Rural Municipality of Whitemouth.

17                   We use river water for recreation, for  
18 stock watering, and sometimes, after treatment,  
19 for household uses. Water quality is vitally  
20 important to all of us. We recognize and  
21 understand the widespread concern for the extent  
22 to which Lake Winnipeg is being contaminated by  
23 excessive nutrients, nitrogen and phosphorous, and  
24 recognize that agriculture is sometimes blamed for  
25 contributing to this problem by allowing excess





1 run-off from fertilized fields or for  
2 contamination of rivers with manure.

3                   To discover and report the extent to  
4 which we might be affected by contamination of  
5 water in our rivers, and to learn to what extent  
6 we might be contributing to contamination of  
7 downstream lakes or rivers, the  
8 Whitemouth-Reynolds Soil and Water Conservation  
9 Association decided in 2001 to begin monitoring  
10 water quality in our rivers. We have received  
11 financial and technical assistance in this  
12 undertaking from both municipalities, from  
13 Manitoba Agriculture, Food and Rural Initiatives,  
14 and from the Sustainable Development Fund, from  
15 PFRA and from Manitoba Water Stewardship. All  
16 laboratory tests have been conducted by Enviro  
17 Test Laboratories. Test protocols were  
18 established in consultation with and under the  
19 advice of officers of the Manitoba Water  
20 Management Agency, now known as the Department of  
21 Water Stewardship. Eleven parameters are measured  
22 from each set of samples. We concentrate on total  
23 phosphorous, total caldol nitrogen, faecal  
24 coliform and e. coli. We are advised that these  
25 protocols are in harmony with those used by the



1 province.

2                   During the first year, 2001, sample  
3 sets were collected at four sites on the  
4 Whitemouth River. In the second year a collection  
5 site was established on a tributary known as  
6 Kelner Creek, and a third year an additional site  
7 was established on the Whitemouth. Since that  
8 time samples have been collected at five sites on  
9 the Whitemouth and one on Kelner Creek. I would  
10 mention peripherally, sir, that in the way we have  
11 presented the data in the report which we are  
12 submitting to you, the Kelner Creek appears in the  
13 tabulated forms and in the graphics in the same  
14 sets of tables and graphs as the tests on the  
15 Whitemouth River, but those tests are for Kelner  
16 Creek upstream its confluence with the Whitemouth  
17 and do not reflect water quality in the Whitemouth  
18 River at that point. This is significant because  
19 water, the phosphorous and nitrogen levels, for  
20 example, in the Kelner Creek watershed, which is a  
21 small intermittent stream, tend to be about 50 per  
22 cent higher than the concentration levels in the  
23 Whitemouth at that point. We are measuring it  
24 separately because we are concerned about this  
25 particular one.



1                   Site one, our first site, is located a  
2 few kilometres upstream, that is south of highway  
3 1, south and east of Hadashville. The point was  
4 established to measure the quality of water  
5 draining from the lake, forests and bogs upstream  
6 of virtually all residents and farms. Site two is  
7 located several kilometres downstream on  
8 provincial trunk highway 506 to measure any  
9 changes which might occur as a result of drainage  
10 of the Hadashville, Medika areas. Site three is  
11 located on highway 44, a few kilometres east of  
12 Whitemouth, where we are just at the moment. The  
13 boggy Birch River, which drains more than one  
14 quarter of the watershed, joins the river in this  
15 reach. And the boggy Birch drains more than one  
16 quarter of the watershed, joins in this reach.

17                   And site three was established to  
18 measure any changes which might be attributable to  
19 that source, or to the fairly extensive  
20 agricultural area surrounding Elma. Any changes  
21 in quality attributable to intermittent flow from  
22 the Kelner Creek would also be reflected in  
23 differences between sites two and three.

24                   Site four is located downstream of  
25 Whitemouth in order to measure any changes



1     attributable to this community.

2                     The final site, site five is located  
3     close to the confluence of the Whitemouth and the  
4     Winnipeg River and measures the quality of water  
5     discharged from the watershed.

6                     In 2001 we collected 13 sets of  
7     samples at each of the four locations for a total  
8     of 52 sets. Eleven sets were collected between  
9     mid April and late October, and the other two were  
10    collected in the winter. In 2002, 13 sets were  
11    collected at the same points on the river, and six  
12    sets were collected at Kelner Creek for a total of  
13    58 sets. In 2003, an additional collection point  
14    was established and the frequency of sampling was  
15    reduced. A total of 60 sets were collected; 54  
16    sets were collected in 2004. The frequency of  
17    collection was reduced again in 2005, and 39 sets  
18    of samples were collected. And in 2006, 38 sets  
19    were collected. In total, 301 sets were collected  
20    during the six year period. Results of all of  
21    these tests are appended to the report which we  
22    are submitting to you today.

23                     Our analysis of the data derived from  
24    laboratory tests of the 301 sets of samples has  
25    focused on three parameters, the concentration of





1 total phosphorous, total caldol nitrogen and e.  
2 coli. During the six year period the geometric  
3 level of total phosphorous measured at site one  
4 was .0408 parts per million. This measurement  
5 point is upstream of the agricultural area in the  
6 watershed and upstream of almost all permanent  
7 residences. It reflects the quality of water  
8 draining from Whitemouth Lake and a region of  
9 forest and bog located south of highway 1. The  
10 highest mean level at this point was recorded in  
11 2001, on one of the occasions when we tested, and  
12 it was .049 parts per million. The lowest annual  
13 mean was .0286 in 2005. I mention in this  
14 context, and of course you will realize that the  
15 provincial guideline is .05 parts per million or  
16 below. Now, this is at our upstream point, the  
17 point where the river is flowing from the forests  
18 and the bogs.

19                   The six year mean level of phosphorous  
20 measured at Seven Sisters, this is at the point  
21 where the river is discharging into the Winnipeg  
22 River, was .0394, or slightly lower than the  
23 levels measured at the highest upstream point.  
24 That is .0394 as compared to .0408. I know these  
25 are tedious, they are four decimals, four point



1 decimals, and we have had to go to four point  
2 decimals in order to show the variation from point  
3 to point and from year to year. It is that small,  
4 sir, and we are not exaggerating. This is for our  
5 own use.

6                   A review of the detailed report will  
7 reveal that this contrast represents a consistent  
8 pattern through the six year period. The levels  
9 at both points fluctuated over a narrow range  
10 throughout the period, and the level of  
11 concentration of phosphorous was consistently  
12 lower at Seven Sisters than at the upstream point,  
13 where there is no opportunity for the level to be  
14 influenced by agricultural activity.

15                   Levels at intermediate points varied  
16 slightly from those at the upstream and downstream  
17 measuring stations. The highest six year mean  
18 level was at a point downstream of Hadashville.  
19 At this location, a mean level of .0440 was  
20 recorded. Again, sir, .0440 as compared to .0408,  
21 we are getting down to pretty fine variations  
22 here.

23                   We note that North/South Consultants,  
24 in a report to the Lake Winnipeg consortium,  
25 reports a mean level of phosphorous in the south



1 basin of Lake Winnipeg in 2005 at slightly more  
2 than .16 parts per million, some four times the  
3 level of concentration in water discharged from  
4 the Whitemouth River. The concentration of  
5 nitrogen in the waters of the Whitemouth River, as  
6 measured at site one, the upstream site,  
7 fluctuated around one part per million during the  
8 six year period. The six year mean level was  
9 .9229 parts per million. That is below one part  
10 per million at this point. The comparable level  
11 of nitrogen at Seven Sisters was .8698, or  
12 slightly lower than at the upstream point. A  
13 review of the documents, which we are submitting  
14 today, will show that this pattern is consistent  
15 over the six year period and throughout the  
16 watershed. Levels of concentration vary within a  
17 fairly narrow range from point to point and from  
18 time to time, but remain at levels which we  
19 consider satisfactory.

20                   Departing for just one moment before I  
21 read the last paragraph, departing for just one  
22 moment from my written presentation here, sir, I  
23 would note that the report that we are providing  
24 to you focuses particularly on the years  
25 2005/2006. It is a report prepared for local use



1 within the community, of course.

2                   2005, as noted in an earlier  
3 presentation, was a year of high rainfall. We do  
4 not have a hydrological monitoring station which  
5 allows us to compare river flows from year to year  
6 or from one reach of the river to another.  
7 However, from casual observation from all of us in  
8 the association, we know that '05 was a year of  
9 high water flows. By the same method of  
10 observation, 2006 was a very dry year, and we had,  
11 well, the lowest levels of water in the rivers  
12 that I had seen in 30 years of living on the river  
13 bank.

14                   Now, 2005, the mean levels of  
15 phosphorous and of nitrogen were lower than the  
16 six year mean. 2006, the dry year, the mean  
17 levels were higher for both phosphorous and  
18 nitrogen than the six-year mean, contradictory of  
19 information which has been presented to you here  
20 today, and we make -- we are not here as  
21 advocates, we are simply here to present factual  
22 information for your consideration and use. But  
23 in fact -- and this you will see from the  
24 documents that we have submitted -- in fact, in  
25 periods of high water flow, high precipitation,





1 and believe me we have had some really high years  
2 in those six years, the levels of concentration  
3 are somewhat below, of both phosphorous and  
4 nitrogen, are somewhat below the levels in the  
5 drier years. We offer no explanation for that,  
6 sir, just this is a fact.

7                   The Whitemouth-Reynolds Soil and Water  
8 Conservation Association wishes to express to you,  
9 Mr. Chairman, and to members of your Commission,  
10 our gratitude for this opportunity to present this  
11 information to you. We are submitting for your  
12 consideration our water quality report for 2001 to  
13 2006 period, and we are appending reports of  
14 analysis of the 301 sets of samples collected  
15 during the six year period. Perhaps you have some  
16 questions, sir.

17                   THE CHAIRMAN: Thank you, Mr. Young.

18                   MR. YEE: Yes, Mr. Young, you  
19 mentioned that your analytical methodology, and I  
20 would imagine your collection methodology, you had  
21 some discussions with Manitoba Water Stewardship  
22 on. Does this also include where you established  
23 your sampling sites?

24                   MR. YOUNG: Yes, it did, sir. And we  
25 had a very thorough discussion of this, because



1 this is very important to us. Now, obviously  
2 there are a couple of things that are obvious.  
3 One, we want to know what it is at the point of  
4 discharge, and the upstream site, well, we were  
5 measuring after all for these municipalities, and  
6 we went towards the southern boundary of Reynolds,  
7 which is a large municipality. We also went south  
8 of the place where there are -- there are  
9 virtually no houses, residences, and there is  
10 almost no agriculture upstream of our first point.  
11 The exception to that is there is a small area  
12 which drains into Whitemouth Lake, which is the  
13 origin of the Whitemouth River, that has a little  
14 bit of I think forage land. I have never seen it,  
15 sir, but there is a little bit there. So, those  
16 gave us upstream and downstream, and then we set  
17 another point at 506 because that would tell us  
18 what was happening in the Hadashville Medika area.  
19 And remember that we are doing this knowing  
20 nothing about what results we are going to get as  
21 the results start to come in. This is before we  
22 began.

23                   We then came downstream to highway 44.  
24 There is an obvious location, there is an old  
25 hydrological monitoring station there, and that



1 would take into account the flow from the Birch  
2 River and from the Kelner Creek, which we hadn't  
3 become suspicious of at that point, and also  
4 include the Medika area, and then finally the  
5 downstream one.

6                   Now, after one year, we had a couple  
7 of people approaching us saying, well, you should  
8 be monitoring Kelner Creek, and we have been doing  
9 so at five years and we haven't arrived at any  
10 fine, firm conclusions about that yet. And it was  
11 also suggested that maybe there might be bacterial  
12 contamination, which is one of our major concerns,  
13 coming from Whitemouth, because of a lagoon here  
14 and so on. And we established an additional  
15 station then in the third year of testing  
16 downstream from Whitemouth. By the way, we  
17 haven't found anything to cause us to believe that  
18 that was really necessary. However, we continue  
19 with those stations.

20                   Now, the decisions as to where they  
21 would be located were a combination of local  
22 knowledge, common sense, and of course the  
23 technical advice of, and I will name specifically  
24 Miss Wendy Raleigh from the water agency, which  
25 changed its name three times during the six years



1 I believe.

2 MR. YEE: Thank you. Just one other  
3 question, Mr. Young. You mentioned that you did  
4 change your sampling frequency. I would also ask,  
5 unfortunately because I don't have your report,  
6 were the sample events occurring each of the  
7 successive years taken at certain times of the  
8 year, i.e., in the springtime, in the fall, that  
9 kind of thing?

10 MR. YOUNG: Yes, sir. There are  
11 really two questions there. I would like to  
12 answer your question in two parts. First of all,  
13 we established the frequency at the beginning  
14 because we didn't have any idea what we would  
15 find. Money is always a problem for us. And so  
16 as time went on, we discovered that we weren't  
17 finding much fluctuation over time, and so we  
18 reduced from 13 tests the first two years, to 11  
19 tests, to 7 tests. I think I'm right about the  
20 11. If anything I just said about the number of  
21 tests is contradictory of what we have submitted,  
22 then what we have submitted is correct. I'm going  
23 from memory here.

24 So the first thing was the frequency  
25 of the tests. The timing we set at the beginning





1 of the year, and originally we were testing  
2 intervals of about two and a half weeks, and now  
3 we are testing more at four weeks. We did do  
4 tests through the ice in the winter time. They  
5 weren't producing anything that we could interpret  
6 usefully, and we have abandoned those in favour of  
7 summer open water period testing, particularly in  
8 the light of, you know, argument concerning  
9 run-off from farmlands and whether or not there is  
10 a big flush in the spring and so on. By the way,  
11 we haven't found any such pattern, as you will see  
12 from the figures. The numbers fluctuate within  
13 narrow ranges. They go up and down for reasons  
14 that we can't understand, but they go up and down  
15 so very little. Like when I say it is around .04  
16 parts per million and we go to four decimal points  
17 in order to try to track that, we are finding  
18 that, I think on one occasion we found one that  
19 was up about .06, and one that was about .025, but  
20 they are always between 3 and 5. Very narrow.

21 MR. YEE: Thank you.

22 MR. MOTHERAL: Thank you, Mr.  
23 Chairman. Mr. Young, are there -- do you have  
24 many intensive livestock operations in your soil  
25 association area?



1                   MR. YOUNG: Well, sir, first of all,  
2 I'm not a farmer. And secondly, we had not done a  
3 particular assessment of the farms in the area.  
4 And finally, I'm never quite sure what intensive  
5 livestock operation -- sometimes that has  
6 definitive meanings. In our report we have from  
7 the Department of Agriculture obtained the  
8 agricultural census data for the most recent one  
9 available, which is, unfortunately, at the time  
10 this was prepared was 2001. And the cattle and  
11 calves totaled 5,924 at that time, in the two  
12 municipalities. Hogs were just under 30,000.  
13 There were a few sheep and there are about 350,000  
14 chickens and hens. Now, I have been informed by  
15 farmers, and this is just informally and casually,  
16 that the number of farms has probably declined a  
17 little, and that the populations of livestock is  
18 probably about the same or maybe up a little. And  
19 this is just, again, we are waiting for the  
20 current agriculture census. Now, I don't know how  
21 fully that answers your question.

22                   MR. MOTHERAL: No, it is fine. You  
23 lead to my next question too. I was going to ask,  
24 has there been any expansion of hog operations  
25 during your six year study?



1                   MR. YOUNG: Certainly, I know from  
2 personal knowledge that some hog operations have  
3 been expanded, I think some have been abandoned.  
4 They are others that are more competent to speak  
5 to you on that issue, sir, than I.

6                   MR. MOTHERAL: Will there be some of  
7 that information in our forthcoming -- in your  
8 presentation? Will it be more in the written  
9 report?

10                  MR. YOUNG: No, sir, we are reporting  
11 to you on water quality. And as to the actual  
12 numbers of farms and so on, we don't have that  
13 information.

14                  MR. MOTHERAL: You are answering my  
15 question. Thank you.

16                  MR. YOUNG: We don't have that  
17 information, that has not been part of our --

18                  THE CHAIRMAN: Thank you very much,  
19 Mr. Young. We look forward to reviewing your  
20 report.

21                  Victor Wohlgeomuth, please state your  
22 name for the record?

23                  MR. WOHLGEMUTH: My name is Victor  
24 Wohlegmuth.

25



1 VICTOR WOHLGEMUTH, having first been duly sworn,  
2 presented as follows:

3 MR. WOHLGEMUTH: As I already said, my  
4 name is Victor Wohlgemuth. I farm in the RM of  
5 Reynolds. I would like to take a moment and thank  
6 the board of the Clean Environment Commission for  
7 listening to what the farmers in Southeastern  
8 Manitoba are doing to clean up the environment. I  
9 would like to thank Dave Young for his  
10 presentation and for the hard work he has been  
11 doing in gathering all of the data. I'm here on  
12 behalf of myself and the farmers in my area.

13 I am here to tell you how us farmers  
14 are doing our best to have a clean environment on  
15 our farms. Most farms have taken environmental  
16 farm plan workshops and have identified the risks  
17 on their farms. There used to be a lot of small  
18 farms along the river, with livestock roaming on  
19 the river banks and manure from those farms was  
20 spread in an area not far from the barns. Today  
21 those farms are almost all gone. The families  
22 have moved to the cities for better jobs, and now  
23 we have people moving back to the rural areas  
24 complaining about animal waste and the smell of  
25 our livestock. And some of those people are





1 pleased with the way we manage our livestock. Our  
2 manure is not waste, it is fertilizer for our  
3 crops. Some of those same people have told us how  
4 the river water used to smell when there were  
5 farms in the old days. We know today our rivers  
6 and streams that flow into the Whitemouth River  
7 are clean, and we have the data to prove it.

8 I'm a farmer and I do not want our  
9 river being polluted by our waste nor anybody  
10 else's, for we and our children fish, swim, canoe  
11 and play in our rivers. May I add here too that  
12 there are people from Winnipeg that come and fish  
13 in the river too and there is many fish in there.

14 Many people get their water from the  
15 Whitemouth River. When it comes to manure and  
16 odour issues, we as farmers don't like the smell  
17 and if we could raise pigs with no smell, we  
18 would.

19 Some hog producers cover their lagoons  
20 with straw covers to reduce odours. This costs  
21 money and creates problems when pumping the  
22 lagoon, but is done to be a better neighbour.  
23 When it comes to manure, the farmers within 300  
24 animal units are required to complete manure  
25 management plans, but many smaller producers are



1 following the guidelines anyway.

2           In the past, manure was just spread on  
3 the surface, and now most manure is injected into  
4 the soil. This helps reduce odours and conserves  
5 nitrogen and reduces run-off of nutrients. Myself  
6 and other farmers in my area have hired  
7 consultants such as AgriTrend to develop a  
8 nutrient management program. This includes  
9 testing manure and soil testing. And may I add  
10 here, we don't just do one test per field, it is  
11 many tests per field. The results are used to  
12 determine the amount of nutrients in manure to  
13 know if any commercial fertilizer is needed to  
14 grow crop. And may I add here too that at least  
15 for myself, I have started putting fertilizer on  
16 at different times in the growing season when  
17 plants can use it most, so we do the best that we  
18 can for the environment to have as little leaching  
19 into the soil as possible.

20           If it is a wet year, there is not need  
21 to put extra fertilizer on if it is just going to  
22 leach away. With the price of fertilizer, farmers  
23 do not want to have to purchase any more than they  
24 have to. With nitrogen and phosphorous priced at  
25 over \$500 per ton, it will not be overapplied in



1 our area. Most of our land in our area is  
2 deficient in phosphorous.

3 Rural depopulation is an issue. The  
4 hog industry is important in the area for  
5 producers to have their children stay in the area.  
6 The hog and cattle farms in the area are family  
7 farms. The margins in the hog industry are very  
8 tight, and it is important to have the possibility  
9 to expand to make a living.

10 We have seen what is happening in the  
11 cattle business. The margins are tight, the  
12 farmers are diehards, they just don't give up, but  
13 when we have to work with mother nature, markets  
14 that get slammed shut because of BSE, rising  
15 inputs, a government that stops all hog expansion  
16 overnight, some farmers are just giving up.

17 What will be required of farmers in  
18 the future? Manitoba hog farmers are the most  
19 regulated. We as farmers are doing our best for  
20 the environment and something has to change so we  
21 do not lose any more farms. Statistics Canada  
22 reports that Manitoba has lost 750 beef farmers in  
23 the last two years. We cannot be like Winnipeg  
24 and dump our manure straight into the river when  
25 we have had too much rain to empty our lagoons.



1 May I add here, I wish I had a little input with  
2 what Winnipeg was doing with their manure.

3 Farmers in Manitoba are being unfairly  
4 targeted for the phosphorous amount that hog  
5 farmers are contributing to Lake Winnipeg,  
6 something that they have had a very small impact  
7 on.

8 In conclusion, your honour, when the  
9 Clean Environment Commission makes its ruling,  
10 remember Dave Young has supplied all of the data  
11 for the last six years on the Whitemouth River,  
12 and we know the river is clean and we are doing a  
13 good job in keeping our river clean. If there is  
14 going to be any credits, our area should be  
15 getting extra credits for diluting the amount of  
16 phosphorous in Lake Winnipeg. If the rules are  
17 too stringent, we will see a large exit from the  
18 farms that still exist, and then we will see more  
19 corporate farms with larger amounts of manure  
20 stored in one location and the risk of a larger  
21 spill. Rural depopulation is an issue and the hog  
22 industry is important in the area for producers to  
23 have their children stay in the area, and hog and  
24 cattle farms in the area are family farms. We do  
25 not want to see farmers moving to the city for





1 jobs and to see our children's schools and towns  
2 disappearing.

3 Thank you for taking the time to  
4 listen to the farmers who work in the industry on  
5 a daily basis. Farmers care about the environment  
6 and we want our children to have a clean  
7 environment with clean water.

8 And may I add too, we saw on that  
9 slide that truck was supposedly spreading manure  
10 on the road, I didn't know that the RM spread  
11 manure when they were actually putting on calcium.

12 MS. PIP: That was a Hutterite Colony.

13 MR. WOHLGEMUTH: I stand to be  
14 corrected.

15 THE CHAIRMAN: Thank you,  
16 Mr. Wohlgemuth. What type of farm operation do  
17 you have?

18 MR. WOHLGEMUTH: I have cattle, grains  
19 and hogs.

20 THE CHAIRMAN: How many cattle and how  
21 many hog?

22 MR. WOHLGEMUTH: 130 cows and I have  
23 2500 hogs.

24 THE CHAIRMAN: The hogs, are they  
25 feeders or --



1 MR. WOHLGEMUTH: They are isoweans.

2 THE CHAIRMAN: Isoweans, and how much  
3 land?

4 MR. WOHLGEMUTH: I farm approximately  
5 1400 acres.

6 THE CHAIRMAN: So you have enough of  
7 your own land for spreading the manure?

8 MR. WOHLGEMUTH: That's right. And  
9 most of the farmers in the area, if not all, have  
10 plenty of land.

11 THE CHAIRMAN: Thank you. Gentlemen?

12 MR. YEE: Yes, Mr. Wohlgemuth, you  
13 mentioned that your soil characteristics are low  
14 in phosphate. But does the changes or amendments  
15 to the phosphate regulation have significant  
16 impacts to your operation?

17 MR. WOHLGEMUTH: Not for me. For one  
18 thing, I grow lots of alfalfa so that can pull a  
19 lot of phosphate out of the soil. But we spread,  
20 our manure is spread maybe once every three years  
21 on the same land. I mean, that is really strict  
22 guidelines.

23 MR. YEE: Again, just on that same  
24 thing, you mentioned in your presentation that you  
25 are concerned about the amount of regulations. Do



1 you foresee impacts on your particular operation  
2 should there be additional regulatory requirements  
3 in the future?

4 MR. WOHLGEMUTH: Well, if there is too  
5 much, I mean, especially smaller farmers, you just  
6 can't -- they don't have the margin to work with  
7 to have to incur a bunch of large expenses.

8 MR. YEE: Thank you.

9 MR. MOTHERAL: No, I really don't have  
10 anything. I think it has been covered. Except I  
11 wasn't going to call you by your last name, I was  
12 going to say Victor, it is easier.

13 MR. WOHLGEMUTH: That is no problem.  
14 It is not the first time.

15 MS. PIP: Mr. Chairman, if the  
16 Commission wishes to review that slide, on the  
17 door of that truck it says Grand Valley Farms.

18 THE CHAIRMAN: Okay. We thank you for  
19 that.

20 MS. JOHNSON: Mr. Chairman, can we  
21 take a break? We have got tired fingers here.

22 THE CHAIRMAN: Okay. We will take our  
23 break now and reconvene in 15 minutes.

24 (PROCEEDINGS RECESSED AT 3:15

25 AND RECONVENED AT 3:30 P.M.)



1                   THE CHAIRMAN: Could I ask you to take  
2 your seats, please? We have four more people who  
3 have indicated that they wish to speak this  
4 afternoon. First is Carol Clegg.

5                   MS. CLEGG: Good afternoon, Mr.  
6 Chairman, members of the review panel, ladies and  
7 gentlemen. My name is Carol Clegg and I'm a  
8 resident of the Rural Municipality of Lac du  
9 Bonnet.

10 CAROL CLEGG, having first been sworn, presented as  
11 follows:

12                   THE CHAIRMAN: Please proceed.

13                   MS. CLEGG: This is not an  
14 intellectual treatise. It is an appeal from the  
15 heart with the hope that someone will listen to  
16 the people of rural Manitoba whose communities  
17 cannot sustain a further onslaught of intensive  
18 hog operations, in future referred to as ILOs.

19                   I grew up on a farm in southern  
20 Manitoba. I understand the farmer's connection to  
21 the land.

22                   In July 1988, a hog sewage lagoon  
23 situated on the Whitemouth River broke open during  
24 a rain storm, spewing its contents into the river  
25 and killing all of the fish along a six mile





1 stretch to the confluence of the Whitemouth and  
2 the Winnipeg. Several residents drawing drinking  
3 water from the river fell ill. With no objections  
4 from either the Rural Municipality or the  
5 Department of Environment, a new and larger lagoon  
6 was constructed on the same location.  
7 Subsequently, the lagoon was emptied by means of a  
8 walking gun with sewage sprayed on a small field  
9 alongside the river and adjacent to our acreage.

10                   When we formed a citizen's action  
11 group, we began receiving calls from desperate  
12 people across the province. All were concerned  
13 about contamination of ground and surface water by  
14 a rapidly expanding hog industry. Most lived near  
15 malodorous barns and lagoons, imprisoned in their  
16 houses in the summer, and unable to move because  
17 their property was worthless. That is when I  
18 realized that intensive hog operations had nothing  
19 to do with farming. The idea of a confined animal  
20 operation could have never originated with a  
21 farmer. Farmers practice animal husbandry, which  
22 is quite a different concept.

23                   At some time in our recent history,  
24 provincial politicians and bureaucrats became  
25 convinced that pork would be the engine to drive



1 the Manitoba economy forward.

2                   The Pork Council was established with  
3 public funding to accomplish that end. The  
4 Agriculture, Conservation and Municipal Affairs  
5 departments went into action to implement the  
6 agenda. The first step was to eliminate single  
7 desk selling of pigs. All of the stops were  
8 pulled to locate Maple Leaf Processors in Brandon,  
9 in spite of grave concerns for the Assiniboine  
10 River. Rural municipalities with no planning  
11 bylaws were targeted as locations for barns.  
12 Rural councils were wooed with promises of jobs  
13 and tax revenue. Soon barns were clustered along  
14 Manitoba's rivers and lakes, or where aquifers  
15 could supply copious quantities of water the  
16 slurry system of manure handling required.

17                   The stench from barns and lagoons in  
18 hot summer evenings, persistent odour from manure  
19 saturated fields thawing in spring, dead pigs  
20 floating down rivers, piles of decomposing  
21 mortalities in the fields, spills, leaks, and  
22 hordes of flies swiftly convinced rural Manitobans  
23 that intensive hog operations were not quite as  
24 neighborly as the guy with the few pigs rooting in  
25 the pasture.



1                   When they banded together to try and  
2 arrest the blight on their landscape, the province  
3 counter attacked. The Farm Practices Protection  
4 Act gave agriculture operations virtual immunity  
5 from court injunctions and denied the neighbors  
6 their civil rights to sue hog factories for  
7 persistent and noxious odour. Technical review  
8 committees, appointed by the province, sat in  
9 urban offices writing reports based on information  
10 supplied by the proponent. Their reluctance to  
11 venture out in the field to determine the lay of  
12 the land sometimes left rural folks laughing. In  
13 the technical review of a recently approved hog  
14 operation in Lac du Bonnet, sizeable acreage of  
15 spread lands was listed as tree covered.

16                   When rural councils began to use  
17 municipal planning to control ILO expansion, they  
18 were badgered by provincial land use planners to  
19 agree to minimal setbacks from the Farm Practices  
20 Guidelines.

21                   When some councils mentioned ILO  
22 bylaws, the government rewrote the Planning Act.  
23 This eviscerated the conditional use process and  
24 removed all control of manure management from  
25 local government.



1                   In 2000, I appeared before the  
2 Livestock Stewardship Review Panel, calling for an  
3 immediate ban on liquid manure storage lagoons and  
4 a moratorium on ILO expansion. In the interim,  
5 the panel reported, and with only a few cosmetic  
6 changes, the hog industry grew apace. But the  
7 ruthless chase for the pork dollar resulted in a  
8 fatal mistake.

9                   Olymel and its partners were invited  
10 to locate a processing plant in the City of  
11 Winnipeg. All hell broke loose. Trucks hauling  
12 pigs make noise. Pigs stink. They also scream on  
13 their way to slaughter. This would be altogether  
14 too unpleasant for delicate city folks. City and  
15 province saw votes slipping away daily as the  
16 OlyWest imbroglio continued. Something had to be  
17 done. A moratorium was imposed, but not before a  
18 number of hog barn applications on the books were  
19 hastily approved.

20                   How much further will our government  
21 sponsored pork industry go to ensure that  
22 expansion proceeds? An article, Friday, April 6,  
23 2007 in the Morden Times states: On March 5th,  
24 the Commission, Clean Environment Commission,  
25 began an eight week series of 17 public hearings





1 scheduled for 14 communities. Meanwhile, in an  
2 effort to get more information out to the general  
3 public about the industry, Manitoba Pork Council  
4 has launched a multi-media education campaign  
5 which will run until May. The multi-pronged  
6 approach includes television commercials, radio  
7 spots and inserts into the newspapers.

8                   This four page piggy spread, "Straight  
9 Talk On Pork," Winnipeg Free Press, March 4, '07  
10 is the coup de grace. Methinks they do protest  
11 too much. Since this feature, costing  
12 approximately \$75,000, was at least partially paid  
13 for by my tax dollar, I feel I have the right to  
14 offer my perspective on it. I will comment  
15 section by section.

16                   The water we drink: The liquid manure  
17 system used in most ILOs is a colossal waste of  
18 water. Staggering amounts of clean water are  
19 drawn from ground and surface sources to service  
20 the industry. Once the water is run through the  
21 hog or used to wash manure from the barn, it is no  
22 longer available for human use. Untreated slurry  
23 containing pathogens, growth hormones,  
24 antibiotics, chemical disinfectants and excessive  
25 amounts of nitrogen and phosphorous overspread on



1 inappropriate lands pretty well assures that some  
2 of it ends up in our waterways.

3                   The RM of Whitemouth, Seven Sisters  
4 Falls, and RM of Lac du Bonnet are just a few of  
5 our rural communities with boil water orders.  
6 Lake Winnipeg is dying. We depend on our rivers  
7 and wells for drinking water. City residents are  
8 guaranteed clean water. To us it seems as though  
9 industrial agriculture is guaranteed the right to  
10 pollute our water. When the Conservation  
11 Department endorses open pit hog sewage lagoons,  
12 how can we believe the water strategy is serious?

13                   The air we breathe: I invite you to  
14 spend a summer evening outdoors anywhere within  
15 five miles of a hog lagoon and you will understand  
16 why I'm here. Odour is the number one complaint  
17 about the hog industry. Emission from barns and  
18 lagoons is a well known health hazard. Citing  
19 health concerns in 2002, the Canadian Medical  
20 Association called for a moratorium on factory hog  
21 farms. When the nearby hog operation expanded, I  
22 voiced my concerns, and was intimidated and  
23 threatened. Eventually, I was forced to give away  
24 my comfortable home and move out of the area.

25                   The economy that we create and the



1 jobs we need: Is this the type of economy  
2 Manitoba needs to become a "have province?" Would  
3 you want your sons and daughters to spend their  
4 entire lives working on the killing floor, or as  
5 technicians in a stinking confined animal  
6 operation? I think you should find out who takes  
7 the wretched jobs in the Brandon plant. I would  
8 classify them as exploitation of labour rather  
9 than highly desirable jobs. Surely Manitobans are  
10 resourceful enough to do better for ourselves.

11           The food we eat: I heard an  
12 announcement recently that Wal-Mart plans to go  
13 organic. I notice that all of the big grocery  
14 chains are expanding their organic sections. This  
15 tells me that consumers are becoming more  
16 discriminating in their food choices. The time is  
17 rapidly approaching when they will refuse to eat  
18 pork laden with antibiotics and growth hormones  
19 and produced in inhumane conditions. Why would a  
20 province, which purports to value its food  
21 industry, voluntarily lag behind prevailing  
22 consumer opinion? With rising energy costs and  
23 increasing concern for food safety and security,  
24 thinking people are turning back to local and  
25 smaller food suppliers. Small farmers are coming



1 back into the picture.

2                   Laura Rance, the associate editor of  
3 the Farmer's Independent Weekly, in an analysis of  
4 the Canadian pork industry concludes,

5                   "Why, when big isn't working, is the  
6                   only solution to prop up the system so  
7                   it can keep getting bigger?"

8 Winnipeg Free Press, October 7, '06.

9                   If an industry really is sustainable,  
10 it should not require so many adjustments to make  
11 it fit into the landscape. Its footprint on the  
12 land should be barely discernible. Unfortunately,  
13 Manitoba is not the only place where factory hog  
14 barns have left big tracks. Let me refer to North  
15 Carolina because the situations are parallel.

16                   North Carolina is a coastal plain with  
17 streams emptying eastward into a large estuary.  
18 Manitoba is a flood plain with waterways and  
19 wetlands draining into Lakes Winnipeg, Manitoba  
20 and Winnipegosis. In the last decade swine  
21 production soared to over 10 million in North  
22 Carolina and over 8 million in Manitoba. In North  
23 Carolina nutrient overload from the swine industry  
24 contaminated ground and surface water causing  
25 major eutrophication and species kill in the





1 estuary. We are all here because Lake Winnipeg is  
2 covered with algae.

3                   The North Carolina House Committee on  
4 Agriculture recently approved a three year  
5 extension to its ten year moratorium on new barns  
6 and lagoons. Manitoba too declared a moratorium  
7 on expansion. What will happen next?

8                   Will this government go down in  
9 history as the one that abandoned Manitoba's  
10 waterways and rural communities to the ravages of  
11 the corporate hog industry, or will it learn from  
12 sad experience in other jurisdictions and use this  
13 moratorium to begin the long process of restoring  
14 agriculture to the sustainable activity it once  
15 was.

16                   As an already cynical rural Manitoban,  
17 I fear the moratorium is only a brief interlude  
18 while the government concentrates on an election.  
19 I suspect that it will be swiftly repealed, Hytec  
20 will be refinanced with public money, and the  
21 processing plant will be built outside the City of  
22 Winnipeg. I will be delighted if you prove me  
23 wrong.

24                   THE CHAIRMAN: Thank you, Ms. Clegg.

25                   MR. MOTHERAL: I just have one



1 question, Ms. Clegg. When you said small farmers  
2 are coming back into the picture, do you have any  
3 stats on that at all?

4 MS. CLEGG: I don't have statistics,  
5 but I know people who are now buying their meat  
6 from small farmers because of the BSE crisis. And  
7 I do know that the younger generation of consumers  
8 are going to the organic stores, in the city I see  
9 this. I see more people going to farmer's markets  
10 to buy their vegetables.

11 There are even experts, if you take  
12 John Aiker from the University of Missouri, he is  
13 now talking that farming is going to have to turn  
14 around and go back to smaller. I know that with  
15 rising costs of simply shipping food long  
16 distances, it doesn't make sense, you know, to  
17 keep bringing food from far away places. People  
18 are going to have to go back to buying local.

19 THE CHAIRMAN: Edwin?

20 MR. YEE: Just a point of  
21 clarification, Ms. Clegg. I think I understand  
22 what you say in terms of the amendments to the  
23 Planning Act, because you mentioned it eviscerated  
24 the conditional use process and removed all  
25 control of manure management. The removal of



1 manure management I understand, but I wasn't sure  
2 I understand what you mean by eviscerating the  
3 conditional use process?

4 MS. CLEGG: At conditional hearings in  
5 the rural municipality, if you can't talk about  
6 manure, which is the crux of the whole matter,  
7 then the process is a sham.

8 MR. YEE: Thank you.

9 THE CHAIRMAN: You also said with  
10 respect to the insert in the Free Press, that it  
11 was paid in part by taxpayer's dollars?

12 MS. CLEGG: Yes, I understand that the  
13 Pork Council receives public money.

14 THE CHAIRMAN: I'm not certain of that  
15 so I can't comment on that. Thank you very much,  
16 Ms. Clegg, for coming out this afternoon.

17 MS. CLEGG: Thank you.

18 THE CHAIRMAN: Rick Vaags. Will you  
19 please state your name for the record?

20 MR. VAAGS: I am Rick Vaags.

21 RICK VAAGS, having been sworn, presented as  
22 follows:

23 MR. VAAGS: My name is Rick Vaags. I  
24 guess had I known about the telephone interview  
25 portion, I might have gone that route instead of



1 this, but here I am.

2 My name is Rick Vaags and my father  
3 Bill Vaags and myself are from the Dugald area.  
4 For 45 years we have been involved in both grain  
5 and hog production. I would like to talk about  
6 the history of our farm in relation to the topics  
7 of this hearing.

8 When my dad started out in the '60's,  
9 we had 480 acres and 200 pigs. The scale of  
10 economics have dictated to expand by purchasing  
11 land and local barns when they became available.  
12 Today our farm has expanded to 1200 sows, farrow  
13 to 50 pounds, and farm just under 4000 acres. We  
14 employ five full time staff members outside of the  
15 family. We are considered a small producer for  
16 feeder pig sales, and consequently our available  
17 pigs per week are not as attractive to a buyer as  
18 the larger groups would be.

19 We have gone from 1500 gallon tank  
20 broadcasting manure for three weeks from one barn  
21 to presently hiring custom applicators and  
22 injecting the entire operation's annual manure  
23 volume, over 400 acres, in three days. This  
24 transformation has taken us from 1500 to 4000  
25 gallon tankers, to big gun sprinklers, to building





1 our own injector, and finally to hiring custom  
2 applicators. We use crops that can utilize manure  
3 nutrients effectively, so manure injections are  
4 followed by canola, corn or winter wheat. Other  
5 crops used to go deeper in later rotations are  
6 sunflowers and alfalfa.

7                   Manure management plans have been  
8 recorded since becoming mandatory to both the  
9 municipality and as well as the Conservation  
10 Department. Annual water sampling was done with  
11 the feed company long before it became compulsory  
12 by the province, and have not noticed any changes  
13 in the reports from previous years.

14                   If I look back over the last 30 years,  
15 what we did for manure application was similar to  
16 the small farms we took over. We do soil testing  
17 on every field, every year, and we know what  
18 livestock farms used to do was spread manure as  
19 close to the yard as possible. Over time this has  
20 evolved to be much more of an awareness of the  
21 balance of the nutrients from manure and the crop  
22 removal rate. The quality of our soil has  
23 improved as our best crops are always on manure  
24 injected land. We have 2100 acres within pumping  
25 distance of our farm and want to bring all of



1 those acres into the manure management area.

2                   Odour from our operation I believe has  
3 decreased over the years as application and  
4 agitation times have been drastically reduced. I  
5 am convinced that most hog farms, as ours, have  
6 been educated and evolved over the years and are  
7 concerned about being good stewards of the land  
8 and water. We live within 400 feet of the barns  
9 and drink the same well water. I want to leave  
10 this soil and water in as good a condition, should  
11 one of my four sons or anyone else taking over  
12 this farm after me.

13                   As attitudes change towards manure  
14 storage, I would hope that the government will  
15 assist in the cost of improvements to a greater  
16 extent than currently for existing operations.  
17 Through the environmental farm plan there is  
18 provision for 30 per cent funding, as well as the  
19 Conservation Department adding \$5,000. In  
20 neighboring provinces I understand the amount of  
21 funding to be closer to 90 percent.

22                   I'm very concerned about the direction  
23 the province has taken their so-called pause in  
24 the hog industry. I don't hear of a pause in any  
25 other phosphorous producing sector, whether it be



1 agricultural, residential or recreational. Why  
2 should the most proactive agriculture sector be  
3 continually scrutinized while others are not even  
4 on the radar. As a U of M soil scientist wrote in  
5 a recent letter to the editor, "the phosphorous  
6 issues has been contributed to by a lot of areas,  
7 let's stop pointing fingers and work together to  
8 resolve the issues." Thank you.

9 THE CHAIRMAN: Thank you, Mr. Vaags.  
10 The 90 per cent, could you elaborate a bit on  
11 that?

12 MR. VAAGS: From talking to some of  
13 the environmental farm planning people, they tell  
14 me that Ontario is up to 90 per cent funding for  
15 covering of lagoons or something of that nature.

16 THE CHAIRMAN: For covering lagoons?

17 MR. VAAGS: For manure storage  
18 improvements, what they deem to be an improvement,  
19 it could be a lagoon cover, I'm not sure what, but  
20 that was given to me by the environmental farm  
21 planning people.

22 THE CHAIRMAN: What would a typical  
23 lagoon cover cost?

24 MR. VAAGS: It is about a buck ten a  
25 square foot.



1                   THE CHAIRMAN: Okay. How many square  
2 feet?

3                   MR. VAAGS: An acre is 43,000 square  
4 feet, so if a lagoon is a couple of acres, you are  
5 looking at \$80,000 to \$100,000 for the cost of the  
6 lagoon.

7                   THE CHAIRMAN: Okay.

8                   MR. YEE: Mr. Vaags, I don't want to  
9 put you on the spot or anything, but you mentioned  
10 in your presentation the scale of economics is  
11 dictated to expanding by purchasing land and local  
12 barns. Can you just explain that in terms of, is  
13 it because of the margins involved in livestock  
14 operations today?

15                   MR. VAAGS: Yes, it is definitely the  
16 margins. As I went on further to mention there  
17 that an operation of our size selling 50-pound  
18 feeder pigs is just on the edge of where they find  
19 it attractive to -- a lot of these farms would  
20 rather have 2000 feeder pigs to fill a barn, it is  
21 all in, all out process, and we are just on the  
22 edge of being viable. I'm looking down the road  
23 saying, I am not sure if that will be viable in 10  
24 years. There is a \$2 to \$4 premium right now if  
25 you have a group of 500 per week or 200 per week.





1                   MR. YEE: And I guess an associated  
2 question I would have then is, if there would be  
3 additional regulatory requirements, this would  
4 obviously be a financial burden, given your  
5 operation?

6                   MR. VAAGS: It is definitely a burden  
7 to anybody, yes.

8                   MR. YEE: Thank you.

9                   MR. MOTHERAL: Yes, thank you,  
10 Mr. Chairman.

11                   Mr. Vaags, in your operation, what  
12 would be the cost of your custom application? You  
13 say you have custom applicators come and inject  
14 your --

15                   MR. VAAGS: We would probably pay them  
16 somewhere between \$25,000 to \$35,000 a year,  
17 depending on how many gallons. The custom  
18 application rate is probably in the range of .07,  
19 like three quarters of a cent to maybe 1.  
20 something, 1.2, if you start doing it with  
21 tankers. All of our manure is done through  
22 pipeline so there is no impact on the roadway. So  
23 that is a little bit cheaper than if you start  
24 using tankers to haul manure.

25                   MR. MOTHERAL: We heard over our



1 travels in the province there is getting to be  
2 quite a few operations are moving towards custom  
3 application. Do you feel as though custom  
4 application, do you do it because of cost, do you  
5 do because of environment, you think they are more  
6 environmentally friendly?

7 MR. VAAGS: We did all of our manure  
8 application for many years, as I mentioned in my  
9 speech here, and I would like to do it myself but  
10 the cost is so prohibitive. When these people  
11 come into your property, they are coming in with  
12 probably half to three quarters of a million  
13 dollars worth of equipment. So that puts it out  
14 of the range of average producers. Plus they come  
15 in, and like I say, within three days they can do  
16 an annual amount of manure on the land. So to me  
17 it is a lot more environmentally friendly and a  
18 lot more neighborly to have that amount of odour  
19 reduced then, to spread it. If I did it myself,  
20 then it would take longer, plus you are involved  
21 with harvesting or, you know, there is other  
22 things on the farm, so you wouldn't be putting in  
23 the long days that these guys do. And also as the  
24 farms go to high health, there is a biosecurity  
25 standpoint, you don't want to have workers going



1 in the barn and out of the barn to take care of  
2 that job, so we decided to farm that out.

3 MR. MOTHERAL: One more question, do  
4 you do your own soil sampling or does that  
5 particular operation do the soil sampling also?

6 MR. VAAGS: No, we farm that out to  
7 another independent body.

8 MR. MOTHERAL: Okay.

9 THE CHAIRMAN: When you say 25 to  
10 35,000, is that for three days of work?

11 MR. VAAGS: Yes.

12 THE CHAIRMAN: It sounds like a good  
13 business.

14 MR. VAAGS: Yes.

15 THE CHAIRMAN: So you say that your  
16 operation at 1200 sows is borderline?

17 MR. VAAGS: Yes, for what we are doing  
18 it is borderline. For, like I say, if you can't  
19 put together 500 feeder pigs -- it is all about  
20 single source, they don't want to commingle pigs,  
21 so it is about single source. So if we can't  
22 produce more -- a semi-load is about 500 pigs per  
23 week of 50 pounders, small animals. And that is  
24 kind of just -- like I alluded to earlier, I mean,  
25 there is a \$2 to \$4 premium if you have bigger



1 groups.

2 THE CHAIRMAN: Can you expand?

3 MR. VAAGS: That would be a challenge.

4 THE CHAIRMAN: Because of the costs or  
5 just the work?

6 MR. VAAGS: Well, like I mentioned  
7 here, we have 4000 acres, I have 2100 acres within  
8 pipeline reach. We have clay soils. We have  
9 everything in our favour there. The municipality  
10 is not very friendly to expanding livestock, so I  
11 would say even though in my mind we have  
12 everything necessary to expand, it would be quite  
13 a challenge to expand.

14 THE CHAIRMAN: It would be largely the  
15 municipality that would be the roadblock in that  
16 regard?

17 MR. VAAGS: Definitely.

18 THE CHAIRMAN: Okay. I don't have any  
19 further questions. Thank you very much,  
20 Mr. Vaags.

21 John Steendam. Please state your name  
22 for the record?

23 MR. STEENDAM: John Steendam.

24 John Steendam, having been sworn, presented as  
25 follows:





1                   MR. STEENDAM: Thank you for providing  
2 me the opportunity to address the Clean  
3 Environment Commission. My name is John Steendam,  
4 and I'm the owner/manager of Springfield  
5 Fertilizer in Dugald, Manitoba.

6                   While this Commission is specifically  
7 focused on the hog sector, I am here today because  
8 I believe that the agriculture industry is a  
9 complex matrix of inputs and outputs, and some of  
10 the areas being deliberated by this Commission  
11 must be viewed in the context of the whole, rather  
12 than the individual parts.

13                   I have been involved in the nutrient  
14 industry for the past 25 years. Over that period  
15 of time many changes have occurred in the  
16 agriculture industry in Manitoba, and the economic  
17 balance of agricultural production between field  
18 crops and livestock has certainly changed. Even  
19 the mix of grains and oilseeds grown has seen a  
20 dramatic change. New crops have been introduced  
21 and there is now a much stronger emphasis on feed  
22 grain production to support the growing livestock  
23 industry than there was 25 years ago.

24                   For someone like myself, in the farm  
25 service industry, there is a constant challenge to



1 stay ahead of these changes and to assist farmers  
2 in making the right decisions for the right  
3 reasons with the best available information.

4           The biggest area of growth has been in  
5 the science and technology behind crop input  
6 management and in good stewardship practices. It  
7 has been said that agriculture is second only to  
8 medicine in adopting new technology, and in my  
9 experience this would certainly be true. For  
10 example, 25 years ago farmers chose the crops they  
11 were going to grow on a given field based on the  
12 year of rotation. The farmer knew approximately  
13 how much nutrient it would take to grow that crop  
14 according to a chart and experience, and they  
15 would purchase that amount of fertilizer and  
16 spread it out on the field as evenly as they  
17 could.

18           Today crop rotation is only one of the  
19 factors used to determine what should be grown on  
20 a particular field. Generally speaking, that  
21 determination is also made by what options are  
22 available based on the results of a soil sample,  
23 economics, and a much wider variety of cropping  
24 choices. The farmer and his dealer then determine  
25 the amount of nutrient already available in the



1 field from the soil sample and calculate the  
2 top-up nutrient and micro nutrient required to  
3 grow that crop. Once that has been assessed, the  
4 dealer then uses a computer calibrated blending  
5 system to ensure that the farmer receives exactly  
6 the right mixture. This mixture is then weighed  
7 with equipment that is checked by the province to  
8 ensure that the calibration is accurate. From  
9 there it is transferred to a fertilizer spreader  
10 where it is spread across the field on a grid.  
11 The grid is created by a GPS unit in the machine  
12 that actually steers itself across the field.  
13 Meanwhile, the onboard computer constantly  
14 calculates and controls the amount of product  
15 being applied to ensure that no more nutrient than  
16 is absolutely required is put down in any one area  
17 of the field. While not everyone is using the  
18 full extent of this technology yet, it is becoming  
19 much more common.

20           It is interesting to note that five  
21 years ago GPS technology was a fairly new concept  
22 that had been adopted by a few dealers. Now most  
23 dealers incorporate it in their spraying and  
24 spreading operations. Five years has radically  
25 changed what is done and how it is done. By



1 contrast, a study commissioned for regulatory  
2 purposes is considered relatively current if it is  
3 five years old. There is often a disconnect  
4 between the length of time it takes to study a  
5 problem and make conclusions, and the change  
6 within the industry and advances over that same  
7 period of time.

8           To get back to my point, the use of  
9 new technologies and more accurate assessment in  
10 placement of nutrients reduces the potential for  
11 over fertilization and potential contamination,  
12 and ensures that the farmer is not wasting money  
13 on unneeded inputs. For some reason, our  
14 customers see that economic factor as being very  
15 important.

16           Seriously though, given the extremely  
17 tight margins in grain production over the past  
18 several years, the economic reality is that  
19 farmers cannot afford mistakes. They must be  
20 extremely vigilant in calculating the cost of  
21 their inputs. In addition, their land is their  
22 livelihood. Farmers don't want to create an  
23 environmental liability by contamination or by  
24 oversupplying nutrients to the land and water.  
25 The good news is that when a mistake has been made





1 and there is a high nutrient load, it can be  
2 remedied by reducing the requirements with the  
3 next crop.

4           As a supplier, a serious error in  
5 nutrient placement could mean the loss of a  
6 customer, or it could damage your local  
7 reputation. This is not a risk that would be  
8 taken lightly by anyone who intends to be in the  
9 business for the next 25 years. Our business is  
10 very much dependent on doing it right and  
11 protecting our local reputation.

12           The commercial fertilizer industry has  
13 been working hard through the Crop Nutrients  
14 Council to help farmers adopt best management  
15 practice that encourages responsible crop  
16 production, disseminates information on new  
17 technologies and techniques, and provides guidance  
18 on good environmental stewardship. While this  
19 council is only a few years old, it has made some  
20 gains and continues to gather acceptance.

21           The Canadian Association of Ag  
22 Retailers, of which I am a member, has been an  
23 active participant in this council. I would  
24 encourage the Clean Environment Commission to  
25 involve the Crop Nutrients Council in their



1 deliberations to ensure that all factors are  
2 carefully considered before any sector specific  
3 recommendations are made. With the growth in the  
4 livestock industry, manure management, and the mix  
5 between commercial fertilizer and nitrogen  
6 byproducts from manure has become a larger area of  
7 interest. As the commercial industry continues to  
8 drive toward more sophisticated processes in  
9 determining nutrient needs, and more site specific  
10 land placements of those nutrients, we must be  
11 careful to ensure that the same processes are used  
12 to determine the nutrient value of manure spread  
13 on the land and be equally careful about the  
14 placement procedures. The balance between the two  
15 sources needs to be maintained to ensure that the  
16 livestock industry is able to continue to thrive  
17 and that the grains and oil seed industry  
18 continues to have access to the nutrient and  
19 micronutrient supplies they require.

20           The livestock sector cannot provide  
21 all of the required fertilizer. For example, the  
22 hog sector can only supply six per cent of what is  
23 required. In addition, there may be agronomic  
24 reasons why manure cannot be substituted in place  
25 of commercial fertilizers in particular instances



1 or for particular crops.

2                   Lastly, and this is important, there  
3 is always a temptation to make broad assumptions  
4 about how problem areas got to be that way, and  
5 sometimes a desire to embrace regulation as the  
6 most expedient way to resolve it. Often there are  
7 more creative ways to resolve issues without  
8 damaging the environment, the provincial economy,  
9 and the livelihoods of the people involved in the  
10 industry.

11                   The point is that every action has an  
12 equal and opposite reaction. It is important that  
13 when this Commission deliberates on their final  
14 recommendations, they earnestly evaluate more than  
15 just the perceptions and concerns at this point in  
16 time. They must also look at the ramifications of  
17 any decision on the future realities of Manitoba's  
18 environment and the hog industry, and also on the  
19 larger agricultural matrix. It must consider what  
20 new technology is on the horizon, and whether the  
21 needs can be met by fostering rapid adoption of  
22 better science or stewardship practices. Any  
23 future regulations or recommendations need to be  
24 flexible enough to foster a vision of a healthy  
25 environment and industry in Manitoba 25 years from



1 now, not just focus on the current perceptions and  
2 realities.

3                   This not only benefits the  
4 agricultural sector, but also all Manitobans. The  
5 future standard of living in Manitoba depends on  
6 agriculture's ability to continue to provide a  
7 healthy economy, and in the end, it is Manitobans  
8 who pay for the regulatory environment, both good  
9 and bad. We all have a vested interest in doing  
10 our best to work together to make prudent  
11 decisions. Thank you.

12                   THE CHAIRMAN: Thank you,  
13 Mr. Steendam. When you talk about this great leap  
14 forward in technology, and then you specifically  
15 focus on GPS technology, at what point does it  
16 become cost effective for a farmer to use that and  
17 how big do you have to be to afford that?

18                   MR. STEENDAM: Well, there is varying  
19 degrees of GPS use. For instance, we can do  
20 custom application with a sprayer and use GPS, and  
21 it doesn't really involve nearly as much as if you  
22 actually go to grid soil testing, which becomes a  
23 lot more costly. So there is, you know, if you  
24 really want to know what is in the soil, grid  
25 sampling is the way to go. But like you say, it





1 costs extra money.

2 THE CHAIRMAN: So, what percentage of  
3 farmers nowadays are using some of this high tech  
4 stuff?

5 MR. STEENDAM: I would say probably 80  
6 per cent, at least 80 per cent of farmers are  
7 using some type of GPS technology.

8 THE CHAIRMAN: And that has basically  
9 all come in the last five years?

10 MR. STEENDAM: It hasn't come in five  
11 years, but it has become prevalent in five years.

12 THE CHAIRMAN: The growth, yes.

13 MR. STEENDAM: I would say probably at  
14 least ten years ago I had our first GPS unit.

15 THE CHAIRMAN: Okay. So a lot of it,  
16 an individual farmer -- would an individual farmer  
17 have his own GPS unit or would he hire custom?

18 MR. STEENDAM: No, they are getting  
19 them now.

20 THE CHAIRMAN: I guess on their  
21 tractors.

22 MR. STEENDAM: And they are becoming a  
23 lot more cost effective. I think 10 or 15 years  
24 ago when I bought our first GPS unit, it cost  
25 something like, that to outfit our sprayer it cost



1 40,000 bucks. Today you can buy probably a better  
2 unit for around 5.

3 THE CHAIRMAN: 5,000?

4 MR. STEENDAM: Yes.

5 THE CHAIRMAN: You talked about there  
6 often being more creative ways to resolve issues,  
7 you sort of went into it a little bit, but what  
8 did you have in mind when you talked about more  
9 creative ways to resolve issues?

10 MR. STEENDAM: It is just that if  
11 you -- what concerns me is perceptions. As soon  
12 as you say that the waterways in our province are  
13 contaminated, and the first thing you think of is  
14 it has to be the farmer because they have manure.  
15 That is the perception, and then immediately, as  
16 soon as that hits the newspaper, that becomes  
17 reality. And I think we have to be a little  
18 broader minded than that and see what else is  
19 causing the problem. That is what I had in mind.  
20 And if there is ways to use up, you know, some of  
21 that water or change the way we do things a little  
22 bit.

23 THE CHAIRMAN: Thank you. Edwin?

24 MR. YEE: Yes, Mr. Steendam, you  
25 mentioned the balance between the two sources of



1 fertilizer, chemical fertilizers and the use of  
2 manure as a fertilizer. With the new phosphorous  
3 amendments in the regulations, and knowing that  
4 there is a different ratio or content of nitrogen  
5 phosphorous in manure, do you see this playing a  
6 more important role in the future in terms of this  
7 combination of using chemical and manure  
8 fertilizers?

9 MR. STEENDAM: I can see it becoming a  
10 more important role for us as suppliers of  
11 fertilizer, because again it will become more  
12 important to do a better job in interpreting the  
13 soil test and knowing exactly how much has to go  
14 on for top up.

15 MR. YEE: Do you feel that the level  
16 of testing right now is sufficient or is there a  
17 need to increase the level of soil testing?

18 MR. STEENDAM: When I started in the  
19 fertilizer business, the odd person did a soil  
20 test. Like when I say that, and then it was kind  
21 of like, well, we will see what is in there, that  
22 kind of thing. But it really wasn't looked at  
23 very seriously. Like, you know, Joe Farmer, you  
24 know, I know what I'm going to put on that crop  
25 because I know what it takes. Do you know what



1 I'm saying? So there was a little bit of soil  
2 testing happening. Today there is a lot of soil  
3 testing happening. I would say that 95 per cent  
4 of our customers soil test every year. So I think  
5 that has gone -- or drastically improved. I think  
6 there will be a move toward more grid testing.  
7 Like so if there is an improvement, I can see it  
8 going that way.

9 MR. YEE: Thank you.

10 MR. MOTHERAL: Yes, Mr. Steendam, I  
11 still have connections with the farm and I'm  
12 probably, I belong to that 20 per cent that don't  
13 have GPS, I still drive crooked.

14 MR. STEENDAM: It looks so nice when  
15 you drive straight, though.

16 MR. MOTHERAL: I know, and I am just  
17 wondering, when you said 80 per cent, I think  
18 probably what you meant is 80 per cent of the  
19 farmland was being farmed with GPS, because I  
20 would imagine still the majority of the farmers do  
21 not have it as far as the number of farmers. Is  
22 that fair enough?

23 MR. STEENDAM: I can live with that.

24 MR. MOTHERAL: I'm interested in the  
25 Crop Nutrients Council. You have asked that





1 possibly this association, maybe contact them in  
2 further research or whatever. Who else -- you  
3 cited the Agriculture Retailers Association as  
4 being a member -- who else would be members? Like  
5 are there farm organizations, et cetera?

6 MR. STEENDAM: Yes. I actually  
7 brought a little information on it just in case  
8 you asked that question. Can I just -- do you  
9 want me to read off some of these?

10 MR. MOTHERAL: Some of the major ones.  
11 Obviously there is quite a few.

12 MR. STEENDAM: There is. The AAFC  
13 Environment Bureau, Agricore United, Agricultural  
14 Institute of Canada, Agrium Inc., Atlantic  
15 Fertilizer Institute, Canadian Association of Ag  
16 Retailers, Canadian Cattlemen's Association,  
17 Canadian Federation of Agriculture, Canadian  
18 Fertilizer Institute, Canadian Pork Council,  
19 Canadian Seed Growers Association, Canola Council  
20 of Canada, Cargill Limited, Certified Crop  
21 Advisor.

22 MR. MOTHERAL: That is fine.

23 MR. STEENDAM: It is pretty far  
24 reaching. It involves a lot of the input people  
25 into agriculture, so it is, I think it is very--



1                   MR. MOTHERAL: I think that is all I  
2 have right now.

3                   THE CHAIRMAN: It is a national body  
4 obviously?

5                   MR. STEENDAM: Yes.

6                   THE CHAIRMAN: Where is it based?

7                   MR. STEENDAM: You have got me. I  
8 think it is in Winnipeg.

9                   THE CHAIRMAN: We can certainly find  
10 that out.

11                  MR. STEENDAM: You can have this.

12                  THE CHAIRMAN: Thank you very much,  
13 Mr. Steendam, for your presentation today.

14                  MR. STEENDAM: Thank you for your  
15 time.

16                  THE CHAIRMAN: John van Aert, would  
17 you please introduce yourself for the record?

18                  MR. VAN AERT: I am John van Aert.

19 JOHN VAN AERT, having first been sworn, presented  
20 as follows:

21                  MR. VAN AERT: Good afternoon  
22 committee members of the Clean Environment  
23 Commission. I have a couple of comments about  
24 what I do on my farm.

25                  My name is John van Aert and I farm



1 along with my brother Joe and father George, and  
2 our families, along with four employees in the  
3 East Selkirk area. Our farm consists of 3500  
4 acres of annual cropland and an 800 sow operation.  
5 We market 75 per cent of our hog production as  
6 50-pound weanlings and 25 per cent are marketed at  
7 slaughter weight.

8           My father started the farm in 1964  
9 purchasing 127 acres. He quickly added a hog  
10 operation to add cash flow to the farm. He  
11 continued to expand the hog operation, adding  
12 concrete manure pits and a liquid manure handling  
13 system to simplify waste management and better  
14 utilize nutrients in manure for crop production.  
15 He was one of the first producers in the area to  
16 directly inject manure into the soil using a  
17 manure wagon and a tool bar.

18           My brother and myself started farming  
19 in the 1980s, and in 1990 started the development  
20 of a new hog farm site to expand our sow herd to  
21 support three families. We worked with our local  
22 rural municipality and planning district to site  
23 these barns in the proper location. Over the next  
24 16 years these are some of the things that we have  
25 done to make our hog farm environmentally



1 sustainable.

2                   In 1997 we constructed a 400 day  
3 storage earth and manure structure to eliminate  
4 any winter spreading. Shelter belts are planted  
5 around the earthen manure structures to reduce and  
6 deflect winds from over the surface.

7                   We were also involved with an  
8 experimental project developing a negative air  
9 pressure cover to help reduce odours. The cover  
10 has proved to be very effective. We file our  
11 manure management plans annually, testing the  
12 manure and soil to maximize the efficient use of  
13 the nutrients in the manure. We apply manure by  
14 direct injection by custom applicators every fall  
15 to different fields, rotating our manure  
16 application to each field a minimum of once every  
17 three years. This takes advantage of the various  
18 nutrients and organic matter of the manure as it  
19 breaks down. The phytase enzyme is added to all  
20 of our rations to reduce phosphorous use in the  
21 feed, thus reducing phosphorous nutrient excretion  
22 in the manure. Studies have shown that phytase  
23 can reduce phosphorous excretion by 25 to 40 per  
24 cent. There are other advantages in feeding  
25 management, such as better balancing amino acid





1 levels and rations to reduce the inclusion of  
2 crude protein in order to lower nitrogen  
3 excretion.

4                   Maintaining the wells on our farm is  
5 also very important. We make sure that water  
6 cannot pond near the well casing and the well caps  
7 are properly sealed. Water tests are done  
8 annually to monitor water quality. One of our  
9 wells that feeds our barn also feeds my house, so  
10 water quality is very important for my family as  
11 well as the livestock.

12                   I believe the hog industry is already  
13 highly regulated and environmentally sustainable.  
14 There are several regulations in place such as the  
15 Livestock Manure and Mortalities Management  
16 Regulations, Environment Act, Planning Act, et  
17 cetera, that we follow, and I believe that my farm  
18 meets or exceeds the current Manitoba regulations.  
19 We are doing our part in regards to nutrient  
20 management. It is important for a hog operation,  
21 or any farm for that matter, to expand or upgrade  
22 their facilities to remain viable, and in my case,  
23 give my children an opportunity to continue hog  
24 farming into the future. Thank you.

25                   THE CHAIRMAN: Thank you. Edwin?



1                   MR. YEE: Mr. van Aert, just one  
2 question in terms of future regulations, should  
3 there be additional future regulatory  
4 requirements, do you see that impacting your  
5 operation?

6                   MR. VAN AERT: We always kept up with  
7 the regulations as they came forward and  
8 sometimes, like our lagoon cover, it was a  
9 prototype at the time that we felt that it was a  
10 good thing to do and a neighborly thing to do  
11 that, yes, it would be, we would keep up with the  
12 regulations.

13                   MR. YEE: This cover, does it  
14 significantly reduce the odours as well?

15                   MR. VAN AERT: Yes, it does.

16                   MR. YEE: Do you know if it is being  
17 employed by any other operators?

18                   MR. VAN AERT: The Department of  
19 Agriculture had tours at our farm over the last  
20 several years, and there are some hog farms that  
21 are in more highly populated areas that have  
22 installed that cover.

23                   MR. YEE: Thank you.

24                   MR. MOTHERAL: Yes, Mr. Van Aert, this  
25 is a personal question, but have you had any



1 complaints about your hog operation?

2 MR. VAN AERT: No. When we started  
3 our new site in 1988, I built a little house on  
4 the site first. And before I started that site, I  
5 went to all of the neighboring property owners and  
6 to the rural municipality that that was a good  
7 site to eventually start a hog operation on.

8 MR. MOTHERAL: And on your operation  
9 you say 25 per cent, you finish 25 per cent of  
10 your hogs?

11 MR. VAN AERT: Yes.

12 MR. MOTHERAL: The other 75 per cent  
13 go to feeder market. Do those go, again, are  
14 those locally or do they have to be transported  
15 far?

16 MR. VAN AERT: Right now we are  
17 exporting our pigs, our 50 pound pigs.

18 MR. MOTHERAL: You are exporting, they  
19 are going to North Dakota or --

20 MR. VAN AERT: Yes, Minnesota.

21 MR. MOTHERAL: That is all I have,  
22 thanks.

23 THE CHAIRMAN: Thank you very much  
24 Mr. van Aert, thank you for coming here today.

25 That brings us to the end of the list



1 of people who have indicated that they wish to  
2 make a presentation. If anybody else in the  
3 audience wishes to make a presentation at this  
4 time, you are welcome to do so. If not, we will  
5 adjourn. We will be here until 5:00 five o'clock,  
6 which is the time that we indicated we would take  
7 a supper break. We will be back here after  
8 supper, although nobody has indicated that they  
9 wish to make a presentation this evening, we will  
10 come back here and be here for a short time to  
11 accommodate any walk-ins. So I thank you for  
12 coming out here this afternoon. We are adjourned.

13 (PROCEEDINGS RECESSED AT 4:30 AND  
14 RECONVENED AT 7:00 P.M.)

15 THE CHAIRMAN: Good evening, you wish  
16 to make a presentation, or one of you?

17 MR. WRUCK: Yes, I probably should.

18 THE CHAIRMAN: Take a chair up at this  
19 table, please. Could you introduce yourselves for  
20 the record, please?

21 MR. WRUCK: I'm Gus Wruck, I'm  
22 presently a Councillor for the RM of Lac du  
23 Bonnet. That is G-U-S, W-R-U-C-K.

24 MR. BRUNEAU: I'm Bob Bruneau, a  
25 Councillor in the RM of Lac du Bonnet.





1                   THE CHAIRMAN: We will ask you to take  
2 an oath promising to tell the truth.

3 GUS WRUCK AND BOB BRUNEAU, having been sworn,  
4 presented as follows:

5                   THE CHAIRMAN: Go ahead.

6                   MR. WRUCK: I should give you a little  
7 bit of my background first of all. I retired from  
8 Manitoba Agriculture in August, and during my  
9 career with Manitoba Agriculture I was a swine  
10 specialist, as well as an administrator of the  
11 Animal Care Act. I'm a veterinarian by training.  
12 I have been in veterinarian practice in Lac du  
13 Bonnet, as well as in Selkirk, dating back to the  
14 1970s. So I have a little bit of experience in  
15 livestock and animal production. And obviously,  
16 as you might guess, my support is for the swine  
17 industry, irregardless of what else has been said.

18                   Since my election to council of the RM  
19 of Lac du Bonnet, I have taken a considerable  
20 interest in the water, the water situation and  
21 what is going on. One of the first things that  
22 stood out to me very clearly is the great interest  
23 from the general public with respect to livestock  
24 and livestock handling, and particularly with  
25 particular focus on the hog industry. And it is



1 well known that the hog industry has already got  
2 quite a few regulations to it. But we don't seem  
3 to be taking near enough attention and focusing it  
4 on some of the other sources of contamination.

5 I'm quite aware that you are probably  
6 aware of the Lake Winnipeg Water Stewardship  
7 Board's report to government back in December, and  
8 I think there is a fair bit of information in that  
9 to recommend and focus on, and particularly  
10 recommendation, or the series of recommendations  
11 under item 24 which talk about septic field  
12 maintenance and alternatives to septic fields.

13 In the RM of Lac du Bonnet, we have a  
14 portion of Lac du Bonnet that is limited in terms  
15 of drainage that goes through it, and that is the  
16 Pinawa Bay area of that lake. And Pinawa Bay,  
17 towards the end of the summer, gets extremely  
18 green and it is entirely due to, we believe,  
19 leaching from the numerous cottage septic fields  
20 that are surrounding the lake, and many of the  
21 septic fields are old or purposely maligned to  
22 drain their effluent straight into the water. And  
23 it galls me to know that this is happening, and up  
24 to this point very little has been done about it.  
25 It is an issue that I think cannot ever be blamed



1 on livestock or any other species of animals.

2                   It is my understanding, based on this  
3 report, that the main emphasis is phosphorous.  
4 And even in the report it is suggested that only  
5 about 15 per cent of the phosphorous loading is  
6 coming from agriculture. And that would include  
7 all of the phosphorous that is added as  
8 fertilizer, from cattle, as well as from pigs.  
9 But to single out pigs as the major source is a  
10 little bit illogical to do that.

11                   In addition, another 17 per cent comes  
12 from undefined sources, and of course undefined  
13 sources also includes those septic fields that I  
14 mentioned just now. And we know where there is  
15 considerable problems with those septic fields and  
16 we think it will probably be remiss not to start  
17 focusing on these. As I said, the recommendations  
18 in this report provide plenty of activities that  
19 can be done in terms of correcting some of these  
20 problems. I think, Bob, that concludes my  
21 concerns and what I had to say.

22                   THE CHAIRMAN: Bob, do you have  
23 anything to add?

24                   MR. BRUNEAU: I just want to add that,  
25 you know, since I got on the council over eight



1 years ago they spoke about riparian areas and  
2 keeping cattle and animals of grazing on river  
3 banks. And you go anywhere off the major  
4 highways, off 44, 11, you know, wherever there is  
5 a farm, you see many, many cattle right in the  
6 creek bed --

7 MR. WRUCK: Even on the way down  
8 tonight.

9 MR. BRUNEAU: -- right in the creek  
10 bed with the manure pile there. What happens to  
11 that in the springtime when that all runs back  
12 into these creeks and into the river? Why isn't  
13 something done that is obvious? You get a hog  
14 operation that is five miles away from any river  
15 or stream, I don't think they do as much pollution  
16 into the river as a manure pile right on the river  
17 bank. So I think, you know, if they want to get  
18 serious about keeping the manure out of the water,  
19 they can start by what is obvious.

20 MR. WRUCK: I guess to sum up, at  
21 least from my perspective and I think from the RM  
22 of Lac du Bonnet's perspective, is the  
23 recommendations about everything that really has  
24 to be done are in here. We have already got  
25 manure management plans for livestock producers





1 with the idea of not putting on any more  
2 phosphorous or nitrogen than is going to be taken  
3 off by the crops. We have to make it work.

4           As a concluding remark, three years  
5 ago I visited a swine producer in Holland,  
6 southern Holland in a little village called  
7 Mariahout. And if you understand Holland and how  
8 they raise pigs, you understand that we really  
9 don't have a problem. In Holland they raise as  
10 many pigs as all of Canada, and they fit into an  
11 area about the size of our Interlake. To raise  
12 pigs in Holland you have to buy a manure quota,  
13 and that allows you so much manure to be produced.  
14 All of the manure is picked up and hauled away by  
15 commercial haulers to manure processing plants,  
16 and this is processed very much like human sewage  
17 in terms of removing the water and using the end  
18 product for fertilizer in Holland or other  
19 countries in Europe. So if you look on any map of  
20 Holland, you will see that the swine operations  
21 are very, very close together with other livestock  
22 operations. They are able to make it work. Why  
23 can't we? So that is basically my comments.

24           MR. BRUNEAU: In our municipality we  
25 have 300 animal units, and anything over that is



1 conditional use, so we put the conditions on. And  
2 we like them to follow the regulations of the  
3 government too.

4 THE CHAIRMAN: Have you added stricter  
5 requirements in your conditions, stricter than the  
6 Provincial regulations?

7 MR. BRUNEAU: No.

8 MR. WRUCK: I think it is important to  
9 understand that Lac du Bonnet municipality is  
10 right on the interface, if you will, between  
11 agriculture and the Laurentian shield, so we have  
12 two sets of criteria that we have to apply, one  
13 for the agricultural area and one for the  
14 Laurentian shield.

15 MR. YEE: I guess the only question I  
16 would ask, are there a number of hog operations in  
17 the municipality of Lac du Bonnet?

18 MR. WRUCK: Yes, there is. In fact, I  
19 had the privilege of speaking at a hearing for an  
20 application for a hog producer the night before  
21 the election. I was speaking as a private citizen  
22 and, of course, I was pretty much in support of  
23 it. And I knew it was going to cost me a few  
24 votes, but I can't care. We do have a major  
25 Hutterite Colony, Brightstone Colony, that is in



1 our municipality as well that produces pigs.

2 MR. YEE: Has the municipal council  
3 received a large number of complaints about the  
4 hog operation in the municipality?

5 MR. BRUNEAU: We received complaints  
6 when this fellow applied for this conditional use  
7 last fall. Then we had a place full of people  
8 from different, other municipalities, bordering  
9 municipalities who were against it.

10 MR. YEE: Thank you.

11 THE CHAIRMAN: That was for a hog  
12 operation?

13 MR. WRUCK: Yes, Graham Reid was the  
14 name.

15 THE CHAIRMAN: Wayne?

16 MR. MOTHERAL: I don't think so, I  
17 think the couple of questions I was going to ask,  
18 you asked already. The fact that you seem to be  
19 pleased with the municipality's ability to put  
20 your own conditions on, and that you feel is  
21 probably an asset to the municipality and you have  
22 that right to do that.

23 MR. BRUNEAU: The only condition that  
24 we have in our zoning that is a little more rigid  
25 than agriculture, we want to keep animals half a



1 mile away from our main river. We have the two  
2 rivers, the Lee River and the Winnipeg River.

3 MR. MOTHERAL: Is your municipality a  
4 contributor-- sorry, that was Reynolds and  
5 Whitemouth Soil and Water Association, I guess it  
6 was called the Whitemouth Soil and Water  
7 Association. Do you have any local organizations  
8 like that in your municipality?

9 MR. WRUCK: We are a member of  
10 Northeast Agassiz Water Management Association, as  
11 well as the north chapter of the Red River Valley,  
12 Red River Basin I guess it is.

13 MR. MOTHERAL: And that includes --  
14 how many municipalities would that include? Quite  
15 a few?

16 MR. WRUCK: All of the ones in the  
17 northeast for the Northeast Agassiz, right from  
18 Springfield to Alexander.

19 MR. MOTHERAL: You don't have the  
20 pleasure of having conservation districts there  
21 yet, do you?

22 MR. WRUCK: No. Do we want one?

23 MR. MOTHERAL: Well, I guess I should  
24 reword that. We belong to one and it has been  
25 very beneficial. I shouldn't say that it would be





1 for you, but there is a lot of soil and water  
2 associations work the same way as they do anyway.

3 MR. WRUCK: Are they going to have an  
4 influence on our resident cottage owners that are  
5 leaking all of their stuff into the river?

6 MR. MOTHERAL: I'm not going to answer  
7 that, I don't know that. That would be up to the  
8 association when it is formed, you put in a  
9 mandate of what you want to do.

10 MR. WRUCK: Because that is probably  
11 one of the biggest areas that we would have  
12 concern about is the leakage from these inadequate  
13 septic systems.

14 MR. MOTHERAL: We have been made aware  
15 of that in other areas of Manitoba too. So that  
16 is all I have.

17 THE CHAIRMAN: Thank you, gentlemen,  
18 thank you for coming out this evening. Is there  
19 anybody else, any of you gentlemen want to make a  
20 presentation this evening? No.

21 We will wait a few more minutes, but  
22 it doesn't appear that we are going to get -- we  
23 had a full afternoon, but it doesn't appear like  
24 the evening is going to be the same. Okay. We  
25 are going to finish now.



(Proceedings concluded at 7:16 p.m.)

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

I, CECELIA REID, a duly appointed Official  
Examiner in the Province of Manitoba, do hereby  
certify the foregoing pages are a true and correct  
transcript of my Stenotype notes as taken by me at  
the time and place hereinbefore stated.

-----

Cecelia Reid



