

MANITOBA CLEAN ENVIRONMENT COMMISSION

HOG PRODUCTION INDUSTRY REVIEW

TRANSCRIPT OF PROCEEDINGS

PHOSPHOROUS PANEL

* * * * *

Held at the Delta Hotel

Winnipeg, Manitoba

TUESDAY, MAY 29, 2007

* * * * *

APPEARANCES:

Clean Environment Commission:

Mr. Terry Sargeant	Chairman
Mr. Edwin Yee	Member
Mr. Wayne Motheral	Member
Ms. Cathy Johnson	Commission Secretary
Mr. Doug Smith	Report Writer

Participants:

Ian Halket

Petra Loro

Mitch Timmerman

Dwight Williamson

Dave Green

Ken Mills

Don Flaten

Wole Akinremi

Marc Trudelle

Christine Rawluk

1 TUESDAY, MAY 29, 2007

2 UPON COMMENCING AT 10:05 A.M.

3 THE CHAIRMAN: Well, I think we may as
4 well get going. We were also expecting Al
5 Warkentin, but all of these rains have given him
6 other concerns to deal with, so we may well not
7 see him today.

8 Perhaps we can start with a round of
9 introductions so that everybody knows everybody.
10 I am Terry Sargeant, the chair of the Manitoba
11 Clean Environment Commission, and the chair of the
12 panel on the Hog Production Review.

13 MR. FLATEN: I will get this
14 introduction out of the way. Don Flaten, nutrient
15 management specialist, Department of Soil Science,
16 University of Manitoba.

17 MS. RAWLUK: Christine Rawluk,
18 Department of Soil Science, University of
19 Manitoba, working with Don Flaten.

20 MR. AKINREMI: Wole Akinremi,
21 associate professor of soil eco-dynamics, working
22 on phosphorous in the Department of Soil Science.

23 MR. HALKET: Ian Halket. I'm with Red
24 River College, civil engineering technology. I
25 teach hydrology.

1 MR. TRUELLE: Marc Trudelle, Manitoba
2 Conservation, livestock section.

3 MR. GREEN: Dave Green. I'm a water
4 quality specialist with Manitoba Water Stewardship
5 Department.

6 MR. WILLIAMSON: I'm Dwight
7 Williamson. I'm the director of the Water Science
8 and Management Branch with the Manitoba Department
9 of Water Stewardship.

10 MR. MILLS: Ken Mills with Energy
11 Consultants International, advisors to the
12 Commission.

13 MS. LORO: I'm Petra Loro, with
14 Manitoba Agriculture, Food and Rural Initiatives.
15 I'm a livestock environment specialist.

16 MR. TIMMERMAN: Mitchell Timmerman,
17 nutrient management specialist, also with Manitoba
18 Agriculture, Food and Rural Initiatives.

19 MR. MOTHERAL: Wayne Motheral, member
20 of the Commission.

21 MR. YEE: Edwin Yee, member of the
22 Manitoba Clean Environment Commission.

23 MR. SMITH: Doug Smith. I am working
24 on contract for the Commission on this report.

25 MS. JOHNSON: I'm Cathy Johnson. I'm

1 secretary to the Commission.

2 THE CHAIRMAN: Well, thank you all for
3 coming out this morning and giving us some of your
4 time to help us resolve -- well, perhaps not
5 resolve, but to understand a little better some of
6 the issues that are surrounding phosphorous.

7 Just a couple of technical notes. As
8 you've already been, or have experienced, we have
9 to turn the mikes on and off when we're speaking.
10 We are recording this. And we will produce a
11 verbatim transcript in the next few days. This is
12 for our own purpose only. In our hearings, when
13 we produced the transcripts, we post them on our
14 website within a few days. However, that will not
15 be the case with this. This is strictly for our
16 own internal use.

17 And in order to get the recording, we
18 have to have the mikes on so that it goes through
19 the system. So I would ask you just to bear with
20 us when we remind you to turn them on and off. If
21 we do not turn them off after a certain point, I
22 think we can only have two or three on at once and
23 then they stop turning on and it gets a little
24 complicated.

25 We, on the panel, and I have said to

1 one or two people already this morning, most of us
2 are lay people. We do not understand a lot of
3 scientific issues. But there are a number of
4 issues around phosphorous, some of them
5 scientific. I am not sure how much of the science
6 we need to go into, but we certainly need to have
7 some understanding of the nature of phosphorous
8 and how it works in an agricultural environment,
9 because that is one of the main tasks that is been
10 given to us by the Minister of Conservation.
11 Specifically, one of the main Terms of Reference
12 was to review the recently enacted Manure
13 Management and Mortalities Regulation, which
14 includes dealing with livestock manure on a
15 phosphorous basis.

16 We realize that there are probably any
17 number of opinions around the table. We do not
18 expect to resolve any of these issues this
19 morning. We do not expect -- most of the panel
20 members -- Edwin does have a good background in
21 science, but the rest of us do not. We do not
22 expect to go out of here later this morning, or
23 later on this afternoon, with a full scientific
24 understanding of all of these issues. But if we
25 can have some understanding of how it relates

1 particularly to our mandate, that will really be
2 very helpful to us.

3 Cathy, a week or two ago, circulated a
4 number of fairly general questions:
5 agronomic rates versus environmental rates of
6 application,
7 rationale and methodology of calculation of the
8 overall contribution of P from each source,
9 movement of P in water,
10 measurement of P,
11 calculation of total nutrient loads,
12 predicted future changes to the P regulation,
13 monitoring plans to determine if these regulations
14 and management practices are doing what they hoped
15 for.

16 Oh, actually, it was a couple or three
17 weeks ago that Wayne sent some questions related
18 to P:
19 the retention of P in soils,
20 retention according to various soil types,
21 different forms of P in soil, particulate,
22 soluble, et cetera,
23 nature of P in soils,
24 effects on pH,
25 P in soils at different times of the year,

1 and the effects of winter and the fact that land
2 in Manitoba freezes solid, what does that do to P
3 movement? And those are just some overview
4 questions.

5 I really have no idea how this is
6 going to proceeded today or how we want this to
7 proceed. But perhaps if we could get some --
8 perhaps just start off talking about where this
9 regulation came from, and the thinking behind this
10 regulation, and where it is hoped that this
11 regulation will take us? Who might be able to do
12 that? Well, I guess we may as well -- Marc, do
13 you have something?

14 MR. TRUELLE: Well, I can probably
15 start some insight about the phosphorous reg and
16 what I am used to seeing in the phosphorous reg.
17 I circulated the document, I think. I have a copy
18 here, an extra copy, with some graphs and tables
19 that will probably be easier to follow. It is the
20 same document, but with -- I added some extra
21 information about that.

22 Well, my own knowledge about the
23 phosphorous -- I will just take about maybe ten
24 minutes to go through the document. My knowledge
25 of the phosphorous started ten years ago. So in

1 Quebec, as you know, they had the phosphorous
2 regulation in 1997. This regulation was based on,
3 in fact, many studies. And they looked at
4 different ways of evaluating or estimating the
5 phosphorous, and what is best to get the picture
6 of the phosphorous. And so they started by soil P
7 test. And, finally, due to the fact that soil P
8 test is usually formulated to look at planned
9 response, so it is a question of agronomic way of
10 spreading phosphorous, and looking at the soil P
11 test and usually it is a fertility program.

12 In order to get a picture of the
13 phosphorous problem as associated with water
14 quality, they moved slowly to the DPS. What is
15 the degree of P saturation? So the degree of P
16 saturation is really related to the capacity of
17 the soil to retain the phosphorous. So it is the
18 easiest way of looking at the fact that for the
19 same soil P test, you will have different capacity
20 to retain phosphorous. So if you have a soil P
21 test at a certain level, another soil P at the
22 same level, the soil capacity will be different by
23 different types of soils. So the principle behind
24 it was to be more site specific.

25 The saturation concept is really based

1 on the extractable level of phosphorous on the
2 total P sorption capacity. So there are many,
3 many ways of looking at the way of estimating the
4 DPS. Probably one of the easiest ways is to look
5 at an alternative measurement and looking at
6 different characteristics and looking at a way to
7 evaluate the DPS, which is easy to do. So many
8 studies try to relate the DPS to a different way
9 of estimating this value.

10 If you go to the second page, you will
11 see that the DPS started in Holland in 1992, and
12 it was based on extractable oxalate P. It is
13 minimal, so we have to be careful about the unit
14 here. It is based on minimal. And the total
15 sorption capacity, also defined as minimal, is
16 related to aluminium and iron. It is quite
17 complicated. And it is not a regular -- it is not
18 a regular lab procedure.

19 So what Quebec did, if you go to the
20 third page, you will see that they tried to relate
21 an easy lab procedure to this DPS based on Holland
22 and complicated, I will say, lab procedure. So on
23 the third page you have the graph that related to
24 the DPS, which is the minimal, this is the "Y"
25 axis. In Holland, the threshold is 0.25. This is

1 the important number here. So at 0.25, based on
2 the Holland equation, it is the threshold value
3 that is used right now. So it is a way of looking
4 at the -- if you exceed 0.25, you will start the
5 processes of eutrophication.

6 Quebec tried to relate an easy way, an
7 easy lab procedure. And they finally found that,
8 P/Al, phosphorous on aluminium, Mehlich-III, which
9 is a routine lab procedure, gave you a value of
10 about 0.1. So there is a link between the Holland
11 equation and the Quebec equation, making sure that
12 we are looking at the same type of DPS, based on
13 two different lab processes.

14 In order, also, to relate this value
15 to water quality, if you go to the fourth page,
16 you will see that the main relationship between
17 this P/Al, Mehlich-III, which is the saturation of
18 the soil, and they relate it to the water
19 extractable value, which is the basic principle
20 right now behind the phosphorous reg in Quebec.
21 And it means that about 10-milligrams per litre of
22 water extractable, this is the threshold that
23 people do not want to exceed. If you go above
24 10-milligrams of P extractable per litre, you
25 start the eutrophication processes.

1 They did a lot of studies in Quebec to
2 relate it. And, finally, if you are below 10, you
3 are below the 0.03-milligram, total P per litre,
4 which is the limit that we do not want to exceed
5 in water courses in Quebec.

6 MR. MOTHERAL: Question.

7 MR. TRUELLE: Yes.

8 MR. MOTHERAL: Some of it is slipping
9 over my head already. Milligrams and parts per
10 million, first of all, I wanted to get -- what's
11 the corresponding --

12 MR. TRUELLE: It is ppm.

13 MR. MOTHERAL: It is the same thing?

14 MR. TRUELLE: Yes, it's the same
15 thing. Milligram per kilo is the same as ppm,
16 yes.

17 MR. MOTHERAL: Okay, that's fine.

18 MR. TRUELLE: And this is why we have
19 to be careful about the unit because it is so
20 voluble. And if you look at different studies,
21 you will see that there are different numbers.

22 So the basic principle behind it is
23 that you have the DPS, which is a Holland
24 equation; and you have the Quebec DPS, which is
25 based on water and aluminium; and you have the

1 water extractable that you do not want to exceed.
2 This value, as in this 10 milligrams of water
3 extractable, has been used extensively in other
4 countries as well.

5 So what I did was I moved to different
6 studies in Manitoba. And I looked at two
7 different studies, which studies related the water
8 extractable value to the Olsen P test, as well as
9 the water extractable value to the DPS. So if you
10 go to the -- well, maybe just after you have the
11 "Conclusion" here. And so I will go to the number
12 3, "Conclusion". And if you look at the
13 9.7 milligrams of water extractable per litre, if
14 you want to work on kilos, which is -- usually
15 people are using litres or kilos. The
16 9.7-milligram of Pw per litre is about
17 8.43-milligrams of extractable P per kilo. And so
18 this is the critical value. You have the mass or
19 the volume, so depending on which value you are
20 using.

21 I used the values from Manitoba, and I
22 used two different studies. One is Kumaragamage,
23 sorry about the name, that related the Olsen-P
24 test to the water extractable phosphorous. And if
25 you use the 8.43-milligram of Pw per kilo, the

1 critical Olsen-P test value would be about
2 40 milligrams per kilo. So it means that at this
3 level, you are about at the threshold value for
4 eutrophication based on water extractable value.
5 This is for Manitoba soil.

6 Also, I looked at the Akinremi studies
7 as well. Wole did a lot of studies about DPS and
8 water extractable. And I also used the value,
9 8.43. And I related the DPS value to this 8.43.
10 And my critical DPS value is about 0.9. So it is
11 quite close to the value I used to work with,
12 based on water extraction, as well. Quebec right
13 now is 10 percent. So with a DPS of 10 percent
14 and more, it is crop removal right now.

15 If you look at the other page, and you
16 have another type of graph, as well, here. To
17 make things simpler, water -- it is a Manitoba
18 study here. It is November, December, 2005. I
19 also related water extractable minimal per kilo.
20 So in order to compare minimal per kilo with the
21 8.43, you have to divide 8.43 by 32. 32 is the
22 weight of the phosphorous, how do you say that,
23 compound?

24 MR. GREEN: Atomic weight.

25 MR. TRUELLE: Atomic weight. Yes,

1 exactly, the atomic weight. So if you look at the
2 graph, and you have six different graphs here, if
3 you look at the 0.25, you will see that most of
4 the time you are below a DPS of 10 percent. So
5 there is a link between water extractable and DPS
6 all the time.

7 So what I did was also, on the next
8 page, you have what we call the agronomic way of
9 looking at phosphorous. So at a certain level of
10 phosphorous, if you exceed 20 ppm, usually you do
11 not recommend much phosphorous. So depending on
12 the crop, the 20 ppm is the agronomic threshold
13 value, which is similar to other jurisdictions as
14 well.

15 On the following page, you have the
16 Quebec regulation here. Here you just have to be
17 careful about the STP value. It is a kilo of P
18 per hectare, and it is Mehlich-III. You almost
19 have to divide by four in order to compare to the
20 Olsen-P test.

21 MR. MOTHERAL: Can I have one more
22 question here?

23 MR. TRUELLE: Yes.

24 MR. MOTHERAL: And I hope I'm not the
25 only one. But when I get confused, I need to stop

1 right away.

2 MR. TRUELLE: No problem, yes.

3 MR. MOTHERAL: An agronomic value of
4 20 ppm is ideal, is that what I'm gathering from
5 that?

6 MR. TRUELLE: Yes.

7 MR. MOTHERAL: I always thought it was
8 higher than that.

9 MR. TRUELLE: No. When you exceed
10 20, 25, 30, crops don't respond. It is an
11 economic response, so there is no benefit of
12 spreading phosphorous.

13 MR. MOTHERAL: Then I must be getting
14 some figures mixed up then.

15 THE CHAIRMAN: I thought in here, they
16 say that above 60?

17 MR. FLATEN: That is an important
18 distinction. What Marc said in his initial
19 comments was true. At concentrations of soil test
20 phosphorous, measured with the so-called Olsen
21 method, which is the same method that shows up in
22 the regulation, at levels beyond 15 to 20 parts
23 per million, we would agronomically recommend very
24 small quantities of phosphorous.

25 But we have records of responses, in a

1 comprehensive lit review from the Conservation
2 Alberta, for example, at levels up to 60 parts per
3 million in the prairies and, in fact, at higher in
4 the Fraser Valley.

5 So I think what we're talking about is
6 that at about 15 to 20 parts per million Olsen-P,
7 the responses are small. And any agronomic
8 recommendations are only for very, very small
9 rates of phosphorous addition that would be less
10 than crop removal. Like, there is no agronomic
11 advantage to pushing your soil test phosphorous
12 beyond that, if you are paying for fertilizer, for
13 example.

14 Does that help to explain, Wayne?

15 MR. MOTHERAL: Yes. I am relating it
16 to years ago when I used to get soil tests back
17 from the University of Manitoba, of course. But I
18 am not even sure what test was being run there.
19 Was that an Olsen test?

20 MR. GREEN: Yes.

21 MR. MOTHERAL: Because I always
22 understood that you needed probably 40 pounds of
23 N, you know, at least, 40 pounds of N, or
24 50 pounds, to grow a reasonably good crop, is that
25 right or not?

1 MR. FLATEN: The issue of nitrogen
2 versus phosphorous needs to be sorted out, but
3 also pounds per acre versus parts per million.
4 All of these units that we use are designed to
5 confuse people. Otherwise, anybody could do this,
6 and we would lose our jobs, you know, right?

7 THE CHAIRMAN: Petra, did you have a
8 comment?

9 MS. LORO: Yes. Just emphasizing
10 something that Don said, the soil fertility guide
11 the basis of that is the need to purchase
12 additional fertilizer. So those recommendations
13 are based on the agronomics and the economics for
14 the producer. Do you need to go out and purchase
15 more fertilizer, given a certain soil test value,
16 in average conditions or most of the time?

17 But when we looked at the literature,
18 the total body of literature for crop response, we
19 would see that, in some instances, there was crop
20 response. And definitely for some crops, up to
21 higher soil test values. And the critical values
22 seemed to be more in the range of 60 parts per
23 million. What the soil fertility guide and these
24 other recommendations were not based on was the
25 need to land apply manure. So you may not need to

1 go out and purchase fertilizer, but the livestock
2 producer still has manure that he needs to land
3 apply. So the philosophy for the application
4 rates is a bit different.

5 MR. MOTHERAL: Thank you. I'm sorry,
6 it was the ppm and the pounds per acre, and that
7 has clarified things. That is all I needed to
8 know.

9 THE COURT: I am not sure if it is
10 clarified yet.

11 MR. MOTHERAL: Well, part of it, yes,
12 sorry.

13 MR. TRUELLE: Okay. And thank you
14 for the precision here.

15 So if you look at the Quebec reg right
16 now, if you want to make certain comparisons with
17 the data here, you almost have to divide by four.
18 So it means that the threshold right now, and crop
19 removal, is about at, well, I will say 55. So if
20 you look at the 55, 65 and 75, it is based on crop
21 yield. So for different crops, different yields,
22 you will have different crop removal. So you have
23 a line 55, 65, 75, it is about the crop removal.
24 So it means that soil between about, I will say,
25 35 to 60, between 5 and 10 percent saturation DPS,

1 the limit is about crop removal right now in
2 Quebec. So I think it is important to make sure
3 that we understand the principle here.

4 Also, I printed a copy from a paper
5 that shows you or gives you different values for
6 different jurisdictions, as well, based on
7 agronomic and environmental thresholds, as well,
8 so you also have Mehlich different values,
9 depending on each jurisdiction.

10 THE CHAIRMAN: Can I just interrupt?
11 What is the Mehlich, or Mehlich-III, is that just
12 a different --

13 MR. TRUELLE: It is a different
14 extraction. It is usually used in Quebec and
15 under different conditions, acid conditions. So
16 in Quebec, if you look at the eastern part of the
17 Unites States, it is a regular extraction that is
18 used.

19 THE CHAIRMAN: So it is an alternative
20 to Olsen?

21 MR. TRUELLE: Yes. Well, Olsen is
22 good for calcium soils. If you have alkaline
23 soils, this test is more appropriate for alkaline
24 soils. Mehlich-III is more appropriate for acidic
25 soils.

1 THE CHAIRMAN: And on this chart --

2 MR. TRUELLE: Yes.

3 THE CHAIRMAN: -- we have the two
4 columns, agronomic versus environmental.

5 MR. TRUELLE: Yes.

6 THE CHAIRMAN: Can you just explain
7 what the two -- the difference between the two or
8 what the two are?

9 MR. TRUELLE: Well, this is based on
10 the same comment that we heard a few minutes ago.
11 You have the agronomic concept, based on the fact
12 that at a certain level you do not have any
13 economic response. There is some room between
14 agronomic and the environmental thresholds. So we
15 know that for certain crops the response will be
16 different. And even at 20 or 25, crops will still
17 respond to phosphorous.

18 But at some point, if you exceed the
19 environmental threshold, you are losing
20 phosphorous. So the point here is, and I think
21 this is the most important part of the phosphorous
22 reg is to make sure that we exactly know the first
23 level, which is the agronomic level, and the
24 environmental level where there is a problem or
25 when the problem will occur.

1 THE CHAIRMAN: And the environmental
2 level, you said beyond that there is a loss of
3 phosphorous. By that do you mean runoff?

4 MR. TRUELLE: Runoff. Or, even in
5 Quebec, it is runoff. I mean, they are receiving
6 250 centimetres of snow per year, so the spring
7 runoff is very significant. But, also, they are
8 losing phosphorous by leaching. So when there is
9 rainfall, and there is a high DPS, so when the
10 soil exceeds a certain DPS level, which is about
11 10 percent right now, you are losing phosphorous
12 by leaching, so you have both processes together.
13 And we want to make sure that we are able to
14 really estimate the right value for the agronomic
15 as well as the environmental threshold.

16 THE CHAIRMAN: So this might be an
17 over-simplification, but the agronomic threshold,
18 beyond that, there is really no economic value?

19 MR. TRUELLE: Depending on the crop.
20 Yeah, this is what Don said, it depends on the
21 crop, but usually there is some room.

22 THE CHAIRMAN: And the environmental
23 threshold, beyond that, there is concern for the
24 environment?

25 MR. TRUELLE: Yes. Yes.

1 THE CHAIRMAN: So that might be an
2 over-simplification.

3 MR. TRUELLE: Yes, this is exactly.

4 MR. MOTHERAL: I have a question.

5 MR. TRUELLE: Yes.

6 THE CHAIRMAN: No, go ahead.

7 MR. MOTHERAL: I heard you say
8 "leaching". Some is lost through leaching when
9 you have that excess spring runoff and you have
10 some that is leaching. What is the measurement of
11 how much is lost in leaching?

12 MR. TRUELLE: Yes. Well, you have
13 the runoff processes, which is one part of the
14 problem. You will measure it by runoff. And you
15 have some studies that will make some estimates of
16 the amount of soil. And you have the particulate
17 phosphorous. And you have also the soluble
18 phosphorous, so it is a complex mechanism.

19 On the other hand, you also have the
20 leach -- well, kind of a leaching through the soil
21 profile. And this is a different concept.
22 Phosphorous is moving because of the soil. And
23 the DPS is a way of looking at the capacity of the
24 soil to retain the phosphorous. When you exceed
25 this capacity, it is like a sponge. Phosphorous

1 will just leach through the soil profile. And
2 right now, in some parts of Quebec where you have
3 a very large concentration of livestock, soil
4 tests are really high. They are losing
5 phosphorous by runoff, as well as by leaching.
6 And so you will measure phosphorous in the
7 drainage system.

8 Since all of the fields are almost
9 drained right now in Quebec, it is quite easy to
10 have a measure of the soluble phosphorous that
11 will be lost by looking at the drainage outlet.
12 So you will be able to measure the concentration
13 of phosphorous in the water just by looking at the
14 drainage system outlet. And so there is an easy
15 way to do it.

16 In some fields in Quebec it is flat
17 land. So the St. Lawrence lowland is very flat.
18 It is a zero to two percent flat land. The clay
19 soil is almost the same as here. And they will
20 probably, some time -- the leaching will be,
21 probably, the most important phenomenon right now.
22 And if the soil is flat, and you are able to
23 control erosion, you will lose phosphorous by
24 leaching through the soil profile. And so it is
25 both those mechanisms at the same time that will

1 play, depending on the conditions and the DPS, as
2 well.

3 MR. MOTHERAL: You see, my question
4 was: How do you measure the leaching? Is it
5 through the ground there?

6 MR. TRUELLE: It is through the soil
7 profile. And as I said, it is easy to measure if
8 you have a drainage system. If you do not have a
9 drainage system, it is a little bit more complex.
10 But when you have a drainage system, it is very
11 easy to measure.

12 MR. MOTHERAL: Well, there is not that
13 many --

14 MS. RAWLUK: Tidal.

15 MR. MOTHERAL: Yes, you mean tidal, we
16 won't have that in Manitoba.

17 MR. TRUELLE: Yes. And the processes
18 are still occurring, but we do not probably know
19 how.

20 MR. MOTHERAL: Okay. I think I am
21 satisfied there.

22 MR. TRUELLE: So you have here the
23 distinction between agronomic threshold and
24 environmental threshold.

25 I gave you also another article which

1 is trying to relate this level of Mehlich-III and
2 different threshold values. Usually, the values
3 for the environmental threshold, it is usually
4 low, I will say. And when you are exceeding 100
5 on 120 Mehlich-III milligrams of P, it becomes to
6 be a problem, usually speaking.

7 So my next page, my last page, and it
8 is not recommendations, so I probably didn't use
9 the right words. It is probably more of a summary
10 or proposal. It is not really a recommendation.
11 It was not the right word there.

12 So I designed a table, which is about
13 the Quebec reg right now, so in terms of Olsen-P.
14 So in order to understand what will be the Olsen-P
15 value associated with a certain DPS and the
16 maximum annual application of phosphorous, I tried
17 to transfer the Quebec reg to the Olsen-P test.
18 And you will just see that between 0 and 30 it is
19 nitrogen. Between 30 and 60, depending on your
20 DPS, in Quebec it is two or one time crop removal.
21 And if it exceeds 60, right now, it is 1.5 to 1
22 time crop removal depending on the DPS. And for
23 very, very high soil test Mehlich-III, such as 120
24 or 130 ppm of Olsen, it is below crop removal.

25 Is it working? Well, they did also

1 large studies on all of their -- they used 276
2 field trials to look at the reg and if crops are
3 going or not. And, usually speaking, if you look
4 at the agronomic concept, people are able to grow
5 crops based on this regulation here. And they are
6 also trying to look at the environmental impact.

7 They also made last week -- I just
8 received an article about the reg. And after 10
9 years, they made an evaluation of the reg. And,
10 finally, what they found is for poor soil, so if
11 you are below 22 Olsen-P test, if you are using
12 the nitrogen concept here, soils are increasing
13 right now in Quebec, so this is what they are
14 looking for. If it is poor soil, then they want
15 to increase the soil P tests.

16 For soil between 22 and 40, it is
17 after 10 years, they didn't see any change in the
18 soil P test. And so they are keeping the soil P
19 test at about 22 to 40, just to make sure that
20 there is no increase. And if you are looking at
21 soil between 40 and 65, now it is slowly
22 decreasing. So they want to bring the soil P test
23 at about between 22 and 40. And for soils that
24 are higher than 65, they decrease it by almost 30
25 ppm in 10 years.

1 So the purposes of the reg is just to
2 make sure that at low levels you increase your
3 soil P test. At above, or optimum level, you do
4 not want to increase it. And when it is very
5 high, you want to decrease the soil P test, based
6 on the reg right now here. And one of the
7 conclusions is that farmers are getting better
8 yields and they are spending less money on
9 commercial fertilizers. So this was after 10
10 years.

11 THE CHAIRMAN: Just a question, Marc.
12 Should we pursuing a similar goal in Manitoba or
13 is that what we are doing? Is that the intent of
14 the --

15 MR. TRUELLE: Well, I think we have
16 to talk about that, I guess, today. Yes, it is
17 part of the reg. In fact, the reg has been
18 adopted, but it is not enforced right now. I
19 mean, we still have until November 10, 2008, to
20 enforce the reg. And so I think we have time to
21 look at different options just in making sure that
22 we are going in the right direction here.

23 MR. YEE: Marc, I have a couple of
24 questions.

25 MR. TRUELLE: Yes.

1 MR. YEE: Is there good correlation
2 between the various test protocols for calculating
3 soil P?

4 MR. TRUELLE: Well, it takes time.
5 And you need a lot of lab tests to make sure. But
6 when it is done, it is well done and it works
7 well. So you have to be very careful about the
8 way that you are doing it. But I think that Wole
9 did a good job about that.

10 And so I think we have -- for me, I
11 think, in Manitoba right now we have good data on
12 that. And I do not feel that we are in the dark
13 right now. We still have some good information on
14 studies. And I am probably able to use all of the
15 information. We probably need to emphasize a
16 little bit more the direct link between DPS and
17 water extractable, but I think it has been done
18 mostly right now.

19 MR. YEE: And the other question that
20 I had was that in your table 6-3 that you show the
21 comparison between the agronomic and the
22 environmental thresholds.

23 MR. TRUELLE: Yes.

24 MR. YEE: Is it because of the test
25 protocol or is it due to soil conditions? Why is

1 there such a variation between the different
2 States?

3 MR. TRUELLE: Well, maybe an easy
4 answer for that is, yes, you have science behind
5 it and you have also political and social issues.
6 So this table probably reflects both concepts
7 right now.

8 MR. YEE: Okay, thank you.

9 MS. LORO: I would just like to come
10 back to the first question about the correlation.
11 My recollection, and I am going to rely on Don and
12 Wole, was that between the different soil test
13 extractants, that the correlation wasn't strong
14 enough for us to convert from one to the other,
15 which is why we moved away from that and focused
16 on Olsen's P, and that the relationship was less
17 strong as you went into manured soils.

18 MR. AKINREMI: No. For soil tests,
19 while we had two studies, we had one where we did
20 not consider manure soils. And they were very
21 good. I mean, the correlation, we have
22 correlations between all tests. And then we did
23 another study in which we included manured soils.
24 And then the correlations, the correlations -- I
25 think that the correlations are pretty solid for

1 soil tests in Manitoba. I think that they are
2 reliable.

3 MS. LORO: For converting between the
4 two?

5 MR. AKINREMI: Yes.

6 MS. LORO: And what was the conversion
7 between the Mehlich-III and the Olsens?

8 MR. FLATEN: I think we need to -- I'm
9 sorry. I think we need to distinguish between
10 correlations that look good from a science point
11 of view and correlations that would look good from
12 a regulatory point of view. There is, I think,
13 pretty good agreement among the soil test methods.
14 Like we have talked about today the Olsen method,
15 which is the one the reg is based on, and we have
16 talked about Mehlich-III. Those are quite highly
17 correlated. And I forget what the exact figures
18 are, but there might be something like 80 to
19 90 percent of the variation, and one can be
20 explained by the other.

21 But from a regulatory point of view,
22 there are still these outliers in that
23 relationship. And I think that that was the
24 reason why the Phosphorous Expert Committee wanted
25 to go with a single, you know, specified method of

1 measurement for regulatory purposes. So I think
2 it is important to distinguish that there are some
3 good general relationships.

4 And then these relationships start to
5 break down more when we start looking at the
6 extractable phosphorous with, let's say, Mehlich
7 or Olsen extract, compared to the phosphorous in a
8 water extract. The water extracts do not
9 correlate as well with the soil test, as the soil
10 test methods do among themselves, the conventional
11 tests.

12 And then, thirdly, you have to
13 eventually talk about: Well, what's the
14 correlation between these soil tests and what you
15 measure in water that is running off of that into
16 some Manitoba river or stream or lake? And so
17 when we're talking about correlations, let's just
18 be cautious and say that, yeah, there is some good
19 correlations between the agronomic soil tests in a
20 lot of situations. But they start to break down a
21 little bit more as soon as you start looking at
22 water extractable phosphorous in a lab. And then
23 you have to make that next step to look at the
24 water, the concentrations of phosphorous in water
25 in real watersheds.

1 And so we are just going to -- I think
2 that is that just, sort of, sets the stage for
3 this discussion. We have to be cautious. But
4 there are two very good studies that Wole's team
5 has done to show the relationships among all of
6 these different ways of measuring. And it is an
7 enormously valuable pair of papers that we can
8 easily share with the Commission, you know, if
9 anybody is interested. And they are both
10 published.

11 MR. YEE: Yes, I appreciate that
12 clarification. Because that is the biggest
13 problem I'm having right now is to try to
14 correlate how we test for P in soils versus, you
15 know, this limit that we have established for
16 water quality to protect the environment from
17 eutrophication. And so I have been just trying to
18 get my head around that.

19 MR. FLATEN: Yes, it is a good
20 question.

21 MR. TRUDELLE: So for the point 3 and
22 point 4, I think it is not probably part right now
23 of the discussions, so I will probably come back
24 later in the day about that. And also if you want
25 some copies, I made some copies of all of these

1 studies here so I can share these copies here with
2 you and so on.

3 THE CHAIRMAN: Thank you, Marc. Yes,
4 I mean, I think you've got -- I think we should
5 come back later on to your last page.

6 MR. TRUELLE: Yes.

7 THE CHAIRMAN: And 3 and 4. I mean,
8 in number 4, in particular.

9 MR. TRUELLE: Yes, that's okay.

10 THE CHAIRMAN: There is good
11 provocative suggestions there.

12 MR. TRUELLE: Yes.

13 THE CHAIRMAN: And so what was the
14 driving purpose behind this regulation? Was it
15 agricultural or economic -- or I mean
16 environmental?

17 MR. TRUELLE: You mean for Quebec?

18 THE CHAIRMAN: No. No, for the
19 Manitoba regulation, the Manitoba Manure and
20 Mortalities regulation?

21 MR. FLATEN: Would you allow me to
22 speak to the development of the Manitoba
23 regulation because that predates -- that is before
24 Marc.

25 THE CHAIRMAN: Yes, sure.

1 MR. FLATEN: Is that all right?

2 MR. TRUELLE: Yes.

3 THE CHAIRMAN: Yes, absolutely. I
4 mean, just let me make an overriding comment,
5 okay? This may look a little or today may be a
6 little haphazard and a little unstructured, but we
7 have a whole bunch of questions that keep coming
8 up among us. And we thought, well, if we sat down
9 and wrote to different ones of you, or e-mailed
10 and got back responses and then sent it back, this
11 could take forever, and we would miss a lot of the
12 nuances. So that's why we asked that all of you
13 come here today.

14 And we will be firing out questions.
15 They may seem disjointed and haphazard, but I
16 think it will help us. Particularly, you know, if
17 we throw out a question, then we can get an
18 immediate sort of debate or a response from
19 different parties, rather than trying to do it
20 through e-mails or correspondence. So that is a
21 bit of an override about today.

22 Now, you wanted to talk about the
23 regulation. Petra and Dwight have comments. Do
24 you want those comments before Don?

25 MR. WILLIAMSON: Perhaps Petra and I,

1 we are going to be saying the same things. But I
2 was just going to, if you wish, provide just a bit
3 of context. And it is probably best to come from
4 Conservation. But as Don mentioned, Marc wasn't
5 working for Conservation at that time.

6 MR. TRUELLE: Yes.

7 MR. WILLIAMSON: In terms of the
8 evolution of the existing regulation. And then,
9 Don, would that be appropriate, then, for you to
10 take over from there in terms of the Phosphorous
11 Expert Committee?

12 MR. FLATEN: Yes. I am just trying to
13 work backwards from the future to the past.

14 THE CHAIRMAN: Sure.

15 MR. MOTHERAL: That's because he is
16 talking to backward people.

17 MR. WILLIAMSON: So essentially --

18 THE CHAIRMAN: You may have to sing
19 for your lunch.

20 MR. WILLIAMSON: So essentially in
21 Manitoba, the first Livestock Manure Mortalities
22 Management Regulation was enacted in 1998. And
23 that was intended to deal with environmental
24 issues related to the livestock sector, in
25 general, and application of livestock manure to

1 lands. That is a regulation under the Manitoba
2 Environment Act.

3 And in the first number of series of
4 that regulation, manure, or the application of
5 manure, was based only upon its nitrogen content.
6 It was recognized, in 1998, that phosphorous was
7 also an issue, but a decision was taken that
8 insufficient information was available at that
9 time to make specific recommendations or
10 regulatory clauses in that regulation to deal with
11 phosphorous.

12 In late 2002, the issue of phosphorous
13 continued to be raised. And there was a need to
14 more fully consider how best to deal with that
15 issue, in terms of its application also to
16 agricultural lands. So in late 2002, the Manitoba
17 Government struck the Manitoba Phosphorous Expert
18 Committee to look at the entire issue of
19 phosphorous as it relates to animal manure and its
20 application to lands. And their charge was to
21 come back to government with a recommendation on
22 the best way to deal with phosphorous.

23 Arising from the report of the
24 Manitoba Phosphorous Expert Committee, then, in
25 early November of 2006, last November, the

1 Manitoba Manure Mortalities Management Regulation
2 was once again revised now to include thresholds
3 and principles around management of animal manure
4 on the basis of both nitrogen and phosphorous.
5 And so that was -- that is sort of the evolution
6 of it, in a nutshell.

7 THE CHAIRMAN: Thanks, Dwight. Petra,
8 did you have, sort of, more background comment
9 before Don gives us a bit of an overview?

10 MS. LORO: No. That was what I wanted
11 to say. Thanks, Dwight.

12 The only other thing is we were quite
13 concerned about the fact that when we were
14 applying manure continuously, year after year,
15 based on nitrogen, that we were seeing phosphorous
16 buildup in the soils.

17 THE CHAIRMAN: Thank you.

18 MR. FLATEN: This is going to be sort
19 of like a sermon. But, I mean, I guess
20 considering the amount of issues of faith and
21 belief that will pervade this discussion, it is
22 probably appropriate to quote gospel and verse.

23 But I think you've all got -- I have
24 seen some of these loitering around. If you take
25 a look at page 25, you will see the third

1 commandment from the Phosphorous Expert Committee.
2 We didn't come up with 10. We only came up with
3 three. But it starts off saying that:

4 "The preceding recommendations..."
5 that we came out with, including the soil test P
6 thresholds and special management areas,

7 "...are only a first step towards
8 improved environmental sustainability
9 and are focused primarily on reducing
10 excessive phosphorous loading onto
11 agricultural land and adjacent water
12 bodies from manure. They are based on
13 the best available scientific
14 information and judgment, but little
15 scientific data related to this issue
16 exists for Manitoba."

17 And I think it is very, very important
18 that what we did, at the time, was try to bring
19 forward what we considered to be the best
20 available information to bear on this issue. And
21 we deliberately chose a fairly high threshold
22 because we didn't feel we had enough scientific
23 evidence to lower that threshold, at least
24 scientific data related to this issue from
25 Manitoba.

1 And so I think Marc's proposal helps
2 challenge us to come back to this. Like, this
3 recommendation was actually formulated by the
4 Phosphorous Expert Committee two years ago. And I
5 think, you know, we have learned some more in the
6 last two years. And I think it is an important
7 issue to debate and discuss, but I think we should
8 go back and talk about the basis for the
9 recommendations of two years ago. And they are
10 really the regulation that came in in November in
11 2006.

12 There is two streams of information.
13 First of all, there is scientific evidence
14 pointing towards a threshold of approximately 120
15 parts per million Olsen in a few soils of the
16 world, okay? And some of that data has been
17 published by Andrew Sharpley, the guy that put
18 that table together.

19 THE CHAIRMAN: Yes.

20 MR. FLATEN: That was quoted in Marc's
21 work there. So that was one stream of work. But
22 that is -- but that is at the upper end of the
23 literature. Ours could easily be -- our
24 environmental thresholds could easily be lower
25 than that, but there was not evidence that is

1 relevant to Manitoba being -- it was not available
2 to us, anyways.

3 The other thing is that we were
4 considering the policies and regulations of our
5 nearby neighbours. And if you consider what the
6 Minnesota Pollution Control Agency goes with, it
7 is basically a 60 and 120 parts per million
8 Olsen-P threshold, based on the distance away from
9 streams and ditches. 60 parts per million
10 threshold near streams and ditches and 120 parts
11 per million away.

12 So from both a science and a policy
13 standpoint, we thought that the starting point,
14 that is a number less than infinity, we should be
15 no higher than that 60 to 120 parts per million
16 threshold. And if we could make that first step
17 towards something less than infinity, that would
18 at least prevent the extreme concentrations that
19 have accumulated in areas like southern Alberta,
20 where they are accumulating 2,000 or 3,000 parts
21 per million soil test P. We for sure did not want
22 to get that high.

23 THE CHAIRMAN: Why is Alberta's rate
24 that high? Is it from excessive manure
25 application or is it just natural?

1 MR. FLATEN: Yes. No, it is from
2 excessive manure application.

3 But one of the greatest
4 disappointments I have had, as a result of the
5 enormous investment of effort that we put into the
6 Phosphorous Expert Committee, is that nobody is
7 taking recommendation 3 seriously. We, actually,
8 have not invested, in this province, very much
9 effort at all in checking to see whether these
10 environmental thresholds are, indeed, appropriate
11 for our watersheds.

12 And so I think that, you know, in
13 terms of the basis for these, yeah, it was kind of
14 flimsy. It was kind of at the upper end of the
15 thresholds that are in the world literature. And
16 it was kind of, sort of, similar to what Minnesota
17 had in place. But it was the best we thought we
18 could do as the initial step.

19 It is very important that we engage in
20 this debate and discuss the concepts that Marc has
21 proposed as part of that third commandment type of
22 exercise. We do have to look at what we have got
23 here, what we need to get in terms of additional
24 information, and where we should be going with
25 these environmental thresholds.

1 But these thresholds were not picked
2 because of divine inspiration that we knew exactly
3 what they should be, and came down from a
4 mountaintop with them carved in stone. They were
5 our best estimate based on, like I say, maybe the
6 upper end.

7 But, you know, if we find information
8 that is concrete enough to justify moving to a
9 lower threshold personally, you know, I think we
10 should move in that direction. And I think one of
11 the directions that will have to come up for
12 debate later in the day is whether we have that
13 evidence yet.

14 But I think it is very important to
15 answer the question that you posed at the
16 beginning of this roundtable: Where did the
17 current regulations come from? And that is, more
18 or less, kind of, sort of, where they came from, I
19 think. Would you agree, Petra?

20 MS. LORO: Yes. I think that your
21 reference to the 120 being at the upper end I
22 would agree with. But where we came in at the 60,
23 and how we managed it, was pretty consistent with
24 about midline of what other jurisdictions were
25 doing. And if they were doing anything with

1 phosphorous, which isn't the case with
2 Saskatchewan, and hasn't been the case with
3 Alberta yet.

4 But when we looked at Ontario, and we
5 looked at Minnesota, and we looked not just at
6 their regulation, which may say one thing, but how
7 it was administered. And so we brought those
8 people here and said: Well, exactly how are you
9 administering that?

10 And you would find out that things
11 were -- we were not far off at all. We are very
12 transparent in how ours is prescribed. It is very
13 obvious. Whereas, in Ontario, it was hidden in
14 their software. You would have to know how the
15 calculations were done, and that sort of thing.

16 I think we are fairly middle of the
17 road. There are lower thresholds than 60 parts
18 per million, and there are higher. And there are
19 some jurisdictions where there are none. I think
20 where we may be unique, or we were at the time,
21 was at the 180 end.

22 There were not other jurisdictions
23 willing to come forward and say: No more manure.
24 If you hit this soil test, no more manure. You
25 have to go to a different field.

1 I think we were unique at the time. I
2 don't know if that is changed since then to do
3 that, because it is quite a hardship for producers
4 who have reached that level, who might not have
5 additional land, in terms of what their options
6 are.

7 And I think we considered more than
8 just the soil science through this committee and
9 their processes. And we looked at technologies
10 available to livestock producers in order to
11 comply. And our confidence was that by making the
12 thresholds more rigorous, more demanding, that we
13 would actually see an improvement in Lake
14 Winnipeg, which was the ultimate goal, I think,
15 was to protect water. And we did not have data
16 that connected the soil test values to our water
17 quality values. We have both, but we're not able
18 to measure -- to make that connection between
19 those two bodies of literature.

20 MR. FLATEN: I think Dave was there,
21 too, another witness.

22 MR. MOTHERAL: Then what I'm hearing
23 is -- like, the question was asked, environment
24 was certainly the driver of this whole -- this
25 whole operation or this whole thing. But when it

1 became -- when the regulations came out, it became
2 environment and economics, was that what I am
3 hearing there?

4 MS. LORO: I think that when you look
5 at the way the regulation has a period of time of
6 phasing in, even though they are not necessarily
7 the phase-in dates of 2008, but the fact that
8 producers can continue to apply manure, based on
9 nitrogen, if they are below the 60 parts per
10 million. And then above 60 to 120, it is twice
11 the crop's removal of phosphorous. And that buys
12 some time, for sure, for producers to explore
13 technologies. Because their ultimate goal will be
14 to continue to apply manure based on nitrogen, and
15 so they need to bring down the phosphorous
16 concentration of their manure. That is a very
17 complicated issue in terms of feeding strategies,
18 phytase, technologies that are available. If they
19 can't do that, they need technologies for manure
20 management. How low can the spreading equipment
21 go, that sort of thing, and then the whole area of
22 treatment technologies.

23 And so there is definitely a huge
24 economic component to this. The thresholds are
25 focused primarily on soil science, but it was not

1 done in isolation. It was looked at more broadly
2 by the committee than that.

3 MR. TIMMERMAN: I would also like to
4 remind the group, briefly, that there are other
5 provisions in the regulation, stemming from
6 recommendations from the Phosphorous Expert
7 Committee, that address other aspects of the
8 issues beyond the soil test thresholds. That
9 might be the crux of the matter today.

10 But there are the restrictions on
11 manure application in the Red River Valley Special
12 Management Area that is to address the movement in
13 phosphorous or what's commonly referred to as
14 transport. So there are other aspects to the
15 approach to this. And that one, I think, is an
16 important one. And because we know that winter
17 application of manure is impossible to defend on
18 the issue of economics, which is a reality,
19 especially for the producers in question, because
20 they will be small ones. So the committee did
21 address more than just the loading the bucket
22 issue. The transport issue was factored in, as
23 much could be, with the science available at the
24 time.

25 THE CHAIRMAN: Well, it also addressed

1 the setbacks?

2 MR. FLATEN: Special management areas
3 was our language.

4 THE CHAIRMAN: Yes. But even the
5 setbacks from waterways and edges of lakes and
6 things like that.

7 The question came up earlier, before
8 we gathered here this morning: All of this rain
9 that we have had for the last few days, has that
10 had any effect on transport in the Red River
11 Valley, for example? Would that have had any
12 affect?

13 MR. GREEN: Probably.

14 MR. TIMMERMAN: And I do not want to
15 sound tongue-in-cheek, but I will say it anyway,
16 the first thing I thought about, actually, was the
17 lack of separated sewers in the city as I saw the
18 water rushing down the driveway.

19 But I think that timing is key on that
20 one. A couple of years ago we had a major rain
21 before the frost was out of the ground. It was in
22 March. It was pretty strange for that to happen.
23 But I would say that that would be the kind of
24 scenario where we would be most concerned about
25 losses, at that time of year, with the frost still

1 on the ground.

2 THE CHAIRMAN: Dwight, did you have
3 something?

4 MR. WILLIAMSON: I was just going to
5 respond by saying: Yes, when we pour more water
6 onto the landscape, and given the relationships
7 that we know between phosphorous and the soil, and
8 water loss from other environments, we can
9 reasonably expect there to be more phosphorous
10 coming off with more water moving across that
11 landscape.

12 But, of course, as Mitch mentioned, it
13 is not the only outcome, and the only transport
14 mechanism, of phosphorous and nitrogen to Lake
15 Winnipeg during high rainfall events. But it is
16 reasonable to expect that it would be one.

17 MR. FLATEN: Yes, just to put it into
18 context, and Ian is very familiar with this
19 because he worked on it on a literature review to
20 look at this as well. But snow -- and it is also
21 published in the Lake Winnipeg Stewardship Board
22 Report. But there is a little figure that shows
23 the phosphorous loading from the Red River at
24 Selkirk into Lake Winnipeg. And the vast majority
25 of runoff in the prairies occurs during snow melt,

1 averaging 80 to 85 percent.

2 So although, by the time we start
3 going outside again from our winter hibernation,
4 these rainfall events look like they are really,
5 really important, the majority of the damage, in
6 terms of nutrient loading, has already occurred by
7 the time the summer rains come along. It doesn't
8 mean that they are inconsequential. But on
9 average, probably 80 to 85 percent of the runoff
10 and I suspect a nearly equal proportion of
11 phosphorous loading, occurs during snow melt in
12 the Canadian prairie watershed, which is the
13 watershed we live in. So it doesn't mean that
14 this isn't important, but the spring runoff snow
15 melt is a lot more important.

16 MR. MOTHERAL: I will make a comment
17 on that one, too, and you can shoot me down on
18 this one. Would not the crop development, at this
19 stage of the -- when this rainfall has come, there
20 is root development and phosphorous. I mean, that
21 is important to root development. Would a lot of
22 that phosphorous already be taken up by the plant,
23 rather than runoff? I mean, rather than a rain
24 before a crop was planted?

25 MR. AKINREMI: I don't think that

1 there is much development, at this stage, within
2 this province, though. I mean, before you have
3 crop development, you are looking at probably June
4 to July, yes, at this stage.

5 MR. YEE: These peak events during the
6 snow melt, and the loading of the phosphorous, can
7 we attribute it to something in particular? Like,
8 I am thinking, and I realize that the small
9 operations can still spread in the wintertime.
10 Are they the major contributor, as a result of
11 this, or is it just residual P that is being
12 washed into the waterways as a result of the snow
13 melt?

14 MR. FLATEN: Yes. It is all of those
15 things. And we're doing some, what I consider to
16 be interesting experiments looking at the variety
17 of sources. Ian tipped us off on the
18 concentrations of phosphorous in snow itself.
19 Snow and precipitation load 600 tonnes of
20 phosphorous directly into Lake Winnipeg every
21 year. That is more than what Winnipeg dumps in
22 its waste water system. So right off the bat the
23 snow has quite a bit of phosphorous in it. It
24 picks up additional phosphorous from the
25 vegetative residues. That phosphorous may or may

1 not be intercepted by the soil as it goes into the
2 soil and runs across the soil. Maybe some of that
3 vegetative phosphorous will be reattached to the
4 soil and recycled.

5 And so there is all sorts of processes
6 and all sorts of sources. And it is one of the
7 factors that I think contributes to our
8 uncertainty is that we do not know as much about
9 that as we would like to. But in the final
10 analysis, we're confident that soil test
11 phosphorous concentrations are still a very, very
12 important factor. It is showing up again and
13 again.

14 There is a paper that will be
15 published imminently from Alberta Agriculture
16 showing remarkably consistent and strong
17 relationships between phosphorous measured in
18 runoff water in watersheds there and the soil test
19 phosphorous within those small watersheds. We
20 have got evidence of that from 14 regional
21 watersheds in Manitoba at a larger scale. We have
22 got runoff experiments in the laboratory.

23 We're not going to be able to ignore
24 the contribution that comes from high
25 concentrations of soil test phosphorous. It is a

1 very important player, but it is probably not the
2 only one.

3 THE CHAIRMAN: Don, what sort of --
4 or, Ian, since Ian was the one you said tipped you
5 off, what's the source of the phosphorous in the
6 snow, the source or sources, of the phosphorous in
7 the snow?

8 MR. HALKET: Well, that is a good
9 question. This originally was triggered by Rod
10 McGinn out in Brandon, who had some of his
11 students go out and measure snowfall. And what he
12 found was that starting with the snowfall in the
13 early fall, it was very rich in phosphorous,
14 compared to the snowfalls in the middle of winter.
15 And then, of course, in the spring, or
16 subsequently in the spring, the phosphorous
17 content of the snow increased again.

18 Now, what he suggested was that there
19 was a lot of dust, probably in the fall, in the
20 atmosphere. And that phosphorous may be a
21 freezing nuclei or a condensation -- a
22 preferential condensation nuclei for condensation
23 in the atmosphere, and that that is -- that that
24 was the source of it. And then slowly, as the
25 prairies sealed with the snow cover, that dust

1 source diminished. And then, of course, opened up
2 in the melt season again when the snow cover was
3 lost. And, therefore, that is was his -- that was
4 their premise, his students and him. But I
5 haven't seen any other work on that.

6 THE CHAIRMAN: So this was in fresh
7 snow, fresh snow that had fallen, not snow that
8 had sat on the ground that had absorbed stuff?

9 MR. HALKET: No.

10 THE CHAIRMAN: So is there phosphorous
11 in rainfall, as well, then?

12 MR. HALKET: Yes.

13 THE CHAIRMAN: A significant amount?

14 MR. HALKET: Well --

15 THE CHAIRMAN: And where would that
16 phosphorous come from? Would these dust
17 particles, or whatever, would it come from a
18 variety of sources or would that be natural?

19 MR. HALKET: Well, I think there is a
20 lot of wind erosion on the prairies.

21 THE CHAIRMAN: Yes.

22 MR. FLATEN: And on the planet.

23 MR. HALKET: And on the planet, yes.
24 I mean, we just happen to be east of the whole
25 fetch of the prairies when the wind is coming from

1 west and from the north. So I imagine that there
2 is a lot of dust moving through our atmosphere
3 that --

4 MR. YEE: Yes, there is, actually.
5 Because air section has -- well, we looked at data
6 for other reasons. But there is a fair amount of
7 data in Manitoba, in particular, that shows we
8 have relatively high dust levels, so I will just
9 mention that.

10 MR. HALKET: Yes. It would be an
11 interesting thing to do is to start measuring the
12 amount of phosphorous in precipitation, both rain
13 and snow, and to start documenting that.

14 THE CHAIRMAN: Well, we can blame our
15 neighbours. It gives us an easy out.

16 MR. HALKET: Well, I think when you
17 come back to the hydrology, or when you start
18 looking at this issue, one of the ways, and I
19 guess this is my training, is I like to look at it
20 from a mass balance type of perspective.

21 THE CHAIRMAN: What does that mean?

22 MR. HALKET: And mass balance is:
23 Here is the inputs of phosphorous into the system.
24 Here is the outputs of phosphorous into the system
25 or out from the system. And then if they do not

1 add up, then you've got some storage mechanism
2 going on there.

3 And I, sort of, looking at this
4 issue, believe that there is a huge input of
5 phosphorous into the system, and not so much in
6 terms of the output that we measure, if we look at
7 what's going out in Lake Winnipeg. And,
8 therefore, I would suggest that there is a lot in
9 storage in the watershed.

10 And our hydrology, where we get, say,
11 a 10 year flood, spring snow melt flood that
12 inundates all of the land, a 10 to 20 year flood
13 of that level, I suspect that that takes that
14 storage that has been contained over five or seven
15 or eight years, or whatever, within the watershed
16 and then whooshes it out of the system.

17 And I am not so sure that our records,
18 in terms of water quality records and gauging
19 records, can actually show that. Because at the
20 outlets, I think, I do believe, that the records
21 or the water quality is done once every two to
22 three weeks or every week. Dwight would help me
23 with this.

24 But I am not so sure -- and even in
25 the '97 flood, when I look at the records, during

1 the whole '97 flood, there was one water quality
2 sample collected for that large peak event that
3 was over a month. And so we only have one water
4 quality sample to base our mass loading to the
5 lake on. So I would suspect that when we have --
6 or what I would like to see is that when we have
7 large flood events that we actually measure the
8 water quality daily at the outlets so that we can
9 actually see what is the loading to the lake when
10 these huge inundations take place. And they take
11 place probably every ten years, every five years.
12 And we go over bank and we flood, basically, the
13 whole valley, and I suspect that that is when the
14 phosphorous comes out to the lake.

15 THE CHAIRMAN: Dwight?

16 MR. MOTHERAL: I was just going to
17 make a comment first on that. Like, I thought we
18 had heard, during our hearings, that we had
19 information on water samples during floods.
20 Because did we not come to the conclusion, or that
21 there was a conclusion made, that because of the
22 excess of water, because of the quantity of water,
23 that it was all diluted, that it was diluted so
24 much that there was not any valid tests because of
25 the overabundance of water?

1 MR. YEE: That was some of the local
2 water studies that were done by some of the
3 conservation districts, yes.

4 MR. MOTHERAL: Okay.

5 THE CHAIRMAN: Dwight?

6 MR. WILLIAMSON: Perhaps just a couple
7 comments. First, I would agree with Ian in his
8 observations. I would support those. And it is
9 generally very consistent with our knowledge.

10 As a general rule, in terms of
11 monitoring streams in Manitoba, they are monitored
12 on a regular frequency of a monthly interval. We
13 are in the process of changing some of the way we
14 do that monitoring to make sure that, as Ian has
15 mentioned, we are able to pick up loadings from
16 short-term episodic type events. And that was one
17 of the recommendations in the last report of the
18 Lake Winnipeg Stewardship Board.

19 Prior to that, we have been doing some
20 of that work. During the large floods in southern
21 Manitoba during the summer of 2005, we did collect
22 a considerable number of samples from small
23 streams throughout, generally, the other Red River
24 Valley, and north to Lake Winnipeg, during that
25 period of time.

1 In terms of the 1997 flood, we were,
2 in fact, during that time, collecting samples
3 sometimes on a daily basis, sometimes every two to
4 three days. So we have a very good understanding
5 during the peak of that flood what was being
6 transported into Lake Winnipeg. So on very large
7 floods like that, we do have additional data.

8 But I would support Ian's observation
9 from his review of the data set that the -- if
10 storage is occurring in the system, there is loss
11 of storage or movement out of the system during
12 these large -- these large events. In the 1997
13 flood, when we looked at and when we calculated
14 loadings during the peak, that was the greatest
15 load in our set of records of phosphorous, at
16 least, delivered to Lake Winnipeg.

17 Interestingly, though, in -- also in
18 1997, there was also a major rainstorm event that
19 occurred partway through the summer in July and
20 August. So once the peak had receded, in which we
21 had an all-time delivery of phosphorous load to
22 Lake Winnipeg, the system was beginning to dry out
23 and then was inundated with a very large rainfall
24 event again.

25 And in the second event, we also saw a

1 very high load of phosphorous again being
2 delivered into Lake Winnipeg. And it was not
3 quite as high as what was delivered during the
4 peak but, clearly, it was an event that was moving
5 significant quantities of phosphorous off the
6 landscape again.

7 THE CHAIRMAN: And so what would be
8 the sources of that stored phosphorous that got
9 spread by the '97 flood, by this major rainfall,
10 other wet year events, what would be the sources
11 of that? Would it be livestock manure? Would it
12 be dust bringing phosphorous from elsewhere?
13 Would it be natural? Would it be all of the
14 above?

15 MR. HALKET: All of the above.

16 THE CHAIRMAN: And is one more than
17 the other or is it possible to tell?

18 MR. HALKET: Well, I think it is
19 possible, if you look at what is coming into the
20 watershed, certainly if you want to characterize
21 it as big grain fertilizer is probably the number
22 one. I was looking at this the other day. I was
23 just putting it together on an Excel spreadsheet
24 quickly. And then I was doing work with animal
25 units and hogs in Manitoba.

1 And, you know, I can bring it up.
2 But, basically, it went -- and the order -- I
3 don't have it in front of me here, but the order
4 was big grain was the number one producer, if I
5 took the fertilizer and reduced it to phosphorous.
6 And big grain was number one. Cattle was number
7 two. Hogs was number three.

8 I couldn't get a handle on migratory
9 birds and some of the other natural stuff that is
10 happening. For example, erosion is another
11 natural source of P. And I didn't get a handle on
12 snow, either, like, in terms of how much is coming
13 out or for precipitation how much is coming out of
14 the atmosphere.

15 But there is certainly -- I think
16 that there is certainly room for someone to look
17 at a mass balance. When I say that, is we are
18 measuring -- Dwight's department is measuring,
19 very adequately, the amount that we're losing out
20 of the system in terms of water. If we can
21 measure what's coming in, then we can start to
22 look at storage, and the changes, and try to get a
23 handle on how to -- and see if our management
24 policies are working to handle that storage and
25 how it is getting out of the watershed.

1 THE CHAIRMAN: Is it possible to
2 measure the inputs of what's coming in?

3 MR. HALKET: Yes, I believe it is.

4 MR. FLATEN: I think we're getting way
5 off track here. The key point that drives
6 phosphorous loss from most prairie watersheds is
7 the concentration of phosphorous in the soil.
8 Now, that soil test phosphorous represents a
9 balance between a variety of inputs and a variety
10 of outputs. And so, for example, if I am a grain
11 and oil seed producer, a farmer, and I ship
12 35 pounds of phosphate per acre every year to some
13 dumb city slicker who doesn't know how to grow his
14 or her own food, I have got to replace that
15 phosphorous somehow. So I have got to buy
16 fertilizer or, you know, put on manure to replace
17 that.

18 If my soil test phosphorous level
19 doesn't change in the process, if I am just
20 putting on as much as I am removing, that doesn't
21 necessarily change the risk of phosphorous loss by
22 very much off of that parcel of land because the
23 water is running over the land and it is reacting
24 with the amount of available phosphorous that
25 might show up in that water downstream.

1 And so I think it is very important,
2 when we're talking about some of these concepts,
3 like mass balances, and other sorts of things,
4 they are sort of like one layer of detail beyond
5 the most important factor, which is the level of
6 available phosphorous, let's say measured with a
7 soil test, in the soil. And is that level of soil
8 test phosphorous staying the same or going down or
9 going up? And that is what is going to regulate
10 the risk. And behind that are all of the
11 different factors that might be governing that
12 rise or decline in soil test phosphorous
13 concentrations.

14 I think it is very important to keep
15 focused on the prominent importance of soil test
16 P. And these Alberta studies, as I said, they are
17 not yet published. They are just in the galley
18 proof stage, accepted for publication. Almost
19 90 percent of the variability in phosphorous
20 concentration from one small watershed to another
21 watershed, in various locations in Alberta, was
22 explained by the soil test phosphorous
23 concentration.

24 So I think that there is a lot of
25 different areas that we could explore behind that.

1 But the key issue is to manage soil test
2 phosphorous and account for all of the natural
3 sources and the human management factors that are
4 adding phosphorous and taking it away. But soil
5 test P is a very, very important issue.

6 THE CHAIRMAN: We are bringing it
7 back, then, to our more immediate concern, hog
8 production. Has the pretty rapid expansion of the
9 hog industry in Manitoba over the last 12 or 14
10 years, has that had a significant or measurable
11 effect on the amount of phosphorous, both in soil
12 and in, ultimately, the waterways?

13 MR. FLATEN: I am not aware of any
14 data that is been collected to document trends in
15 soil test phosphorous in Manitoba. Ironically, in
16 Alberta, they have done these studies. But I am
17 not aware of any equivalent studies in Manitoba to
18 document trends in soil test phosphorous.

19 MR. AKINREMI: I think some have been
20 done. I think some have been done, Don. I think
21 that Lavis Lavinski and he did a soil survey of
22 soils in Manitoba. And he found -- he found
23 that -- I think that that was done by the Manitoba
24 Livestock Initiative.

25 And I think, generally, if I remember

1 his data, on average, for manured soils, he was
2 comparing manured soils to nominal soils, the
3 manured soils are about twice the value of nominal
4 soils. And that's -- even in our own study, which
5 is now a published paper, when we sample soils,
6 which we used in the paper that we published, when
7 we sampled -- when we took soil samples, and we
8 looked at the manure soils and the nominal soil
9 samples, on average, the manured soils are twice
10 the soil test P compared to nominal soils.

11 I mean, it is just a matter of input
12 and output. If you put more in there, the soil is
13 going to measure more. And so some studies have
14 been done.

15 THE CHAIRMAN: Marc?

16 MR. TRUELLE: Well, for the Manitoba
17 context, it is probably difficult for me to answer
18 that. But if I look at the experience that I have
19 thus far, I think the mass balance at the farm
20 level is very important. And, in fact, the whole
21 farm budget is a way of looking at the amount of
22 phosphorous that will be generated by the farm,
23 and the ability of the soil, or the farm, to
24 spread this phosphorous.

25 And if you are able to have a mass

1 balance that is quite at equilibrium, the soil P
2 test won't increase. And so a way of being able
3 to manage the soil P test is to be able to manage
4 at the full farm budget, as well. And so when you
5 are buying feed, when you are exporting crops,
6 when you are buying livestock, all of these farms,
7 they have the ability to manage their phosphorous,
8 as long as they have the tools to estimate the
9 value of phosphorous that will be imported and
10 exported. And so it is quite easy to do. And it
11 just requires some basic data for the farm to do
12 it. And it does not take time. And just by
13 looking at the whole farm budget, which is a mass
14 balance on the farm, you can easily detect the
15 area that will need some improvement or areas that
16 you will have to export manure.

17 So if you look at the southeast and
18 you have a mass balance for the farm, you will
19 easily find that some farms will need other
20 strategies, maybe a feeding strategy, or maybe
21 technology to import or export the phosphorous.
22 And other farms will be able to comply to the
23 regulations without any problems, even if they are
24 in an area with problems.

25 So I think it really -- this is what

1 we call, in Quebec, the farm pro forma approach.
2 It is really a site specific evaluation for each
3 farm. And even if you are in the southeast area,
4 which is a concentrated area, some farms will be
5 able to comply without spending too much money.
6 Other farms will need more improvement. But by
7 looking at the balance, on the farm basis, you can
8 easily see what are the problems and where you
9 have to spend money or time to improve the
10 situation.

11 And so I think it is just a universal
12 basic principle formula. Whether it's in Denmark
13 or France or Quebec or Manitoba or Alberta, or
14 wherever you are, I mean, the basic principle is
15 just to look at what is the balance on the farm
16 basis. And then you will introduce the concepts
17 or the equipment that you will need to improve the
18 situation.

19 THE CHAIRMAN: Ian?

20 MR. HALKET: Is there any information
21 on how much the soil P test decreases after
22 inundation by a flood in a soil?

23 MS. LORO: I don't think that there is
24 anything that specific. But there is definitely
25 data that shows that you saturate a soil and you

1 increase the solubility of P. So that's the first
2 thing that that is to mind when Dwight said, you
3 know, we had a huge flood. It was -- the soil was
4 saturated for a prolonged period. Some of the
5 phosphorous would have gone into a soluble state
6 and not necessarily have been transported at that
7 time. And the next rainfall, then, may have
8 flushed that out, as a result of being saturated
9 during the first flood period. I mean, that is
10 just speculation.

11 MR. HALKET: My students and I studied
12 this on Sturgeon Creek. We isolated the watershed
13 a couple of years ago. And we actually had that
14 huge flood. But I think it was about a 1 in 250
15 year rainfall event. It was a humpty-back camel
16 sort of thing that occurred just after the
17 snowfall event. And that snowfall event inundated
18 everything, because it was a round of 1 to 10 year
19 event. And so we measured twice a day the water
20 quality at four different stations on Sturgeon
21 Creek. And there was a huge loading coming out
22 that was of phosphorous.

23 About a month later, there was this 1
24 to 250 year event that occurred. And the loading,
25 again, was huge. It was even more than the snow

1 melt flood. But not as much as you would think
2 from a 10 year to a 250 year event, which
3 surprised me. But it was still in the order of
4 about two-thirds more, in terms of the loading
5 coming off of Sturgeon Creek.

6 So the point here, I think, is that we
7 have soil P tests. But we have got to look at the
8 soil P, in terms of how many times is it going to
9 be inundated by waters and how much of that is
10 being released from that? And there has got to be
11 some sort of risk analysis or risk benefits
12 analysis done on that side of it, compared to the
13 environmental and economic side.

14 THE CHAIRMAN: Petra?

15 MS. LORO: One of the greatest
16 challenges to the Phosphorous Expert Committee was
17 looking at hydrology in Manitoba and looking at it
18 in the context of phosphorous, because there has
19 been so much work done internationally on
20 phosphorous.

21 And then the building of phosphorous
22 indexes as a way of managing phosphorous on the
23 farm. And we found those indexes generally did
24 not work very well in the Red River Valley because
25 of the hydrology there. It just did not capture

1 the major events.

2 That and the other fact that most of
3 the phosphorous going to Lake Winnipeg was coming
4 from the Red River Valley, from your data. And we
5 thought: Well, we need to look at the Red River
6 Valley. And it really doesn't follow the same
7 patterns of other jurisdictions where we would be
8 able to just use some of their data or some of
9 their conclusions and help us.

10 So what we did was we said: Well,
11 what do we think is hang in the Red River Valley?
12 And we do have data on the spring snow melt. That
13 is our big event. So there were a few things that
14 we did. Not just the ban on winter spreading, but
15 we also recommended that if you are going to fall
16 apply manure, that you inject it in the Red River
17 Valley. Because the literature will show that if
18 you even cover that manure, there is less risk of
19 transport the following spring.

20 Winter application, then, is obvious.
21 I think the presentation we had from Water
22 Stewardship was we made a general assumption that
23 every acre in the Red River Valley went underwater
24 one year in two. So the risk of inundation was
25 huge in that area. So winter spreading in that

1 area, you can just assume that that is going to
2 flush right off the surface. And so we wanted to
3 also bury the manure from the fall application.
4 And we set those thresholds.

5 So there is sort of a three tiered
6 approach in the Red River Valley, because of the
7 transport in that area, as well as the water
8 quality data that shows us that that is the time
9 when the phosphorous is moving. The water and the
10 phosphorous together are moving into Lake
11 Winnipeg. So we focused quite a bit in that area
12 to try and manage the situation based on what we
13 know. We did not just look at the soil test
14 thresholds. But that is a part, and a very big
15 part, of the recommendations, but it applies
16 province wide.

17 We looked at winter application of
18 manure. And we looked at fall application, as
19 well, in terms of that is a necessity for the
20 industry. And we would like to see that manure
21 buried so that there is at least a soil cover
22 before the next spring snow melt event.

23 THE CHAIRMAN: How much of a hardship
24 on farmers would it be if all manure were required
25 to be incorporated?

1 MS. LORO: We looked at that as well.
2 And in some instances, it is not the
3 recommendation that we would want to make based on
4 phosphorous transport. We really want the forages
5 in place. Incorporation on bare soils is in their
6 best interests.

7 So in the liquid manure systems, which
8 is the predominant one in the hog industry,
9 injection is ideal for a number of reasons. It
10 conserves their nitrogen. It gives them a better
11 N to P ratio. It brings down their application
12 rates. It is a better fertilizer if it is
13 injected, but it is also environmentally better.

14 So for a lot of the big industry that
15 has expanded in the last 10 to 15 years, they are
16 injecting their manure, except on forages. And we
17 did not want to see all of the forages plowed up
18 so that the manure could be incorporated, and so
19 we built that into the recommendations again. We
20 do not -- the vast majority of the phosphorous in
21 soil is probably in particulate form. It is bound
22 in there in these highly fertilized soils. So we
23 do not want to see the soil moving off the field
24 as well. We are worried about that soluble P.

25 But if erosion was our primary

1 transport mechanism, we would be more worried
2 about the particulate P. And so we do not want to
3 do anything that makes that more of a problem. So
4 in the case of bare soils, incorporation is ideal.
5 And, you know, there is going to be some years,
6 you know, obviously --

7 MR. FLATEN: Burying the fertilizer.

8 MS. LORO: Yes, burying the manure.
9 It is the best fertilizer that way and it is the
10 best environmentally.

11 THE CHAIRMAN: Are there any concerns
12 about spreading manure on forage, and are they
13 significant?

14 MS. LORO: There is agronomic
15 concerns, depending on the time of year you do it
16 and the weather conditions. And there is probably
17 concerns, if it is in a grazing system, about how
18 soon afterwards you allow other animals to graze
19 in that system.

20 Environmental concerns on forages, it
21 is surface applied. So if it were a forage in the
22 heavy clay soil, if it were in an area that was
23 already saturated that it is going to pond on the
24 top, I don't think you would have less of an issue
25 with injection because you just wouldn't be able

1 to inject into a saturated soil. And you might
2 get surface transport, surface runoff. But you
3 get a lot of slowing of movement with the grass
4 that is there.

5 And so that is -- I don't know if you
6 can answer that question, Don? I mean, I think
7 the advantage is to keep the forages there and to
8 surface apply the manure. And you definitely get
9 a fertilizer response from the manure. And so you
10 increase the productivity of that soil. You
11 increase yield. If you harvest that crop, you
12 then increase the quantity of nutrients that you
13 truck off as harvested crop material. So it can
14 work to be a better system environmentally, if
15 done well.

16 MR. TIMMERMAN: And especially on the
17 lower agriculture capability land, that's where
18 forages have more of a fit. They still create
19 problems. Because if manure has to be broadcast
20 to avoid ripping up the stand, then to supply
21 nitrogen to crop requirements, more phosphorous
22 will have to go on. And so there is a land based
23 issue there.

24 But in terms of using manure for a
25 suitable land use, annual dropping versus

1 perennial, the quality of the land certainly comes
2 into play. So, as you can see, there is no simple
3 answer because of the complexity of cropping
4 systems.

5 MR. FLATEN: Yes, I was just going to
6 echo Petra's and Mitch's comments, but also
7 mention that the University of Manitoba is
8 collaborating with Manitoba Agriculture and
9 Agriculture and Ag Food Canada, and a variety of
10 other collaborators, on a major study on liquid
11 hog manure application on forages down at La
12 Broquerie. And probably it has surfaced every
13 once in a while when people talk about the La
14 Broquerie project or something like that.

15 And we are monitoring greenhouse gas
16 emissions associated with that practice, pathogen
17 transmission, nutrient accumulations and balances,
18 and a whole bunch of other things looking at
19 ground water risk and all of these other sorts of
20 things.

21 And if you ever want to get a
22 presentation from our group, or come out to the
23 site and take a look at it or something like that,
24 you are certainly welcome to do that. But I think
25 it is one of the most intensive and

1 multi-disciplinary studies to look at exactly that
2 issue. But if there is something specific you
3 want to talk about with respect to what the
4 Commission or the panel feels is a threat from
5 liquid hog manure on forages, you know, we could
6 respond to that.

7 But like Petra mentioned, we did not
8 want to create undue pressure on removal of
9 forages and converting fragile land from perennial
10 forage into cultivated agricultural land and
11 having it blow or washed away. And so that is why
12 we do not want to mandate injection or
13 incorporation in all cases.

14 THE CHAIRMAN: For my part, I think
15 that the responses today are quite sufficient.
16 And I think we may well want to talk to you or
17 that group a bit more about that project.

18 MR. YEE: In terms of application to
19 forage land, was there any consideration by the
20 expert panel when you were considering things in
21 terms of topography and potential runoff from
22 forage lands?

23 MS. LORO: In terms of slope factors?

24 MR. YEE: Slope factors, yes.

25 MS. LORO: Yes, slope was not built

1 into these recommendations. Although, the
2 injection, the requirement to inject in the fall,
3 and then not to have to do that on forage lands
4 came in the Red River Valley where slope was not
5 considered. But, again, the next phase, if you
6 wanted further regulation, would be to look at the
7 area outside of the Red River Valley and the
8 transport processes there.

9 We did not emphasize that because we
10 relied on the water quality data that said: Your
11 biggest problem is in the Red River Valley. So we
12 had to rationalize how much we could do and how
13 many recommendations, and also coming up with
14 something that producers could understand and
15 hopefully follow.

16 And you would probably come up with a
17 different set of recommendations for sloping land
18 than you would for the Red River Valley, and that
19 sort of thing. But we really focused on the Red
20 River Valley just because the loads were coming
21 from the Red River.

22 MR. HALKET: When you say the Red
23 River Valley, you're -- do you mean right the way
24 to the Pembina hills, to the Manitoba Escarpment,
25 which makes part of the Assiniboine area?

1 MS. LORO: It's part of the Special
2 Management Area. It's defined. The boundaries
3 are defined in the recommendations. So it is the
4 Red River Valley Special Management Area.

5 MR. HALKET: Okay.

6 MS. LORO: And so the boundaries are
7 different.

8 MR. HALKET: Thank you.

9 MR. TIMMERMAN: And they are based on
10 the criteria of nearly level land, fine textured
11 soils and enhanced surface drainage. Essentially,
12 the criteria to produce the map, the best
13 available data on those three.

14 MR. MOTHERAL: I don't know if this is
15 the time to bring up a question. But we heard --
16 the question came up or comment came up in several
17 of our hearings. Because it is the hog industry
18 that we are working with, that we have to come up
19 with our report. Supposing there was no hogs in
20 Manitoba? And, I don't know, I am maybe going to
21 get a comment from everybody on this, so you've
22 heard this question before. If there is no hogs
23 in Manitoba, would that make any difference to our
24 phosphorous loading? I just want to hear somebody
25 comment on that.

1 MR. HALKET: I suspect it would.

2 MR. MOTHERAL: And any reasons?

3 MR. HALKET: Well, I think the
4 volume -- I can't get this on. I think that there
5 is a lot of hogs in Manitoba. And is it
6 2.98 million?

7 MR. WILLIAMSON: Eight million.

8 THE CHAIRMAN: At any one time, there
9 is about three million.

10 MR. HALKET: Three million, 2.98 or
11 2.89. I can't remember what it is, but they
12 produce a lot of poop. And there is a lot of
13 phosphorous in that poop. And, yeah, if you took
14 them out of the -- if you took hogs out of that
15 equation, there would be a lot less phosphorous
16 coming into the system, no question.

17 MR. MOTHERAL: Okay, just a minute,
18 maybe I didn't get this right. If there is no hog
19 manure, then that land will be fertilized with
20 commercial fertilizer. This is the point I am
21 getting at. There will still be phosphorous going
22 on to the soil. I think that is more
23 clarification.

24 MR. FLATEN: The other question is
25 what represents "a lot less"? Because I think

1 that, although, once again, the hog industry is a
2 significant source of phosphorous that is applied
3 to land, it is not the largest source.

4 As Ian mentioned in his initial
5 comments, the single largest source of phosphorous
6 application onto agricultural land is in the form
7 of phosphorous fertilizer. And the total amount
8 of phosphorous applied as hog manure is
9 substantially less than the amount that is applied
10 as synthetic fertilizer. But it is a lot -- there
11 is a lot more incentive in the system, in the
12 agricultural system, as a whole to apply only as
13 much phosphorous fertilizer as what you are
14 removing. And so your soil test phosphorous
15 doesn't usually build too rapidly with a synthetic
16 fertilizer based system. Whereas with manure
17 application, you know, especially if it is applied
18 on a nitrogen basis, it will rise.

19 But I think we have to pause and
20 think: How much of the total amount of
21 phosphorous, how much of the total land base, is
22 associated with the hog industry? And I have
23 taken a lot of flack over the last six months for
24 coming up with a ballpark estimate that it is
25 probably one percent or two percent. I firmly

1 believe it is in that range. In terms of the
2 total phosphorous loading to Lake Winnipeg, we are
3 dealing with one or two percent from the hog
4 industry.

5 That does not mean that the hog
6 industry doesn't have its share of phosphorous
7 loading that it has to deal with. But the fact is
8 that if we regulated the hog industry to death,
9 and did nothing with our other sources of
10 phosphorous, then the improvement in Lake
11 Winnipeg's water quality, and the water quality of
12 other water bodies in Manitoba, would be minimal.
13 It is a small, but a significant source, just like
14 a lot of the other sources.

15 And we have to take a very broad range
16 of initiatives with all of our sources. It
17 doesn't diminish the importance of taking care of
18 the hog industry's phosphorous. But if people in
19 the City of Winnipeg think that if we bludgeon the
20 hog industry to death on this, then we will have
21 Lake Winnipeg cleaned up, that is misguided. I
22 think you have to be thinking about the magnitude
23 of the contribution relative to other sources.
24 And all sources are important. All sources are
25 small. And there is no one bogeyman that we have

1 to bang on the head in order to solve our
2 problems.

3 THE CHAIRMAN: Marc?

4 MR. TRUELLE: Maybe one comment about
5 the hog industry. I think what is different from
6 the hog industry, comparing to other livestock, is
7 the fact that it is very concentrated. So one of
8 the biggest problems, or the biggest issues, I
9 think, is concentration. And even if you have one
10 or two, or whatever, percent, if you are really
11 concentrated, and the problem in other
12 jurisdictions has always been -- it has been
13 always the fact that they are really concentrated.
14 And so it is a concentration problem. So I think
15 that we have to probably be careful about the fact
16 that, well, yes, the impact is probably low, but
17 it is concentrated.

18 So what makes the issue more difficult
19 is the fact that we need to work in a small area
20 where the pressure is really high on the land. So
21 we have to find a way of making sure that some
22 phosphorous is exported from these areas and the
23 problem will be solved. We do not want to get rid
24 of the nitrogen. We want to get rid of the
25 phosphorous.

1 So I think we do not have -- and if
2 you look at Quebec, as well, if you spread the
3 manure all over the place, all of the hog manure,
4 it is at equilibrium. The problem is that they
5 have three areas which are really concentrated.
6 So the problem is it is not to spread the manure.
7 It is just to make sure that these areas are able
8 to export a certain amount of phosphorous from the
9 area.

10 THE CHAIRMAN: Dwight?

11 MR. WILLIAMSON: I just wanted to add
12 perhaps a couple comments, and maybe to underpin
13 the response with a bit of science. We have
14 talked earlier this morning about storage of
15 phosphorous and soils and the mechanisms that move
16 that phosphorous out of storage into streams.
17 There is a large body of credible science that
18 demonstrates, and others with more expertise can
19 speak to this issue in this panel, but as soil
20 phosphorous levels increase, there is a greater
21 loss -- when you pour water onto that landscape,
22 there is a greater loss than coming off to
23 downstream areas.

24 And some of the studies, as well, show
25 a threshold, that is there is a change in the

1 inflection point between that relationship. And
2 so once you reach a certain point, you are losing
3 more phosphorous than otherwise. So in any
4 situation, then, where soil phosphorous levels are
5 being built up over a period of time, and that
6 landscape is being subjected to an event where
7 water is moving off, then there would be more
8 phosphorous moving out of those areas with a
9 higher soil test P than in other areas. So in any
10 sector, any sector operating on a Manitoba
11 landscape, that builds phosphorous in the soil to
12 greater and greater levels, there will be more and
13 more phosphorous coming off from those areas.

14 MR. FLATEN: Yes, that is a very
15 important comment.

16 MR. HALKET: Coming back to the
17 original question about how much phosphorous the
18 hog industry is producing. I just went to the
19 Manitoba Yearbook the other day. And I will come
20 back to this statistic now that I have it in front
21 of me. But the amount of fertilizer in tonnes
22 that was applied to Manitoban lands in 2005 was
23 189,500. Now, that is got a nice big chemical
24 name to it. But if you break it down in terms of
25 just phosphorous equivalent, it is about 40,000

1 tonnes of phosphorous that was applied in terms of
2 fertilizer.

3 Manure. I can take cattle, and I can
4 put it in terms of animal units and how much P is
5 in their poop, et cetera, and I get about, just
6 roughly, just trying to put numbers on this,
7 27,000. So we're talking 40,000 in terms of
8 grain. 27,000 tonnes in 2005 from cattle. And
9 around 15,000 tonnes from hogs.

10 Now, if I do the human population in
11 Manitoba, because they are also -- and Winnipeg
12 has sometimes been referred to as the biggest hog
13 operation in Manitoba.

14 MR. FLATEN: Define livestock?

15 MR. HALKET: Sorry, livestock, then.

16 MR. TIMMERMAN: Pardon me, confined
17 animal feeding operations.

18 MR. HALKET: Yes. And, actually, if I
19 don't do Winnipeg, if I just do the whole of
20 Manitoba and take it as 1.5 million people in
21 2005, I get the P equivalent there of around
22 6,000, so one-fourth of the hogs.

23 MR. FLATEN: How many hog operations
24 discharge directly into Winnipeg rivers and
25 streams?

1 MR. HALKET: Well, you know, the thing
2 is that the human population has sewage treatment.

3 MR. FLATEN: Phosphorous removal?

4 MR. HALKET: Well, it is not
5 phosphorous removal. But within that sewage
6 treatment, you do take some of the phosphorous
7 out.

8 MR. FLATEN: Not very much.

9 MR. HALKET: That is true. But, at
10 the same time, if you look at the hydrology of
11 Manitoba, I would suggest, also, that when you
12 apply the phosphorous on the land, that if there
13 is a huge storage complex there, and granted you
14 are taking some out in terms of crop removal, but
15 there is always a residue. And if that residue is
16 accruing in a five to ten year period, I imagine
17 that there is a lot of phosphorous moving out
18 through the river systems, too.

19 The other piece is the one to two
20 percent that hogs are responsible for in terms of
21 the P, the overall P in Manitoba rivers.
22 Actually, it's phosphorous. I keep calling it P
23 as an abbreviation. Don got me calling it that
24 years ago. But that calculation I don't agree
25 with. And part of it is based on what was a

1 report that was given out of Conservation a few
2 years ago.

3 But one of the things that I look at,
4 just initially right off the bat, is that in
5 Winnipeg we have 650,000 people. And we're
6 putting out about five percent of the P load to
7 the Red River from that report that was done by
8 Conservation. And I look at how many hogs are in
9 Manitoba, and I say: Wow! They probably poop
10 three or four times the amount that humans do.
11 And that is being land applied, so some of it is
12 being taken off. But even if I do the calculation
13 of, say, 20 percent of it getting into the rivers,
14 or something like that, it is still a larger
15 number than one or two percent.

16 MR. TIMMERMAN: 20 percent, where do
17 you get that number from?

18 MR. HALKET: I am just taking 20
19 percent, saying 80 percent is removed by crops
20 from the --

21 But, anyway, coming back, Don, that
22 calculation was based on -- the calculation that
23 you are basing it on, sorry, okay, is, I am not
24 sure, a good calculation in terms of how much P is
25 being produced by different sectors of the

1 economy: The hogs, the municipal works,
2 agriculture, that was given in that report. And I
3 forgot what the report was titled, but it was by
4 Armstrong.

5 MR. WILLIAMSON: Lorne Armstrong.

6 MR. HALKET: Lorne Armstrong, okay.

7 MR. WILLIAMSON: Yes.

8 MR. HALKET: And the reason I say that
9 is because those numbers were based on export
10 coefficients from different land uses. And I
11 think that they used four different types of land
12 use to come up with this proportioning.

13 And if I look at those -- if I look at
14 that -- in hydrology we use a method called the
15 rational method, which is sort of the same
16 hydrologic conditions. And what it does is it
17 proportions, or it identifies, different lands and
18 uses export coefficients in terms of water. How
19 much water is going to run off this particular
20 type of land?

21 And in hydrology, the caveat on that
22 type of analysis is to use it for very small
23 watersheds. Watersheds that are probably in the
24 order of less than 25 square kilometres. So this
25 calculation that you're basing the one percent on

1 was done on export coefficients that were used for
2 the whole of the Red River and the Assiniboine
3 River Valleys, which far, far surpass that sort of
4 caveat.

5 Looking at that calculation, Bourne
6 and Nicole also did separate calculations on the
7 Red River portion of the Red River Valley and on
8 the Assiniboine drainage portion of the Red River
9 Valley. They got good numbers in the downstream.
10 And when I say "good numbers", I mean that their
11 numbers actually added up to what the results that
12 they were looking for.

13 But on the Assiniboine portion, and
14 this includes the Red River Valley portion, from
15 Portage La Prairie to Winnipeg, they were out by
16 an order or 10 orders of magnitude, I think, or an
17 order of magnitude in that calculation. And that
18 shows, to me -- and if you go back and read this
19 report, that shows to me that there is a huge
20 amount of error involved in that calculation in
21 terms of using export coefficients to try and
22 figure out how much phosphorous is coming off or
23 nitrogen is coming off the land in a runoff
24 episode.

25 I think -- and I also look at the

1 character of the Red River Valley in terms of its
2 drainage, its hydrological drainage. And I would
3 suspect that the natural areas -- when they did
4 this calculation, what they had was it was sort
5 of -- if I could describe it this way, it was an
6 additive calculation. You have an answer of the
7 total loading that is coming out of the system.
8 And then you have -- you have how much is coming
9 from agricultural land. How much is coming from
10 end-of -pipe situations that are coming into the
11 system. And then you have the remainder.

12 And so what you do is you use your
13 export calculation or export coefficients to
14 calculate how much is coming off agricultural
15 land. You have your end of your pipe. And then
16 you have your answer, which is what is being
17 measured on the streams.

18 If they do not add up to that number,
19 then that must be natural sources. And there is
20 no way on checking on that calculation. The
21 remainder just automatically must be coming out of
22 the natural system. And looking at those
23 calculations, I, sort of, do not agree with it.
24 And, therefore, to base Don's numbers -- because
25 Don takes that calculation a little further to

1 calculate that one percent --

2 MR. FLATEN: One important correction,
3 I didn't use those export coefficients.

4 THE CHAIRMAN: Mike.

5 MR. FLATEN: I didn't use those export
6 coefficients at all in my calculation.

7 MR. HALKET: No. But those export
8 coefficients are used to ratio the amounts.

9 MR. FLATEN: I didn't use them at all
10 in that calculation. But I know what you are
11 getting at. Like, the Bourne and Armstrong
12 estimates are very important part of this
13 discussion, what I call the blame game,
14 apportioning the loading to various industries.
15 But, as I have said more times than Dwight wants
16 to hear, the blame game ultimately doesn't take us
17 anywhere.

18 We have to go back to the dynamics of:
19 Is the proportion of phosphorous loading, whatever
20 it is from the hog industry, increasing or not?
21 And if it is increasing, because of increased
22 loading in excessive removal, like Dwight and Marc
23 have mentioned, that is the action that I think we
24 need to focus on in terms of the CEC panel, the
25 CEC as a whole, or even our academic affairs at

1 the University of Manitoba.

2 I was just trying to respond -- like,
3 these are just really rough back of the envelope,
4 not even as sophisticated as what you are talking
5 about. And it is just that all of these
6 sources -- and I think Dwight will even agree with
7 this one, all of our sources are small, but they
8 are all significant. Because in aggregate, in
9 total, we end up with a lot of phosphorous at the
10 end of the day.

11 And if we can set the blame game aside
12 and focus on the really important thing, which is:
13 Is that share increasing or decreasing? And what
14 are the reasons for it increasing or decreasing?
15 Then I think we have some potential to move the
16 issue in a constructive direction. If all that we
17 do with our various rough estimates try to
18 apportion the blame to somebody else or to
19 somebody else, I don't think we're going do make
20 much progress.

21 But like Dwight and Marc have said,
22 the focus, I think, that is really important for
23 your panel is: Is that share increasing because
24 of increases in soil test phosphorous
25 concentrations?

1 And I know the debate -- I know the
2 debate over the export coefficients, but that was
3 not the issue.

4 MR. HALKET: Well, I don't believe
5 that it is a blame game. I think that it is a
6 game of trying to come to an understanding of
7 where the phosphorous is coming from in this
8 province, and then how it is moving. Once you've
9 got a handle on how much you have, then you can
10 look at how much -- at how it is moving through
11 the system.

12 And so I am not in any way trying to
13 run a blame game here. All I am doing is
14 criticizing some of the figures that are being
15 thrown around, especially the one percent from the
16 hog industry that you are that you were talking
17 about earlier, Don. And I just do not agree with
18 the way that calculation or the calculation is
19 based.

20 But moving on, moving on, it seems to
21 me that this -- that part of the phosphorous --
22 everyone is contributing to phosphorous in this.
23 Or I should say all of the industries,
24 agricultural, the municipalities, and other
25 industries in Manitoba are contributing to

1 phosphorous. And I think that we have to have an
2 understanding of where it is coming from. We have
3 to not only just isolate the hog industry in this.
4 I think we have to -- I think you have to know how
5 much the hog industry is relative to others? And
6 is it a problem from that point of view or isn't
7 it? And that is why I come back to: Let's have a
8 look at the numbers and let's try to do a mass
9 balance on this.

10 THE CHAIRMAN: Petra?

11 MS. LORO: Yes, I think our department
12 would be very supportive of accurate numbers for
13 which pieces of agriculture contribute how much.
14 But we can't wait while those numbers are
15 generated before we look into management.

16 And the focus is on the hog industry
17 because it is one of our industries that continues
18 to expand. And so we want that expansion to be
19 sustainable. And what we have found is that with
20 the regulation, largely of the hog industry, with
21 the previous manure regulation, is that if you
22 look at our proportion of producers in the
23 different sectors, probably the highest proportion
24 of producers that are actually soil testing at all
25 come from the hog sector, because they are

1 required to submit Manure Management Plans,
2 probably come from the large barns, or the large
3 operations, because those are the ones that are
4 required to submit.

5 And so they have been soil testing.
6 They were developed with basic land requirements
7 for nitrogen. They are doing, I would say, an
8 above average job on management because there has
9 been so much focus on manure. And this focus
10 will, or will not, inhibit their development
11 overall.

12 And so I think what we have to look
13 at is: Do we need to do better in terms of the
14 management? We have concentrated the barns in a
15 couple of R.M.s. That could potentially cause us
16 problems, especially if that expansion were to
17 continue. And the problems are likely to come
18 from phosphorous, because we have had this strong
19 focus on nitrogen.

20 At the same time, we have a problem in
21 Lake Winnipeg. And we do not want the hog sector
22 to be blamed for that. And so it is in our best
23 interests to get them managing the manure on the
24 basis of phosphorous to eliminate that or it,
25 again, is going to inhibit their development and

1 their ability to do business.

2 So from our perspective, from a
3 nitrogen perspective, under the previous
4 regulation, they are doing a very good job. And
5 our regulation, when you look at it in the context
6 of other regulations in North America, I would say
7 is very good because of the way it is administered
8 at Conservation. The plans are actually submitted
9 to the government and reviewed. And in most
10 jurisdictions, it is just either on the shelf or
11 that there is an assumption that you may be
12 audited. It doesn't actually come into
13 government.

14 So there has been a lot of interaction
15 with this industry to get them managing their
16 manure and managing it well, in terms of storages,
17 and also in terms of land application. But we
18 have to move to a phosphorous based system or a
19 nitrogen and phosphorous based system, which is
20 what we have done.

21 We would like to see more accurate
22 numbers for each of the sectors, but I don't know
23 if that is possible, so that -- Because there is a
24 very strong feeling, within the general public,
25 that the problem in Lake Winnipeg comes from the

1 pigs in this province. And I think that that is
2 completely unfair. The problem in Lake Winnipeg
3 is due to all of us on the landscape.

4 So I agree with you, better numbers
5 are going to be better for everyone. But, at the
6 same time, we have to move forward because this is
7 one of our sectors that continues to expand. It
8 might not be expanding right now. But in the past
9 15 years it has been, and into the foreseeable
10 future.

11 And so it is a two-sided coin. They
12 are doing quite well. They are soil testing more
13 than if you looked at the proportion of grain
14 farmers that are soil testing.

15 But we really do need to make
16 phosphorous a part of that whole management scheme
17 in a way that they can comply with. Because the
18 only way that we are going to see any difference
19 on the landscape is if the producers buy into the
20 system.

21 THE CHAIRMAN: Thank you. The food
22 has been set up here for lunch. And I would --
23 rather than trying to talk with our mouths full, I
24 would suggest: Let's take a break for about a
25 half an hour, grab some lunch and munch it down,

1 and then we can reconvene in about a half an hour.

2 Sound good?

3 (PROCEEDINGS RECESSED AT 12:15 P.M. AND RECONVENED

4 AT 1:00 P.M.)

5 THE CHAIRMAN: Okay, we are back now
6 at 1:00 o'clock. We are well fed with Manitoba
7 produced food. Some of it, I'm sure. And I think
8 Ian and Don, did you resolve your --

9 MR. FLATEN: Not completely, but we
10 agreed to be nice.

11 THE CHAIRMAN: We are glad. We would
12 hate to have war break out in this little room.

13 MR. FLATEN: We are going to take this
14 outside after.

15 THE CHAIRMAN: I think talking with my
16 co-panelists, I think we still have a number of
17 questions that we want to ask of you folks this
18 afternoon. I think there is one sort of
19 overriding element aspect, is that where do we go
20 forward from this? Is there or are there specific
21 things that we could be recommending in our
22 report, perhaps things that some of you would like
23 to see and you might be able to convince us that
24 that is where we should be going in that regard.

25 So, keeping that in mind as an overall

1 discussion and perhaps we can come back to that
2 later on in the afternoon about what still needs
3 to be done or might be done. Yes, Mark.

4 MR. TRUELLE: I think to answer your
5 question, if I go back to my recommendation or
6 proposal, what I would like to see in Manitoba is,
7 based on the fact that I think we need to estimate
8 on the farm basis, the whole farm budget of the
9 farm, we need to have some information on the
10 efficiency of operation. There are some tools
11 that are available right now, so it can be easily
12 done on the farm, and actually I am starting with
13 Puratone Corporation, so we are doing their 50
14 farms and we are doing the whole farm budget for
15 their 50 farms. So I think there is a way of
16 being more efficient by looking at different
17 strategy and the purposes of these plans, and I
18 think I would like to see the plan not only to get
19 extension, right now it is part of the reg, and
20 you have to present a plan to Manitoba
21 Conservation if you want to get more time, that is
22 okay. But I think it would be better if we go and
23 if we are pro-active and look with a plan to, and
24 seek to start a process of looking at the
25 efficiency. So the plan should be used as a tool,

1 not only a planning tool, laterally tool, and it
2 should be a distant plan. The plan is not only to
3 comply with the reg, that it is one purpose, but I
4 think the plan should be better used and it should
5 be better used by looking at the farm at the
6 beginning. And it should be a starting process to
7 get a real picture of the farm.

8 So the plan for me, a plan is a way of
9 going forward and looking at different options as
10 well. So when you talk about strategy, feeding
11 strategy, treatment system and so on, it is part
12 of a plan and it gives the farmer a way to get
13 some improvement over time. I think we need time.
14 But in order to get time we need to get the
15 picture. We don't have the picture right now. I
16 think it is important to get a picture of the
17 farm. It gives us time, and this is what I would
18 like to see in the future. It should be a tool
19 and a shared responsibility. I think it is not
20 only Manitoba Conservation's responsibility as
21 well. I don't want to be the only one in Manitoba
22 working on that. I think it should be a shared
23 responsibility, and it should be Water Stewardship
24 as well. We should work together, otherwise this
25 regulation, we won't be able to (inaudible). I

1 think the bottom line is to get the farmer
2 efficient as possible and to comply with the reg.
3 When you are really efficient, I think most of
4 them will be able to comply with the reg without a
5 problem, as long as we have the picture and we
6 know where we are going.

7 So, this is the first, my first
8 comment. My second comment is probably related to
9 intensively developed areas. These areas are
10 probably intensively developed, and I think it
11 comes back to the fact that apart from the one
12 person loading, I don't want to spend time on
13 numbers, what I wanted to see is to work within
14 these area and making sure that we have a good
15 picture of the situation, and it should be based
16 on the RM basis, and not on Stats Canada as well.
17 We are five years behind with Stats Canada. So we
18 don't even have the right information right now.
19 So I think we should probably put some emphasis on
20 these areas. And by looking exactly at the number
21 of livestock and where phosphorous comes from, and
22 after that it should be supported by a kind of
23 management strategy for these particular areas.

24 And for a phosphorous reg as well, if
25 you look at other jurisdictions, you always need a

1 financial support to be able to comply with the
2 reg. There is no doubt about that, farmers will
3 need support. And I was just reading yesterday
4 about the Quebec budget and they will spend
5 \$40 million for the agro environmental plan. So
6 it is a lot of money to the farmer, and I don't
7 know here much money we need, but we need money to
8 make sure that the farmer will be able to comply.
9 But I think it is feasible as long as we are --
10 and I think I will do the same -- I think it is a
11 question of, it is a team, we should work as a
12 team, otherwise it won't work. And if we have to
13 fight between different organizations to get the
14 phosphorous reg in place, I think we will lose our
15 time and it is not well spent.

16 THE CHAIRMAN: Thank you. Not for me
17 to bring politics into it, but I'm not sure that
18 budget is not going to survive very long in
19 Quebec.

20 MR. TRUDELLE: I think so.

21 THE CHAIRMAN: I'm sure you understand
22 the politics there much better than we do. I
23 believe everything that I read in the Globe and
24 Mail. Anybody else? Wayne, you had something?

25 MR. MOTHERAL: Yes. We've heard this

1 through our hearings too about the terminology,
2 the BMP, beneficial financial plans, or management
3 plans, and how many farmers and hog operators are
4 in these plans and are finding the value of them.
5 How this, of course, needs to be monitored in the
6 future and how can you, how do you see this
7 happening? How many years is this going to take
8 to find out, you know, how the environment is
9 benefiting from these plans?

10 MR. TRUELLE: I will answer your
11 question easily. Yesterday I got the plan, five
12 year plan, so they are monitoring from 1988 to
13 2003. So they are monitoring, I can give you a
14 copy of the -- it is part of the report. You have
15 the BMP implementation and you have a follow-up
16 for different livestock sectors, and so you can
17 easily see that from 1988 to 2003, they are using
18 phytase. I think the level of phytase was very
19 low in 1988, and it now has reached 90 per cent.
20 They are using nutrient management plans, they are
21 using the plan. So they have a questionnaire here
22 and they have a survey. I can give you a copy.
23 It has been translated in English as well, so it
24 will be easy for you. So each farm has a plan.
25 And they have to -- it is a survey. And this is

1 why I talk about survey, and by a survey you are
2 able to make adjustments all the way. And you
3 know exactly how a farmer is going with their BMP.
4 So it is one way of having, in five years from
5 now, the amount of farmers that are using a plan,
6 that are injecting manure, that are using phytase.
7 So it is a way to be able, from the public point
8 of view as well, they are knowing that now it is
9 increasing and they are using these BMPs.

10 So I think it is an easy tool, it is
11 easy to implement, it just takes -- it is a
12 question of willingness. So we need to be willing
13 to do some -- to ask farmers some information.
14 There is nothing wrong about that. It is just the
15 way that if they feel they will be able to use it,
16 and they will be, and these tools will be used for
17 their own benefit, they will participate. And I
18 think it is probably proactive. And for the
19 phosphorous reg, I think we should be proactive,
20 otherwise it won't work. Tools are existing. It
21 can be adapted to the Manitoba conditions, of
22 course. But the principle is to get the
23 information to know the picture and be able to --
24 I mean someone has to probably take the management
25 of these tools, so it can be a shared

1 responsibility again, or one organization, I don't
2 know, but someone has to probably, should be
3 responsible for getting this information and they
4 will publish a report after four or five years.

5 So we know that the phosphorous reg
6 started in 2006. Maybe in 2011 we need something
7 to make sure that we will be able to evaluate the
8 progress associated to that. So tools are
9 available, and the expertise is available and
10 people are doing it in our jurisdiction. So it is
11 just a way of transferring this type of
12 information and this type of processes here.

13 MR. MOTHERAL: Who is responsible for
14 this in Manitoba?

15 MR. FLATEN: Before we leave that
16 idea, just suggesting that, Mark, would you
17 explain the process by which the pork industry in
18 Quebec developed these objectives and developed a
19 strategy, and then worked, like you said, in a
20 team work kind of fashion with a group of other
21 people to move their industry forward? I don't
22 know whether all of you have heard about this
23 story, about how the pork industry has advanced
24 towards these environmental objectives. I think
25 that would be worthwhile.

1 MR. TRUELLE: In fact, the pork
2 industry started this processes before the pause,
3 so they were expecting some problem, and they were
4 expecting some problem, so they started to
5 evaluate their BMPs and they started this
6 processes by working with Quebec Agriculture and
7 Quebec Conservation. So it is a joint project.
8 It has been supported by Agriculture Canada as
9 well. So even here, if we don't have money, I
10 think Ag Canada supported this program, I think by
11 50 percent, there is a way of getting money from
12 AG Canada when you want to do these types of
13 surveys. And it is a team effort. It has been
14 shared by different departments, and everyone now
15 is using this information to make sure that the
16 industry is going in the right direction, and now
17 I think last year, they signed an agreement
18 between Quebec Agriculture, Quebec Conservation
19 and the Quebec Farmer Association. It is a three
20 year agreement to work together and to reach --
21 because they have to reach equilibrium in 2010,
22 they have three years. So they signed to work
23 together and they have three years to comply with
24 the reg. They are working together. I think this
25 is the bottom line here, otherwise if we just try

1 to figure out how to work in our own organization
2 it will be very, very difficult. But the basic
3 principle here is to put everyone together and
4 start to work together.

5 THE CHAIRMAN: Petra.

6 MS. LORO: I'm going to interpret your
7 question a little differently. I think what we
8 are missing, it is fairly easy to measure uptakes
9 of BMP if there is an intensive program. We know
10 what we are financial and we can do the statistics
11 on that and say what is new happening out there.
12 As well, with the changes that come as a result of
13 this new regulation with Conservation, the plans
14 that you see, the number of plans that come in
15 will be a good indication of the number of people
16 that are participating at that time relative to
17 the number that should. But what we don't have
18 with any of the BMPs is a measure of their
19 success, and that is in terms of improving water
20 quality. So if a producer is asked to change his
21 practice, what improvement might that give us in
22 terms of water quality or if a group of producers
23 like the pig producers all change their practice,
24 is there a measurable improvement in terms of
25 water quality? And I think that is the data that

1 we are missing and maybe need help in terms of
2 establishing some way of collecting that data so
3 that we can connect BMPs to water quality. I
4 think uptake is relative easy to measure, but the
5 value of the BMP itself in terms of improving
6 water quality, I don't think that we have any data
7 on that for any of our BMPs. We have a bit out of
8 webs and things like that, but nothing large scale
9 across the province. Maybe we should start
10 thinking about that when we ask producers in large
11 scale to start changing their practices.

12 MR. MOTHERAL: And what part can this
13 Commission be a part of that? Is there a need for
14 more analysis of best management or beneficial
15 management practices in the future? There must
16 have been a plan with this, there must have been a
17 long term plan with this.

18 MS. LORO: I think there is a huge
19 need if we look at the thresholds as an example
20 of a better management practice than the current
21 system with nitrogen, of being able to further
22 evaluate that and further refine it. And the only
23 way that you can do that is say when we switch to
24 this type of management system, what improvement
25 are we having for water quality, and is it enough?

1 And if it is not enough, how might we then go back
2 and change it. So we have put something in place.
3 I think we need some kind of monitoring and
4 measurement and research to continue so we can
5 establish if it is enough or if we need to change
6 and come back and modify it. I think there is
7 probably a lot of research that can be done on
8 BMPs, we want to make sure that the practices we
9 recommend not only solve one problem, but they
10 also don't create another problem.

11 MR. AKINREMI: In my mind, to be able
12 to do that, we can do that on say the Buck Creek
13 and so on and do that experiment, but in my mind
14 to be able to do this on a large scale is to do
15 modeling, and it has been done in the United
16 States. To use a lake scale, you can look at this
17 on the synergistic effect. But to my mind, it is
18 going to be difficult to carry out studies and
19 very, very expensive to carry out studies to
20 validate the BMPs. And the other problem is just
21 from my own gut feeling, a problem with BMP, that,
22 I mean we can do one, we can do and do it in a
23 small scale, and see that it works, but in the
24 large scale nobody is really sure that it will
25 work, it will work, nobody is very sure. That is

1 when we do these things. I think it goes from, it
2 is almost like a leap of faith going from you do
3 this and then what happens when they measure the
4 water at Lake Winnipeg down the line? Nobody is
5 really sure how that is, by how much per cent and
6 so on. That is the problem of doing this
7 experimentally.

8 MR. WILLIAMSON: Let me make three
9 points here. And, first of all, I would agree
10 with everything that has just been said with
11 regard to BMPs and all of the work that is
12 required there. We have in place a new regulatory
13 framework now in Manitoba that for the first time,
14 for the livestock sector, last November, includes
15 phosphorous, and that is because of the huge
16 amount of consultation that went into it leading
17 up to that. There is a different approach and a
18 different dot process now going into how to manage
19 livestock manure in the Manitoba environment. And
20 that is going to be -- we need a lot of
21 information over the next period, as Don mentioned
22 I think very early this morning, that the approach
23 was the first approach going from having nothing
24 in place, essentially nothing for phosphorous, to
25 a regulatory framework for phosphorous. We need a

1 lot more information to refine that. One of the
2 points that I wanted to make, though, is that BMPs
3 and some of the approaches that Mark talked about,
4 are really tools to get to a certain end point.
5 And until you know what that end point is, you
6 don't know how much is enough. And so we also
7 need to -- so, in addition to putting in tools to
8 get us some place, we also need to know where we
9 want to ultimately be, because otherwise it is
10 unlikely that we will overshoot, but more likely
11 that we will give up too soon. But there is
12 economic and social and environmental risks on
13 either side of that.

14 So we need to know where we are going.
15 So there is an immediate need over the next period
16 of a few years to refine the research that went
17 into and directed the approach that we have now,
18 or probably lots of ideas, and some that came out
19 already today on what needs to be done. But the
20 other thing that I don't think is in dispute, that
21 even if we don't know anything else, we know this,
22 and we've talked about this already to some degree
23 this morning, if we build up phosphorous in the
24 soil there is more that is going to come off into
25 the landscape. And for the long term, and here I

1 will refer to a recommendation from the Lake
2 Winnipeg Stewardship Board, and so this is
3 recommendations 32.1. So what they have said is
4 that for planning individual livestock operations
5 the province should ensure that operators have
6 sufficient land available for new and expanding
7 operations, I'm paraphrasing a bit, to phosphorous
8 rates with renewal rates over the long term. So
9 there is still some questions there at what soil
10 test do you P balance. Nevertheless, if
11 phosphorous builds up in the soil over the long
12 term, there is either a greater risk or an actual
13 likelihood that more is coming off. So the long
14 term, so that may be a useful target for the long
15 term, and then what do we need to do over the next
16 period of time to get ourselves there.

17 MR. MOTHERAL: This question that I'm
18 asking now is in relation to what has been done in
19 the hog industry over the last few years, or last
20 two or three years, that is with the phosphorous
21 regulations and they have to work under a
22 regulatory framework. Is this comparable to any
23 other industries that are phosphorous polluters?
24 What have they done in the past number of years,
25 is there anything done in other industries? We

1 heard this from our travels around the province
2 that the hog industry was targeted at one
3 particular time and that industry we have been
4 told has done a lot in the last number of years to
5 reduce their, or to mitigate that so called
6 pollution. What have other industries done? Is
7 that a fair question?

8 MR. WILLIAMSON: Well, let me try and
9 start with that. And I think Don especially and
10 others in the room will have heard me talk about
11 this before. Over the last number of years, as we
12 started to move forward on our nutrient management
13 strategy, we have been working with very large
14 number of sectors and we touched on this this
15 morning, we have a large number of relatively
16 small contributors, so we have got a very large
17 number of 1, 2, 5, 6 per centers, so we are trying
18 to deal with all of those at the same time. I
19 would say that I would have trouble seeing any one
20 sector ahead of the other, and they are all very
21 difficult to work with. But they have, they have
22 many things in common and one of the things that
23 they are looking for is fairness. They want to
24 make sure that their one or two per cent or their
25 six per cent, if they have to deal with that, they

1 need to look across the roadway or across the
2 boundary and see that someone else's contribution
3 is also being dealt with in about the same period
4 of time and in about the same way.

5 So we have a lot of contributors at
6 about the same stage right now, all on the verge
7 of being regulated with time lines still in the
8 future, but that they know what they are facing in
9 a few years. So we have got a lot of sectors all
10 at the same point. But it is not clear to me that
11 there is any one sector that is really out in
12 front. And everybody is watching every other
13 sector because of the challenges that we face, the
14 fairness issue, and the fact that everyone knows
15 that they are not the only contributor, and we
16 know that in order to make gains on the issue, we
17 need to deal with them all.

18 THE CHAIRMAN: Just on your point,
19 Dwight, we certainly heard a lot about fairness
20 and particularly from the hog farmers, their
21 constant bete noir, the one that got them the most
22 was the city and cottagers. They said, you know,
23 if we are doing this, we are expected to do all of
24 this, why isn't the city cleaning up and why can't
25 cottagers clean up? It is a fairly big point in

1 the fairness issue. Mark, did you have a point on
2 the same thing in response to --

3 MR. TRUELLE: The only example that I
4 have right now in mind is when the reg started in
5 Quebec in 1997 there was one sector that has been
6 singled out before that and it was the pulp and
7 paper industry, and at that time when the reg
8 started for the livestock industry in Quebec,
9 people were always looking at the pulp and paper
10 industry and saying they are doing the job, they
11 are doing a good job. In fact, it is not easy,
12 but the bottom line is they need some regulation
13 and they need some money as well. So there are
14 always two options associated with the reg, and it
15 is probably a question of fairness as well, but it
16 is always how much money do we have to put on the
17 reg in making sure that people will be able to
18 comply, and it should be fair. What is the
19 definition of fairness? I don't know. But it was
20 just that people were comparing it by industry,
21 but it was easier for the pulp and paper industry.
22 You have single sources, you can follow 10 or 15
23 industries, and you are able to make sure that
24 industry will cope with the reg. When you have,
25 such as Quebec, 25,000 farmers, it is a little bit

1 more complicated. But the point is people were
2 just looking at what the industry is doing and the
3 fact is you probably need financial support to
4 make sure that people will be able to comply.

5 MR. MOTHERAL: I have to apologize, I
6 didn't really mean to bring that into the sectors
7 again, you know, who is doing what, I didn't mean
8 that. I just meant what other industries are
9 doing, because we have been told, I am only
10 bringing this up because of the hearings we have,
11 and as the chairman said, we heard it from other
12 people, what are other industries doing, because
13 there has been a lot done in the hog industry in
14 the last number of years.

15 MR. WILLIAMSON: Mr. Chairman, perhaps
16 I can be a bit more specific in my response. With
17 regard to the City of Winnipeg, they have been
18 issued licenses under the Environment Act which
19 required them to, through a phased approach, put
20 in full nutrient removal, including both
21 phosphorous and nitrogen, at the west end facility
22 by the end of 2006. The next phase would be at
23 the south end facility, at the end of 2011, and
24 finally complete nutrient removal as well at the
25 north end facility by 2014. So those are licenses

1 already issued. We do know that they have missed
2 the first deadline, and that discussions are now
3 occurring on the timelines for the west end
4 facility in that first package of work. At the
5 present time we don't know whether or not the end
6 date of 2014 is in jeopardy, or whether it is
7 simply startup to move to full nutrient control at
8 the west end or not. Anyway, those are already in
9 place. We have, and this is through conservation,
10 and our input to that process, letters of
11 intention and at least one meeting has been held
12 with the City of Portage la Prairie. The licence
13 that was issued to them, just as we were breaking
14 for lunch, was a conditional licence, and when it
15 was initially issued in 2002 or so, they had three
16 years to complete a study on their portion of the
17 Assiniboine River. There was a clause in the
18 licence that required us to re-open the licence to
19 look at nutrient limits. The time frame has
20 expired. The study has been completed. We have
21 issued notice to Portage that we are coming back
22 now to revisit the issue of nutrient removal. Our
23 best available information at this time is that
24 Portage as well will be required to remove both
25 nitrogen and for certain phosphorous.

1 The discussions are at about the same
2 stage in the City of Brandon. The City of Brandon
3 is looking at consolidating wastewater treatment
4 for a number of its industrial sector. And they
5 have, they already know what targets they will
6 need to meet to plan for that. We have quite a
7 good agreement with North Dakota and Minnesota
8 through the IJCs, the International Joint
9 Commissions, International Red River Board. They
10 have agreed to join with us and to reduce their
11 collective contribution into Manitoba by 10 per
12 cent within five years. So we are part of the way
13 into that five year period. I don't know whether
14 actual reductions have been made yet. My
15 knowledge of those two jurisdictions is that
16 Minnesota has been putting in place considerable
17 measures on the landscape to achieve that. I
18 think less so in North Dakota. Nevertheless,
19 there is lots happening in lots of other sectors
20 and still lots more to be done.

21 THE CHAIRMAN: Petra.

22 MS. LORO: I think within
23 agriculture the livestock industry is more
24 regulated in terms of nutrients than the rest of
25 agriculture. All of the new storage going in or

1 modification to the storage has been permitted,
2 there is a zero discharge tolerance for
3 agriculture. There is no straight pipes from our
4 storage going to water courses. And there has
5 been the regulation for manure management plans
6 which I think up until now has largely focused on
7 the pig industry, that has been the emphasis in
8 terms of administration of the regulation. So
9 within agriculture the pig industry is feeling
10 that they have been targeted, that is one thing.
11 And then when they speak in terms of fairness,
12 even though they use the example of the City of
13 Winnipeg to the livestock producer, the economics
14 are completely different with the City of Winnipeg
15 being able to spread the cost over the tax base.
16 I live in south Winnipeg and I have had increases
17 to my water bill that are negligible by comparison
18 to the small producer in the Red River Valley who
19 is prohibited from winter application. His manure
20 structure to give him overwinter capacity will
21 cost him \$40 million, so that 40 million capital
22 investment could take that farm out of production
23 altogether.

24 The economics of the industry right
25 now for small producers, that kind of money isn't

1 readily available unless someone comes up with
2 financial incentive programs. So often when the
3 industry talks about fairness, you have to look at
4 who pays and whether you can spread that cost over
5 population for a tax basis versus the individual
6 who would have to pay for this out of the family
7 farm. So there is a couple of different
8 perspectives, but I know the industry has felt
9 targeted within agriculture and as well when you
10 look at all of the sectors.

11 MR. YEE: As a follow-up question, we
12 heard this in the hearing process, we often posed
13 the question if there are further changes in the
14 regulations regarding manure management, how would
15 that affect you, and we heard from, some say no it
16 wouldn't, we would comply anyway, but for the most
17 part they said it was significant in terms of
18 their economic viability. I'm wondering if MAFRI
19 or agriculture, have they done any studies or can
20 they support this, the effect regulations has been
21 having on the small operating farms in Manitoba?

22 MS. LORO: We are looking at this in
23 terms of the needs of incentive programs right
24 now, particularly for small farms. That is where
25 our real difficulty lies, is the economies of

1 scale and the fact that we could put small farms
2 out of business. We knew this as a committee when
3 we made the recommendation on banning winter
4 spreading in the management area. We counted the
5 number of farms for each commodity group that were
6 there and approximately how much storage would be
7 required, and we also cautioned the government if
8 you bring this in, it is a recommendation from us,
9 but if you choose to bring this in as a
10 regulation, that some financial assistance would
11 be needed. That is on the ban on winter
12 spreading.

13 In terms of the land application, we
14 looked at it in a number of ways, and at how land
15 locked you are, multi-year application rates.
16 Some of these barns, their application costs for
17 the season might be in the range of \$50,000 to
18 apply manure. It is not an inexpensive part of
19 their manure management system as part of an
20 annual cost. So we wanted to keep those costs
21 down as much as possible while still obtaining the
22 objectives of the regulation by better phosphorous
23 management, so we put in some flexibility in terms
24 of a multi-year application rate, as long as you
25 don't you have to have more land to rotate and

1 things like that. If you are land locked, we have
2 to get more creative. I think there is potential
3 on the feeding side, but there is significant
4 barriers, that you heard about, the Federal Feeds
5 Act and how phosphorous additions to feed is
6 regulated, and that might be a problem in terms of
7 how much they could reduce their phosphorous in
8 feed. They may only be allowed to do it to a
9 certain point. But feeding definitely has a huge
10 amount of potential, and probably the worst case
11 scenario is treatment, because of the cost, and
12 then we are into hundreds of thousands of dollars
13 for treatment for an operation or a group of
14 operations that could pool together. Until we get
15 experience with the regulation, because it hasn't
16 come into force yet, we won't really know what the
17 real impact is. I think we can estimate fairly
18 well in the Red River Valley, and we are hoping
19 that we can help producers, so we don't put them
20 out of business.

21 MR. YEE: As a follow-up, have they
22 acknowledged the issue of the phosphorous
23 requirements in the feed? It is AG Canada that
24 regulates that.

25 MS. LORO: The FIA.

1 MR. YEE: The impact of phosphorous
2 and because of the phosphorous reg, it would be
3 helpful if they re-evaluated that requirement.

4 MS. LORO: And I'm sure they are aware
5 of it. And I think our minister is being advised
6 on that so that when there is a meeting of the
7 ministers that can be raised. But I think, this
8 is a progression in terms of the whole evolution
9 of this. We get this feedback from industry of we
10 think that we can do certain things with phytase
11 and it should be no problem, and then we get feed
12 back from industry that there is a problem. And I
13 think that has to be explored at this point in
14 terms of what needs to be done, if anything. But
15 I have had that mentioned to me in the last couple
16 of weeks, repeated a number of times. And that is
17 one example.

18 MR. TIMMERMAN: And to build on that,
19 in terms of what MAFRI staff have done to talk
20 about the impact of operations, we have also been
21 able to go through the exercise in estimating the
22 number of operations that would be affected by the
23 major provisions of the new regulation, and it is
24 a considerable number. If we add up the total
25 number across species, speaking beyond the pig

1 industry, the total impact of the new regulatory
2 requirements is considerable on the industry as a
3 whole.

4 MR. TRUELLE: Concerning probably the
5 feed, in fact, yes, there is a Fed regulation
6 right now that as a minimum amount of phosphorous,
7 but I will say that when the reg started ten years
8 ago in Quebec, people were very high in terms of
9 phosphorous. And even with the reg right now,
10 they are able to achieve better efficiency. So I
11 think, yes, there is a reg, there is a fed
12 problem, but at the same time I think there is
13 room to be more efficient, and this is probably
14 the interesting part of starting a plan right now
15 is you are able to look at your level of
16 phosphorous and look with your nutritionist, and
17 if there is some way of improving the efficiency
18 of the barn, it has just started the processes. I
19 think it is true, but at the same time we still
20 have probably the responsibility to go forward and
21 look at ways of improving, even if we know that we
22 need the Federal Government to be more, the feds
23 should listen to that, but it will take time. I
24 think we should probably go and start the
25 processes, even if we know there is some reg at

1 some point. Regs will be changed in time, and
2 this is why people started to look at this, at
3 this issue even today, and I think we should not
4 just look at the reg and say, well, there is a
5 reg, but I think there is some room to be more
6 efficient.

7 MR. SMITH: I would like to ask a
8 question that follows up on something that Dwight
9 said. It comes off the phosphorous report. It
10 says long term planning for newer or expanding
11 livestock operation should ensure the availability
12 of a crop land base with the region that will
13 allow application, within the region that will
14 allow application of manure phosphorous at no more
15 than can be removed by a crop in one year. I
16 guess the question I'm asking is to what -- how
17 could -- given the current regulations regarding
18 siting and approval of operations, can you do
19 this, or how does this sort of recommendation or
20 this idea of having operations have a land base
21 that will allow removal at one year, fit with the
22 current process of approval of new livestock
23 operations?

24 MR. WILLIAMSON: I think others around
25 this table will also be able to respond to this.

1 But specifically what we are doing in Water
2 Stewardship to move forward on that is that we,
3 within the province, we have an internal mechanism
4 which allows us to review and provide comments and
5 advice on new operations as they are starting up.
6 One of the -- and so our department is reviewing
7 new operations. We are looking at and using
8 similar measures as Conservation and Agriculture,
9 to estimate how much phosphorous and nitrogen will
10 be generated from that operation and, therefore,
11 how much land they may ultimately need to ensure
12 some level of balance between input and removal.
13 And so we are recommending then at startup that
14 they have access to that land base. And so these
15 are new recommendations, and so we've built a
16 process in to inform the system about what will be
17 required, at least over the long term in terms of
18 that land base. So there may be much more that
19 can be done in that, in the future, but that is
20 our approach right now. So at least the decision
21 making processes at the present time are being
22 informed of what ultimately the land base
23 requirements, whether that is in five, ten, even
24 20 or 25 years out.

25 THE CHAIRMAN: Can I just expand on

1 Doug's question? Perhaps I don't fully understand
2 this allowing up to five years of crop removal
3 application, what does that mean? Does that mean
4 if I'm allowed one time so I can put five times,
5 or if I'm allowed 2 times I can put 10 times on?
6 Is there no concern about that building the
7 phosphorous level in the soil too high?

8 MS. LORO: The multi-year application
9 rate, it could be up to five times, provided you
10 don't exceed the nitrogen requirements of the
11 crop. So if your nitrogen application rate
12 resulted in four times the amount of phosphorous
13 being applied than would be removed by the crop,
14 that would be allowed, but you wouldn't be able to
15 go back to that field and reapply nitrogen
16 fertilizer in the subsequent years. So rather
17 than applying, if your nitrogen application rate
18 was 8,000 gallons per acre and your phosphorous
19 was 2,000, rather than trying to go in at
20 2,000 pounds per acre, we would allow the 8 but
21 you wouldn't be able to go back to that field in
22 the next five years. The build-up of phosphorous
23 in that field would not be different than if you
24 went in two, two, you went down and the subsequent
25 crops draw down the phosphorous in the subsequent

1 years.

2 THE CHAIRMAN: So there is no danger
3 of that phosphorous escaping in those subsequent
4 years because you have overloaded it in the first
5 year, or am I misunderstanding the concept?

6 MS. LORO: Providing the other
7 management practices are used, you have, I'm going
8 to assume injection of manure and so you have a
9 covering, so there is not an unreasonable
10 increased risk of that converting to soluble P and
11 then all being leached off or transported through
12 runoff. The assumption is it would go into the
13 soil cycle and be available to the next crop. You
14 may get some losses, but the cropping system is
15 never going to be a no loss system. So it was to
16 allow some flexibility with different types of
17 manure. So cattle manure as well, for multi-year
18 application rates. You still need the same land
19 base, you would still need this one time crop
20 removal land base, because in the other three
21 years you have to have other parcels of land to go
22 to. So your overall land base doesn't change. It
23 is a phosphorous land base, but your management of
24 each individual parcel might be on a nitrogen
25 basis.

1 THE CHAIRMAN: All right. Mark.

2 MR. TRUELLE: Maybe I have just a
3 comment about the five time crop removal rate. I
4 have two concerns with that. The first one is
5 five times -- it is okay if you have a soil P that
6 is low, when you have a high soil P there is a
7 problem with that, you are increasing the soil P
8 that is higher. My second concern that is more
9 important than that, if you have a certain land
10 base and you are spreading five time crop removal,
11 it means if you have four different pieces of land
12 and you are using two pieces of land and you are
13 spreading five times crop removal, if you are
14 doing the same thing on the other two pieces of
15 land in the year after, it means that for the next
16 three years you don't have access to your land,
17 you have to go outside. You have a five years
18 time where the land won't be used. So you will
19 have to move manure, instead of moving one part of
20 manure, you will remove all of the manure for two,
21 four, maybe five. So from a management point of
22 view I think it is not helping the farmer, and I
23 will prefer to have a five time crop removal by
24 using liquid separation, you keep the nitrogen and
25 you just get out of the phosphorous. So you will

1 probably be able to keep your five times with
2 nitrogen, without the phosphorous, otherwise you
3 will just increase your rich, especially on rich
4 soil P, you will lose your field for the next two
5 or three years. I don't know, I did some scenario
6 with that on one farm and it didn't work well.

7 MS. LORO: This recommendation was
8 fairly well thought out by the committee and goes
9 beyond just liquid pig manure. Liquid pig manure
10 is high in nitrogen, so it is highly unlikely
11 unless you have a very dilute terms of the five
12 times application rate. You are going to likely
13 be (inaudible) by the nitrogen application rate,
14 some of it allows them for economic reasons and
15 for reasons of spreading equipment technologies
16 that are currently being used, to continue with
17 their nitrogen rate of application provided they
18 don't go back to that field the next year and
19 continuously overapply phosphorous. They have to
20 rotate in order to draw down. So this was done
21 for economics for the industry. The other reason
22 was for the cattle industry, because their manure
23 are very low in nitrogen, they tend to put on at
24 very high rates often during the year that they
25 establish forages. So they incorporate fairly

1 high rates of manure and establish their forages
2 there and they don't have to go back to that field
3 until sometime later in their cycle. They wanted
4 it based on their forage and based on the nutrient
5 to be able to rotate their fields. So there is a
6 couple of different reasons, the number 5 was
7 chosen based on looking at other jurisdictions on
8 what they were allowing in making it fairly
9 consistent. Understanding in the long term there
10 wouldn't be an overall increase in soil test P,
11 and also that the nitrogen requirements of the
12 crop were never exceeded in any one application.

13 MR. MOTHERAL: Correct me if I'm
14 wrong, the five times application needs a letter
15 of approval, does it not, from the department?
16 Where did I read that?

17 THE CHAIRMAN: I think if you want to
18 apply if it is over 180 parts per million --

19 MR. MOTHERAL: Sorry. I would hope in
20 that case like that, that there would be other
21 factors looked into.

22 THE CHAIRMAN: It would be part of the
23 manure management.

24 MS. LORO: It would be looked at
25 within the manure management plan.

1 MR. MOTHERAL: All of that would be
2 looked at.

3 MS. LORO: It would have to be
4 approved.

5 MR. TIMMERMAN: Because application
6 rates are all reported, it would all have to be
7 explained to Conservation.

8 MR. FLATEN: Just to clarify though,
9 what it means is that you would be applying on the
10 nitrogen based manure application rate just like
11 all farmers were doing prior to November 8, 2006.
12 So I mean this one and five kind of thing sounds
13 like it is a huge increase in the amount of manure
14 that would be put on, but it is really not. You
15 would be applying the manure, the nitrogen based
16 rate, but you would have to take years off. So it
17 is still an incremental downward loading over that
18 five year cycle as opposed to a continuing --
19 allowing the nitrogen based application to
20 continue. But the reasons are primarily economic
21 in that the practical technology, as Petra
22 mentioned, is not readily at hand in applying
23 manure at 2,000 gallons per acre. And the
24 economics, it costs people thousand of dollars an
25 hour to hire these manure managing companies and

1 to put it on at that low rate and spend an extra
2 week applying manure on the farm is going to be
3 extremely costly. It is an indication of the cost
4 and technical requirements, and it results in a
5 lowering of the application in the five year
6 period, and it is no greater amount of manure
7 applied in that five year period.

8 THE CHAIRMAN: We heard one farmer in
9 Whitemouth told us, and his operation was closer
10 to Beausejour, he told us he paid 35,000 for the
11 spreading and it was three days work. And a
12 bigger operation, I'm sure you suggested would be
13 50,000 up, so --

14 MR. FLATEN: Just to make a comment on
15 the cost of these adaptations strategies, I'm not
16 an economist, but I did grow up on the farm, and
17 farmers take in a lot of money in Manitoba, 3.6 or
18 \$7 billion a year, but they are very good at
19 spending it. I don't know if you saw the Winnipeg
20 Free Press, after taking in \$3.6 billion, they
21 have \$25 million left. So when we are talking
22 about estimated costs of adapting to the
23 phosphorous regulation being 20 to \$30 million a
24 year for the pork industry alone, in a kind of
25 year like 2006, it means \$1,500 per farm in

1 Manitoba. And these farmers compete in
2 international marketplaces where they don't have
3 control over prices. The economics even though
4 they are not the overriding issues that you had
5 protecting the environment, to introduce expensive
6 BMPs into a system that is already struggling to
7 survive economically is a big challenge that I'm
8 certain you heard about before, but especially in
9 light of today's news. I think that we are
10 talking a few million here and a few million
11 there, it really does count up.

12 MR. HALKET: When you say that the
13 spreading of the manure on the fields when you
14 bury it or put it underneath the soil, is there
15 any hard information on the mobility of that P in
16 terms of is it better off underneath the soil, or
17 is it the same mobility when it is on the surface?
18 Are there studies along those lines that have been
19 conducted?

20 MS. LORO: I know Jane Elliot did some
21 work looking --

22 MR. FLATEN: There is tonnes of --
23 there is lots and lots of papers showing that
24 incorporating and injecting the manure
25 substantially improves the chance that the

1 phosphorous stays in the soil and lessens the
2 chance of it running off, yes, very well
3 documented.

4 MS. LORO: I'm not sure in the context
5 of your question about flooding --

6 MR. HALKET: When I look at the Red
7 River Valley, when the Red River, for example,
8 goes over bank, it floods very shallowly, huge
9 areas. And I'm wondering if the mobility of that
10 phosphorous that is buried or injected into the
11 soil, if there are any studies under those
12 conditions?

13 MS. LORO: There have been studies in
14 relation to soils in saturated conditions and when
15 you saturate a soil we can't get away from it in
16 the Red River Valley that the soils saturate, the
17 studies say when you have saturated a soil you
18 have phosphorous in that soil. But I think when
19 you balance the literature in terms of which
20 management practices when we have manure to apply
21 to the soils, which management practices should we
22 be promoting, we felt injection and incorporation,
23 and the ban on winter spreading were the right
24 practices to recommend and that we would get more
25 benefit doing that than worrying about the

1 injected manure and its soilability during the
2 flooding period. You have to balance those out,
3 for sure. In the Red River Valley you are getting
4 huge transport in the spring from overland flow,
5 it goes underwater and anything surface applied is
6 going with it, hence the recommendation to
7 incorporate or inject in the fall and to ban
8 winter spreading there altogether.

9 MR. HALKET: When you talk about five
10 times the amount being applied to the soil, or
11 five times the P removal from a crop, I look again
12 at the Red River and its hydrology and I say, you
13 know, every one out of every two or three years it
14 is going to be overbank and it is going to be --
15 the waters are then going to be removing that
16 phosphorous anyway, if you are going to look at a
17 regulation that says you are allowed to go five
18 times over.

19 MS. LORO: The regulation doesn't
20 actually say that you are never allowed to exceed
21 the nitrogen requirements of the crop, but you can
22 exceed the phosphorous requirements. With pig
23 manure it is very unlikely that you are going to
24 be applying phosphorous at five times the removal
25 rate when you apply the nitrogen requirements of

1 the crop. So that is not a target rate. We are
2 not targeting, saying I'm going to calculate how
3 much manure I'm going to apply so the crop will
4 remove 30 pounds of PP, I multiply that by five
5 and I can back calculate how much manure I can put
6 on, that is not how it is done. You would never
7 be able to exceed the nitrogen requirements.
8 Prior to November it is the way manure has been
9 applied all along, so what the five times does, it
10 allows you a multi-year application rate and it is
11 probably more applicable in terms of its magnitude
12 in terms of the cattle industry and cattle manure,
13 which are low in nitrogen and so the application
14 rates based on nitrogen are much higher and they
15 are putting on more phosphorous, and the majority
16 of that was during the establishment, they don't
17 want to bury their forage, it is during the
18 establishment of the forage that they would plant
19 into it and establish that.

20 MR. TIMMERMAN: This is the first
21 iteration or first shift from nitrogen to
22 phosphorous in agriculture period, and the
23 livestock industry that faces the most challenges
24 in trying to comply, and the expert committee had
25 to recognize that in coming forth with

1 recommendations that would be reasonably flexible
2 while still moving towards the long term
3 objectives, knowing we will make change again down
4 the road, knowing how it works out. We had to
5 have something that we could sell with the
6 producers, especially with the cattle industry, if
7 we didn't build some flexibility in, we wouldn't
8 be making any progress in moving from nitrogen to
9 phosphorous. On the point about fall application
10 of manure, I will call upon Don to reach into the
11 recesses of his brain or anyone else from the
12 expert committee that could confirm that Jane
13 Elliot has done work in Saskatchewan in looking at
14 manure, fall application versus spring, and
15 certainly we would favour a spring application
16 that is closer to crop utilization and after
17 spring snow melt to fall, which would then be in
18 the middle, and at the worst end of the range
19 would be winter application. So, again that moves
20 to my point of moving industry to the right
21 direction and logistics have to come into play, we
22 can't insist on the industry applying its
23 fertilizer in the spring, fall prices tend to go
24 substantially lower than spring prices.

25 MS. JOHNSON: I want to go back to the

1 spread fields. We have heard in our travels,
2 calculating them differently and agriculture has a
3 whole different opinion. So how do we arrive at
4 that?

5 MR. WILLIAMSON: What I can say is and
6 my colleagues from Conservation and Agriculture I
7 hope would respond as well. This is a new
8 internal process that we are implementing, and the
9 calculation itself, we are I believe at exactly
10 the same point now. Certainly when we started
11 this process there were differences. The
12 differences are really technical. And as far as I
13 know, we've either worked out all of the technical
14 details or virtually are there. So we should see,
15 at least moving forward, be able to do the
16 arithmetic in the same way.

17 MS. LORO: It has been a learning
18 curve for a lot of people whose expertise hasn't
19 been manure management and definitely on the other
20 side water quality bringing those two together.
21 The calculations, we should all be doing the same
22 thing. You may get technical differences of
23 opinion on the productivity of a parcel of land.
24 So all of the manure application rates are
25 calculated based on crop yields potential, so you

1 have a target crop yield and there may be
2 differences of opinion there, particularly when
3 you get to more marginal lands. And how you are
4 assessing those lands, whether you have had a site
5 visit versus looking at a map that may or may not
6 be outdated, and whether that land has been
7 improved or not. So your assessment might lead
8 you to conclude it is not very productive, but in
9 fact it is, those things get ironed out in the
10 process. I see one area where you come out with
11 different opinions would be on crop yield
12 potential and that is the first number that is
13 used in the calculation. So if I think my crop is
14 going to remove a lot of phosphorous and somebody
15 else disagrees, they are going to come out with a
16 different application rate.

17 It is different with phosphorous than
18 the nitrogen side of things. In the past
19 producers may have seen large differences between
20 agriculture in the southeast on grasses saying we
21 think that you can remove 120 pounds of N and
22 somebody else saying that land is marginal, we
23 think it is 60 pounds. And those are differences
24 of opinion that have to be resolved in the
25 process. That may be -- I'm guessing as to why

1 you have heard that, but the calculations
2 themselves, there are various ways of doing them
3 but they all come back to roughly the same thing.

4 MR. TRUELLE: I think for the
5 calculation, moving from nitrogen to phosphorous,
6 you have to include new concept, and the way that
7 conservation has being looking at phosphorous
8 right now is trying to estimate the output of
9 phosphorous per different type of livestock. So
10 avoiding the -- trying to avoid the volume by
11 concentration which is quite difficult to estimate
12 for different livestock, you need accurate soil
13 analysis and accurate volume. By using the output
14 of phosphorous per head, it is easier and quicker
15 to get a good estimate of the phosphorous
16 generated by the operation. So I think right now
17 we are probably using the same value, so it should
18 not be an issue in the long run I guess.

19 THE CHAIRMAN: So, one thing we heard
20 a bit, and I think in part we read between lines,
21 that a lot of the anticipated growth in the
22 industry in Manitoba in the next few years would
23 not be a lot more farms and more hogs, but growing
24 more hogs or pigs to finish in Manitoba. And
25 perhaps a significantly larger number of pigs

1 growing to finish size, which, of course, means
2 more and perhaps significantly more hog manure.
3 What does that do to this whole equation? Or is
4 it just a matter of management within the
5 regulation?

6 MS. LORO: Well, they project more
7 finishing barns so they can close the loop within
8 Manitoba because we export, and so if the border
9 is ever shut we don't want to be left with a lot
10 of piglets and no home. They want to close that
11 production loop. Some of our best manure data is
12 from feeder operations because we have so many of
13 them, we have lots of data to work with, and also
14 right now, it is the feeder barns that have had
15 the best uptake for phytase use. And so with
16 respect to that, it is not, it is definitely not a
17 negative, it might be a positive in terms of
18 manure management. These barns are well on their
19 way in terms of phosphorous management. They have
20 got some tools at their disposal. They are
21 already using phytase in their feeding systems.
22 My hope is that they will be able to bring that
23 manure more into balance so when we do a
24 calculation, whether it is the nitrogen rate or
25 phosphorous rate, the land base is about the same

1 so they can manage the manure the way it fits best
2 into their system. So to have those barns be
3 feeder barns is not a negative for the province,
4 it is a positive in terms of closing the
5 production loop. And we had most of our data for
6 them, most of the manure data, and then those
7 barns are using phytase, a large number of them.

8 MR. TIMMERMAN: I would also add it
9 doesn't matter what kind of operation it is, it is
10 just a matter it is new and it is subject to the
11 new rules and has to be more sophisticated in its
12 management if it is going to apply. Pretty sober
13 education as to what they face in the way of
14 phosphorous management.

15 THE CHAIRMAN: Petra, did you say that
16 a feeder operation with using manure balance
17 practices phytase, phytase et cetera, it would be
18 a wash as far as land needed to spread the manure?
19 I think that is the big concern. Particularly if
20 a lot of weanling barns in heavily concentrated
21 areas like Hanover, La Broquiere, if they were to
22 switch to feeder with an increase in the amount of
23 manure, is there enough land in that area?

24 MS. LORO: No, I think you have to
25 target your expansion into less dense areas. We

1 might not be shipping to the states but we might
2 be shipping them out of the RMs for finishing.
3 Currently if you do a phosphorous calculation
4 versus a nitrogen for land base, they might find
5 in the short term the land base is about double.
6 It really depends on the system and how you do
7 that calculation right now. I would think the
8 industry is going to work very hard to reduce the
9 concentration of phosphorous in their manure
10 through the adoption of various technologies. I
11 mean phytase is a hopeful one, and I don't know if
12 they can reduce what is in their feed further.
13 That needs to be explored. So they don't double
14 their land base with a phosphorous base, so they
15 are closer to the land base that is calculated for
16 nitrogen. The big thing is to bring that manure
17 into a better balance. And that is a lot of,
18 there is a lot more confidence within the industry
19 right now for the use of phytase within the feeder
20 barns as opposed to the sow barns and the nursery
21 barns. So all of those areas need to be explored.

22 THE CHAIRMAN: Dwight?

23 MR. WILLIAMSON: From our perspective,
24 in response to your question, I would just like to
25 underscore something that Petra did mention, and

1 it is consistent with an earlier question that I
2 think was asked this morning about contribution in
3 this particular section. I think the fundamental
4 issue -- and so it doesn't matter what the source
5 is, which of the sectors the source is arising
6 from, as long as over the long term soil test
7 phosphorous is not being built up in the soil in
8 such a way that, if it is built up, there is a
9 greater risk that it is going to be lost to the
10 environment. So the fundamental long term
11 sustainability issue is whether a balance can be
12 maintained between removal and application. And
13 again, that sort of equalizes it. It doesn't
14 matter what the source is, what component is
15 expanding in any one sector, but the fundamental
16 is that you need to manage this balance issue.

17 MR. FLATEN: Just a comment about the
18 strategies for ensuring that the expansion of the
19 industry is sustainable, and it certainly relates
20 to some things that we have already heard today,
21 yes, soil test P is an important driver, a balance
22 is the driver of whether or not you are raising or
23 lowering your soil test P concentrations. But the
24 tools that can be used by producers, by hog
25 producers to maintain soil test P at an

1 environmentally acceptable level are varied.

2 There is a wide variety of tools that will fit in

3 better with some operations than others, whether

4 it is a farrowing operation, finishing operation,

5 what stage of life they are working with, what are

6 the local circumstances in terms of availability

7 of crop lands, the types of crops that are grown;

8 there is a whole range. I think what we want to

9 think of when we look at BMPs it is like a box of

10 tools, and I hope that your Commission and your

11 panel doesn't arrive at a sickle tool that is

12 absolutely the only one that you want to focus on,

13 that all farmers will use a pair of pliers and we

14 don't care about crescent wrenches or anything

15 else. Farmers need a wide range of tools and we

16 have to make sure there is no policy impediments

17 to those tools being available. We talked

18 briefly -- Mark talked about how we have to reduce

19 oversupplementation of phosphorous in the feed and

20 Petra mentioned phytase as a means of cutting down

21 on phosphorous in the feed. There is also some

22 new low phytate, high available phosphorous feed

23 barleys in development. There is a whole range on

24 the feeding side, whole range of tools in terms of

25 barn management and treatment. We want to make

1 sure all of those tools are available and in fact
2 the industry is encouraged to adopt them.

3 What we are missing and this is why I
4 asked Mark to highlight them in his comments
5 earlier, what we are missing in my opinion in
6 Manitoba is a coordinated team oriented approach
7 that goes beyond the regulations to helping set
8 targets for the industry to adapt. Not just
9 regulations, but also recommendations where we
10 just try to ensure that all of these tools are in
11 place. It involves researchers, Provincial and
12 Federal government people, absolutely critical to
13 this process is the industry. And this I would
14 think what I call adaptation strategy is a well
15 thought out, overall policy, that we don't just
16 see a government introducing regulations, we see a
17 government that is sincerely concerned about water
18 quality and nutrient concentrations and has a
19 comprehensive approach to make sure that the tools
20 are there for the farmers to adapt and comply, and
21 it goes beyond the regulatory package. One of the
22 challenges is to think of how can we coordinate
23 those activities so they are most effective and
24 most efficient and have the public and private
25 sectors in that partnership. And I think that is

1 really one of the biggest challenges that we need
2 to address here in Manitoba, is to encourage more
3 collaboration among the different groups that have
4 a vested interest in water quality and the
5 livestock industry both.

6 THE CHAIRMAN: Would it be -- I heard
7 what you said, Don, about not picking on just one
8 or two specific tools, would it be fair to say
9 that a common end point or goal would be, I think
10 Dwight just a moment ago stated, but a number of
11 others have talked much the same thing over the
12 course of the day, that the end goal should be a
13 balance, if I can really simplify it.

14 MR. FLATEN: That is one of the
15 critical principles, yes.

16 THE CHAIRMAN: How they get there,
17 there should be an number of different tools
18 available to achieve the balances, as long as they
19 achieve the balance is that a fair way to put it?

20 MR. FLATEN: In the long term you have
21 to reach balance. For example, with the current
22 thresholds you have to reach 120 parts per
23 million. And as soon as you get started as a
24 producer in cutting down your phosphorous loading,
25 the easier it is going to be on your operation if

1 it encounters that threshold. So it doesn't
2 matter whether the threshold were 16, 30, 20
3 Olsen P, at the threshold life is the same for
4 anybody who reaches that threshold, they have to
5 balance. This is where Mark's efforts to
6 introduce the balance where the Lake Winnipeg
7 Stewardship Board's recommendations, all of
8 section 32 -- who was quoting from the gospel of
9 the Lake Winnipeg Stewardship Board?

10 THE CHAIRMAN: Mike was.

11 MR. FLATEN: The information balances
12 and on farm balances, and it is what the
13 phosphorous expert committee was recommending, we
14 have to consider the balance of scales. These are
15 the universal themes that need to be addressed.
16 Like I say, no matter what threshold the
17 government sets, as soon as that threshold is
18 encountered it is the same, so it inputs and
19 outputs so it doesn't go higher.

20 THE CHAIRMAN: If we at the end of our
21 day in this review, if we can contribute to making
22 a better public policy on this, that is -- we
23 would be proud of our work. I mean how we get
24 there, what we say to get there, I'm -- we are not
25 sure yet. Anything you want to offer in that

1 regard, we would certainly appreciate.

2 MR. FLATEN: I would like to make a
3 comment that a lot of today's discussion has been
4 on the regulations. And I think there has been
5 some discussion about financial assistance, but
6 recommendations are a very important part.
7 Research and extension activities are a very
8 important part of this as well, and they probably
9 deserve additional investment. The other comment
10 I would say is that we have been focused a lot on
11 nutrient management.

12 There is a whole other element to this
13 phosphorous loss issue that hasn't received much
14 attention because we don't know much about it, and
15 that is water management. I think I alluded to
16 it several times. What we don't understand very
17 much about is what water management BMPs should be
18 used to compliment phosphorous from farms in
19 Manitoba, once again, regardless of what type of
20 production, whether it is pork production or
21 grains and oil seed production or whatever, and
22 that is another reason why I think that within the
23 Lake Winnipeg Stewardship Board and other
24 organizations we have been advocating for more
25 investment in field scale hydrological research

1 expertise so we know more about how the water
2 management practices that we are employing on our
3 farms might be affecting water quality as well.
4 So I think if you combine sort of a water
5 management strategy with a nutrient management
6 strategy, that combination has a chance to succeed
7 in improving water quality, but we have to work at
8 both of those issues overall.

9 THE CHAIRMAN: Without taking us too
10 far afield, what might be some of the water
11 management practices that we should be looking at,
12 or the province should be looking at, whether it
13 is us or --

14 MR. FLATEN: Well, some of the water
15 management issues are embedded in the special
16 management areas and setbacks that were discussed
17 and in fact included in the first round of
18 phosphorous regulations. We don't really know in
19 our system how effective a set back might be in
20 reducing the forms of phosphorous that we
21 traditionally find moving off of our fields in
22 Manitoba, so you will see that the setbacks, for
23 example, are not very wide in the current
24 recommendations. Some people would say they
25 should be way, way wider, and in fact the

1 specification for those setbacks, that might be
2 wider in areas where they have got documentation
3 that a wider setback will work.

4 Within our phosphorous expert
5 committee we couldn't see evidence for that, and
6 subsequent to the expert committee completing
7 their work, we now have a study out of Manitoba on
8 vegetative buffer strips and the overall
9 effectiveness is only 4 per cent in terms of
10 reducing phosphorous loading. And if you follow
11 those buffer strips, you will find that an
12 individual buffer strip doesn't work very well for
13 snow melt runoff, but it does the job it is
14 supposed to do as soon as the rainfall runoff
15 comes. That only accounts for 15 per cent of our
16 runoff, so that is why it is limited. Those are
17 the issues in, the special management issues in
18 the current regulation that are affected by this
19 lack of knowledge in transport processes and water
20 management in particular. So it is another huge
21 gap in our knowledge that is affecting our ability
22 to come up with science based policies.

23 MS. LORO: I just want to comment on
24 those buffers. We did have evidence to show the
25 effectiveness of buffers being questionable,

1 especially in the Red River Valley that was
2 completely under water in the spring. Those were
3 difficult to establish. With the exception of the
4 one metre buffer recommendations where we did have
5 evidence that in some cases the farmers were
6 tilling into it and planting into it and
7 fertilizing it. With the one metre buffer we got
8 the equipment out of the ditch and so I think it
9 serves its purpose in that way. As a regular
10 vegetative buffer to intercept overland flow and
11 filter nutrients, that wasn't its intent, because
12 we struggled with that in terms of the hydrology
13 and data that we had available. But it does work
14 in terms of getting equipment out of the ditch.

15 THE CHAIRMAN: I'm glad you gave that
16 explanation, because that was one of my questions,
17 why only one metre? It didn't seem to make much
18 sense, but from that perspective it makes a lot of
19 sense. Dwight.

20 MR. WILLIAMSON: I, of course, don't
21 mean to be argumentive on this point, but in a
22 sort of system of very small percentages, 4 per
23 cent is important, and so it is, and I think with
24 a lot of work and some of what is, some of the
25 work that Don has alluded to in terms of further

1 research, some of the buffer strips under test
2 yielded much better than that. Others in fact
3 contributed nutrients to systems. So we need to
4 look at that overall. It was a positive benefit
5 overall, relatively small at 4 per cent. But
6 still we can probably do better on that to improve
7 the efficacy of those that were yielding better
8 results than that, and to at least come to zero to
9 those that were contributing nutrients. So we
10 still have a lot of work involved, but
11 nevertheless in terms of small percentages, that
12 is an important one.

13 MR. FLATEN: More research is
14 required, isn't that what professors say?

15 THE CHAIRMAN: I'm sure that 4 per
16 cent less phosphorous in Lake Winnipeg would make
17 a significant difference.

18 MR. YEE: Don, just following up
19 recommendation number 3, everyone wants more
20 research and we have heard a few things, in
21 particular right now we have been discussing and
22 we talked about the 60 PPM and the 120 being sort
23 of a starting point in terms of soil P, and where
24 we are going with that. To help us out as a
25 Commission, because I think that is part of our

1 mandate, to look at the effectiveness of the
2 regulatory controls in terms of protecting the
3 environment regarding nutrient loading, what are
4 the particular areas that you could suggest that
5 data is required, what sort of data do we really
6 need? What should we be looking at and focusing
7 on to look at the effectiveness of these
8 regulations?

9 MR. FLATEN: Well, before we can even
10 look -- maybe we could look at the data first, but
11 it is going to come down to personnel. So I might
12 as well jump to that point. We don't have a -- we
13 don't have a team of field scale hydrologists that
14 can really help us measure flow and concentration
15 relationships with response to BMPs here in
16 Manitoba. We don't have a team of scientists that
17 can assure us that the flow rated mean
18 concentration, something that you are going to be
19 familiar with, is indeed affected significantly by
20 this BMP. We don't have the expertise and
21 availability of researchers to monitor the effect
22 of let's say a manure management practice on flow
23 as well as concentration. Manure, we have
24 almost -- we have painted manure as being a devil
25 today, but manure is a tremendous source of

1 organic matter and improved soil quality, and the
2 infiltration of water into the soil and in many
3 cases will actually decrease runoff.

4 We have to consider that our manure
5 management practices and crop management practices
6 may have an effect on water qualities as well as
7 the concentrations of nutrients in the water. We
8 need that type of expertise, and for the last two
9 and a half years it has been the recommendation of
10 the Lake Winnipeg Stewardship Board that we get
11 that expertise to facilitate that type of work.
12 We have to take that type of work that Wole and I
13 are doing in laboratory simulations and take it to
14 the watershed and validate the models that Wole
15 was referring to, and make sure that when we input
16 a process into a model, that it fits the prairie
17 watershed scenario.

18 We have almost no BMPs being evaluated
19 systematically and scientifically as a whole. For
20 example, an example, it is not related to manure
21 management, we have two little spots of land,
22 20 acres each in the twin watershed study in the
23 South Tobacco Creek in zero till and conventional
24 till. One records a conventional treatment and it
25 is confounded as all heck, but that is in Western

1 Canada. That is how much we have invested in
2 water quality research. It is an indication of
3 how little we actually care I'm afraid about water
4 quality, when you take a look at the level of
5 investment in the BMPs. When looking at BMP, and
6 alternative drainage systems so that manure fields
7 don't contribute as much water, that would be
8 wonderful, or the water is not as contaminated,
9 looking at the relationships between soil test P
10 and phosphorous in runoff field conditions, all of
11 these sorts of things are very important. But to
12 compliment that lacking, in my opinion, I'm
13 wandering into Dwight's territory here, all that
14 data is not going to help you if you don't have
15 ecologically relevant locally important water
16 quality objectives. There has to be complimentary
17 research in the waterways themselves or the water
18 bodies like Lake Winnipeg to know, okay, we do
19 have to go down to 40PPM and Olsen PPM, not only
20 because we demonstrated that we can from the water
21 ecological standpoint that our aquatic studies
22 demonstrate that we have to get down to that
23 level. (inaudible) We need watershed studies and
24 nutrient management and in water management,
25 combined with an area that I don't know very much

1 about, which is aquatic ecology, making sure that
2 we have a good idea what our objectives should be.
3 Then when those things are in place, we should be
4 in a much more informed position to look at
5 proposals such as Mark's and decide, you know
6 what, here is the evidence from Manitoba that is
7 pretty compelling. We have to ratchet these down,
8 let's get at it. Unless we have that investment,
9 I think we are going to be sharing a lot of
10 opinions about work done elsewhere, and I will
11 bring out one paragraph or one page from one
12 paper, and Mark will bring up another and Dwight
13 another and we will argue, and campaigning
14 opinions, but we wouldn't have the data locally to
15 settle the argument.

16 THE CHAIRMAN: And most of that stuff
17 is being done elsewhere than Manitoba or elsewhere
18 in the Canadian prairies?

19 MR. FLATEN: Exactly. You take a look
20 at how comprehensive the evidence was in Quebec,
21 not just a regulatory initiative, but a lot of
22 excellent research combined with a good strategic
23 plan developed by the industry. It wasn't just
24 one thing, it is a very comprehensive approach,
25 and I think your panel has an opportunity to go

1 beyond the regulations alone and into something
2 that is likely to be more effective.

3 MR. MOTHERAL: You bring up the twin
4 watersheds, of course, that is in the Deerwood
5 Conservation District. It is an excellent -- they
6 have done a lot of good work in the past number of
7 years and they have an excellent location to
8 conduct these sorts of things. Could there be a
9 recommendation at all that we enhance those kind
10 of projects, that there needs to be more done in
11 that area -- I keep looking over here, I don't
12 know -- I'm meaning this seriously. You say there
13 is lack of research on local areas and that is
14 something I know I talked to a couple of people in
15 that department in the Deerwood area, that do have
16 some things going there, and they need to do more.

17 MR. FLATEN: Before I turn it over to
18 Dwight, I will make some comments from the
19 Provincial point of view. I just want to say that
20 for the last probably three or four years I have
21 been hammering away at everyone that I possibly
22 can about the need to expand our base of work on
23 watershed management BMPs beyond the Deerwood
24 area, partly because although the Deerwood project
25 is in a highly erosive area, it is on an

1 escarpment and it is a high risk area for erosion
2 and flooding and stuff like that, it is actually
3 pretty typical for landscapes in Manitoba. So I
4 have been a long standing advocate in making sure
5 that we have a cluster of BMPs being developed for
6 the low lands, the Red River Valley, as well as
7 the uplands area and the Manitoba parkland area as
8 well. Maybe I will turn it over to Dwight and he
9 may know more about the initiatives to expand that
10 type of work in the province.

11 MR. WILLIAMSON: Thanks. I'm not
12 quite sure where to start. But perhaps by saying
13 that in some of the issues that Don has just
14 raised, he is completely right and we don't have a
15 defence for that. I would say too, though, that
16 direct investment into BMP research is not a good
17 measure by itself how much we care. There are
18 other measures that go into that. That could be
19 one, but it not ought to be the total measure.
20 But I agree, nevertheless, that as we move forward
21 to build and to fill the tool box analogy that was
22 raised earlier, these are very germane issues that
23 require answers to. I think, though, that in some
24 cases a critical argument, and I would make a
25 credible argument that we don't need to replicate

1 all of the research all across the landscape to
2 come to a common, to come to consensus on the
3 benefit of one particular best management or
4 beneficial management approach relative to
5 another. There is some testing that needs to be
6 done, but we don't have to replicate all of that
7 in the various forms of our landscape, but more,
8 of course, is much better than not enough.

9 I would say as well, just a couple of
10 things, we are looking at providing more
11 investment in this area directly into BMPs and
12 those discussions are still underway, even
13 internally within the province, of what the
14 magnitude of that is going to be and the
15 direction, but there will be some of that. And I
16 will say as well that we are jointly, with
17 agriculture and our two Federal counterparts,
18 Environment Canada and Prairie Farm Rehabilitation
19 Administration looking at a project in two areas
20 of Manitoba, moving forward at the same time, one
21 in the four watersheds in the little Saskatchewan
22 River area, as one representative type of Manitoba
23 landscape. And another being the LaSalle drainage
24 area where we are looking at precisely
25 implementing beneficial management practices and

1 doing research on it to understand on a scaled up
2 basis, if you scale that up to those watersheds,
3 then what does it mean? And so those discussions
4 are underway, and I would say I think the target
5 is to start work on that project this year, but I
6 can say that there are still some significant
7 differences of opinion yet on what that project
8 ought to be, and how we might go about
9 implementing it. But anyways, we are developing
10 that and thinking through that process,
11 implementing BMPs on a small scale and then being
12 able to see what happens when we scale that up to
13 a watershed, and those are the two watersheds that
14 we are looking at. So there is some things
15 underway.

16 MR. MOTHERAL: Hopefully one of those
17 is phosphorous movement in soils.

18 MR. WILLIAMSON: Seems to be, and I
19 will look to my soil science counterparts that
20 those, that is a different body of research, it is
21 a matter of dumping water on to different soils
22 with different soil test P levels and measuring
23 what is coming out at the other end that is not
24 quite the same thing as this, but there is a need
25 for that, and that will verify or generate

1 contrary findings to what we already know, that
2 the higher the soil test P is, the more
3 phosphorous comes off, is there an inflection
4 point and where is it for our soils in Manitoba,
5 and that will help refine the thresholds that we
6 already have.

7 THE CHAIRMAN: They brought in some
8 fresh coffee and drinks. Why don't we take a
9 short break, grab a coffee and drink and we will
10 consult amongst ourselves and just see what more
11 questions we might have for you this afternoon.
12 There may not be too much more today, although I'm
13 sure we will have any number of them over the next
14 few weeks or months. Let's do that, come back in
15 ten minutes.

16 (RECESS TAKEN)

17
18 THE CHAIRMAN: Why don't we get back
19 at it? I don't think we are going to be that much
20 longer today. It appears that we've -- we are
21 getting close to having beaten this to death at
22 least for today. I think there is still one or
23 two perhaps minor questions among us around the
24 panel, but not a lot more right now. Edwin or
25 Wayne, did you have --

1 MR. YEE: I had a little conversation
2 with Ian and Mark. We are challenged with a
3 report, and we are looking at the sustainability
4 of hog production in Manitoba, so I'm trying to
5 get my head around this whole business of how do
6 we look at it, at hog production in a sustainable
7 manner. Have we reached it or not reached it? Do
8 we have the data? What data is missing? What do
9 we need today to address this issue of
10 sustainability of hog production in Manitoba? So
11 I throw that out to anyone around the table, if
12 you can comment on that.

13 MR. MOTHERAL: And if I may ask, and
14 base it on this is a phosphorous committee meeting
15 today, and based on that, what can we as a panel
16 recommend to the government, any research based on
17 phosphorous? I mean that is what we are here
18 today for. There is a lot of other issues in the
19 whole sustainability part of it, but that is just
20 my comment.

21 MR. YEE: Thank you for clarifying
22 that.

23 MR. TRUELLE: I think one of the most
24 important parts of this phosphorous reg is
25 associated to, and especially to the pig industry,

1 is associated to the capacity of the land to
2 receive a certain amount of phosphorous. So when
3 I think about balance, I'm thinking about a mass
4 balance from a farm to farm approach, but I'm also
5 thinking about a mass balance for a RM as well as
6 for a watershed. I think it is important to move
7 from farm to farm to a watershed in order to have
8 a picture of the capacity of the land to receive
9 phosphorous. And when I think about the capacity,
10 I think about manure, phosphorous from manure, as
11 well as commercial fertilizer. So it is part of
12 the whole picture and we should look at the
13 sources, the agriculture sources, and look at the
14 capacity of the land to receive phosphorous. And
15 the issue after that will be, well, are we
16 accepting that we are going two, three or five
17 times. It has become a political decision. But
18 before that, before looking at what will be the
19 issue for the amount of phosphorous, I think we
20 should look at the basic principle behind it, and
21 looking at the mass balance.

22 After that we will have a picture, and
23 the decision will come based on the economy and
24 based on the social issue, and we know there are
25 some areas that are concentrated, and they are

1 probably right now exceeding two or three times
2 crop removal. Maybe it will become an issue of
3 technology or some other option. Before looking
4 at different options, I think we should look first
5 at the mass balance of the area, and after that we
6 will work and be able to take the right decision.

7 So, instead of buying technology for
8 every farm in La Broquiere, there are other tools.
9 I think we have a box with different tools and we
10 should use all of these tools together. At first
11 we need the information and we need a way of
12 estimating on the watershed basis or RM basis,
13 what is the capacity, what is the capacity of the
14 land, and there is a limit somewhere anyway, so we
15 have to make sure we know the limit. And after
16 that we will work to increase it or expand it,
17 based on the fact that we know that there is
18 certain options that will be easily installed on
19 the farm or established on the farm.

20 MR. MOTHERAL: Would some of that
21 information be like what Don was saying, they have
22 got a project going in La Broquiere?

23 MR. FLATEN: Not on the balance of
24 what Mark is talking about. Our project at La
25 Broquiere would help illustrate the challenges

1 that lie ahead with respect to imbalance, because
2 right now our project at La Broquiere, we are
3 applying manure on a nitrogen basis and removing
4 very little phosphorous, and so we are able to
5 track the rise in phosphorous. But that project
6 is not actually testing phosphorous balance per
7 se.

8 I think what Mark is talking about is
9 right on target with respect to needing to
10 evaluate balances at a variety of different
11 scales, and that is right in line with what a
12 group of us here that preexisted Mark have been
13 thinking along the same lines, that anything --
14 the most important focus in terms of something
15 constructive is to start lining up information on
16 our balance.

17 But with respect to the limits, I mean
18 crop production in Manitoba, you know, removes a
19 lot of phosphorous every year and we export that
20 in grains and oilseeds. They are exported around
21 the world. So we are a long ways away from having
22 a phosphorous surplus in the province due to
23 livestock manure. I keep on reiterating it, but
24 85 per cent of the phosphorous that we apply is in
25 the form of synthetic fertilizers, and until we

1 displace every kilogram of that out of the
2 province in a sense, we always have room to grow
3 our livestock industry.

4 Not every acre of land or farm is
5 going to be suitable for manure application. That
6 is sort of a ridiculous concept. We have so much
7 more synthetic fertilizer phosphorous being used
8 in this province. We are a long way away from
9 having a really difficult province wide balance
10 problem. What we have is a problem of
11 distribution, exactly what Mark mentioned earlier.
12 We have some phosphorous surplus areas with
13 respect to manure and a whole bunch of the
14 province that is buying phosphorous fertilizer
15 imported from Ontario, Florida and Togo, West
16 Africa, instead of Steinbach or La Broquiere.

17 MR. HALKET: But surely there is an
18 upward number or a threshold that the land base
19 has based on the crop, the crop uptake, and how
20 you disperse that is maybe political in terms of,
21 okay, you have commercial fertilizer here and you
22 have livestock manure here. But surely there is a
23 number, there is a threshold, that this is what
24 the land can take, this is how much livestock can
25 be here based on this proportioning of fertilizer

1 to manure. And if we play with those ratios, then
2 maybe we can get a different picture. I don't see
3 any numbers out there that sort of suggest that,
4 and from what I hear Mark telling me, Quebec can
5 do this, and they can look at a particular
6 watershed and they can say, hey, this is --

7 MR. FLATEN: Recommendation 32,
8 Dwight. That is exactly what the Lake Winnipeg
9 Stewardship Board has been on record of
10 recommending for the last two and a half years is
11 that we have that capacity to do that. Is anybody
12 listening? Check.

13 MR. MOTHERAL: So you want me to
14 highlight 32?

15 MR. FLATEN: Almost nothing we've
16 discussed today hasn't been discussed at
17 considerable length before. I was just going
18 through my gospel of the Lake Winnipeg Stewardship
19 Board, just highlighting the recommendations that
20 are directly pertinent to what we have discussed.
21 And the initial interim recommendations that came
22 out two and a half years ago haven't been changed
23 that much for the December 2006 recommendation.
24 It is just a matter of following through I think
25 on a lot of these concepts. But Mark's concept of

1 having a balance and knowing what your limits are
2 on a municipality by municipality basis, it
3 doesn't matter if there is a province-wide deficit
4 in phosphorous or whatever. If the RM of Hanover
5 and the RM of La Broquiere have a surplus, they
6 have to deal with that, if we are going to address
7 this issue of rising phosphorous in the soil.

8 MR. WILLIAMSON: I was actually not
9 looking for the recommendation from the Lake
10 Winnipeg Stewardship Board, but there was one
11 figure in our report, figure 13, and so I'm
12 transcribing this off of the graphs. The numbers
13 are terribly rounded.

14 MR. FLATEN: 100,000 tonnes of PDO 5,
15 which is the phosphate in the form which is
16 measured in fertilizer, which is about 45,000
17 tonnes of P expressed on what we call an elemental
18 basis. That is the crop removal. And if we take
19 a look at the total amount of phosphorous produced
20 by the livestock industry, in terms of recoverable
21 nutrients, this is old data, obsolete from Stats
22 Canada, but something like 9,000 tonnes being
23 mechanically applied on to agricultural land in
24 the province. So with 45,000 tonnes of removal,
25 and according to this, like 9,000 tonnes being

1 added, there is quite a bit of ceiling there
2 province wide. But the distribution is not even,
3 for a whole bunch of the social reasons that you
4 have heard ad nauseam as well. So that is why
5 this recommendation to address this issue on a
6 municipality by municipality basis is so
7 important, because that is where a lot of the land
8 use planning is based and that is the scale at
9 which I think we have to manage our livestock
10 density. Would you agree, Mark?

11 MR. TRUELLE: Yes, yes.

12 MR. FLATEN: I think I'm saying what
13 you said.

14 MR. WILLIAMS: Don has made a better
15 point on what I was going to make on the data.
16 But I think this gets to maybe the number that Ian
17 was looking for. It is this value of on an annual
18 basis, province wide, that we deal with in terms
19 of phosphorous. And it doesn't matter then what
20 proportion is made up of livestock manure versus
21 synthetic, as long as, if there is an addition in
22 one component, there is a subtraction in the other
23 so that this is ultimately what you are dealing
24 with.

25 And then we have the other issues

1 which Don did express. It is this regional
2 imbalance thing, that we have more of one and not
3 enough of the other in one area, and in another
4 part of the province we are actually importing
5 from Togo, West Africa, which doesn't make a lot
6 of sense.

7 MR. AKINREMI: Just based on my
8 experience in the last few years, this is talking
9 personally, most of my research dollars has
10 actually come from the hog industry. And that is
11 where most of the information that we have now has
12 been generated. We have very little support from
13 the government in terms of RD and so on. And
14 there are quite some things that we have done and
15 some things that we have to do. For example, we
16 know, Mark has quoted, we know that acid soils had
17 to have a good way of measuring what we call the
18 degree of phosphorous saturation. And we don't
19 have one for Manitoba, it is just because it is
20 not easy to do, and we started to look at that and
21 we find it is not that easy. If it were that
22 easy, a lot of people would have done it, because
23 we have a unique set of soils. That type of
24 research, working on that and refining that, will
25 be something that I think the farmers would

1 benefit from eventually.

2 The other concept that has been
3 developed say for the fertilizer industry is the
4 concept of say the phosphorous buffering capacity.
5 If I add say 800 gallons by acre of manure
6 containing this phosphorous, by how much do I
7 expect my soil test P to increase? We don't have
8 to do it for all soils, you can do it for typical
9 soils in Manitoba, I think this would help
10 producers so they sort of know what the value of
11 their soil test is right now and they have an idea
12 of how much do I have to apply, how far do I have
13 to go in order to be below this threshold.

14 So those are some of the specific
15 studies, specific experiments that I think will
16 benefit the industry, more chemistry in that area
17 doing some more specific things, that would be
18 good if there could be money for that.

19 MR. TRUELLE: Maybe I haven't just
20 been following all of the talk. I was just
21 thinking about Manitoba in terms of research and
22 organization. And I think it will probably be
23 important to look at the fact that we probably
24 also need an organization that is probably
25 independent, and I'm looking at something that

1 Quebec has right now is a non-profit organization,
2 that is responsible of all of the research. So it
3 is not only the Pork Council that is giving the
4 money or the cattle industry, it is kind of a
5 global amount of money that is given to one
6 organization, and this organization is doing
7 research with different people, and it is open to
8 other jurisdictions as well.

9 So I think it probably will be
10 important to look at other jurisdictions as well
11 when you are doing some research. And we can
12 probably, as Dwight already told, we don't have to
13 recreate or try to do again what has been done
14 elsewhere. There is probably a matching processes
15 that can be easily implemented and it will be
16 faster here for the phosphorous reg. So instead
17 of waiting ten years to get a phosphorous reg, it
18 will be faster and easier here when the tools are
19 known, and when you are able to have some
20 research, I will say independent research, I don't
21 know how to say that, but it is kind of an
22 organization that is not directly linked to the
23 industry and money is given to different
24 researchers. But there is always a committee and
25 it is a multi-disciplinary committee looking at

1 the research. So you have peer review at the same
2 time. So it will probably avoid a lot of
3 problems, and people will have confidence in the
4 fact that research is done on a global
5 perspective, and with different people involved as
6 well. So it is not only conservation research or
7 water stewardship research, but it is a research
8 that has been supported and followed up by
9 different people.

10 THE CHAIRMAN: This might be going off
11 a little bit in a different direction, a question
12 that I have; how much of a concern is the leaching
13 of phosphorous into groundwater from
14 overapplication on marginal soils or out of
15 earthen manure structures, storage structures, is
16 that a major concern?

17 MR. AKINREMI: In the short term it
18 may not be, it depends on the soil. In the short
19 term it may not be, but in the long term it may
20 be.

21 For example, what you find is that
22 most of the soils that are sandy are the soils
23 that will not runoff. If the water doesn't go one
24 way on the overland, it will go vertically. The
25 other issue is the concept of degree of

1 phosphorous saturation. Those soils, for example,
2 the sandy soils right now, they have very little
3 capacity to hold phosphorous. So for now, we may
4 not be seeing anything, but if you continue to
5 load those soils, we have quite a bit of vertical
6 movement. If you continue to load them with time,
7 I think you are going to see leaching.

8 The other thing in terms of leaching
9 that has come up in terms of literature, what we
10 don't have here is where you have drainage, you
11 find that water is not the only thing that moves,
12 you have the (inaudible) that moves and it carries
13 quite a bit of phosphorous. They are finding when
14 water moves through cracks or when water moves
15 through the soil, not only will the water carry
16 what it dissolved but it will carry particles with
17 it, and so you have collateral movement. I don't
18 think that is much of a problem here, but some
19 soils, if phosphorous is in there, it is going to
20 move with water.

21 MR. WILLIAMS: Just a couple of points
22 on this. First of all, unlike nitrate and
23 nitrite, a component of nitrogen, which have human
24 health concerns related to drinking water and
25 therefore leaching of those parts, or those

1 nitrogen components into groundwater, can have an
2 adverse impact on groundwater and its use by
3 humans for drinking water. Unlike that there is
4 no such concern for phosphorous and its impact on
5 human health when it makes its way into
6 groundwater. The main issue with phosphorous is
7 in surface waters and its relationship to the
8 promotion of algal blooms. There is a linkage,
9 though, in that there is a component of ground
10 waters in Manitoba that do discharge to surface
11 water streams. So, for example, there is a
12 considerable that is simply not known. But we do
13 know that at the base flow in many of our streams
14 in southern Manitoba, that is the base flow that
15 would be there during periods of prolonged
16 drought, is actually being contributed from
17 groundwater.

18 In the Assiniboine River, for example,
19 through the Assiniboine Delta aquifer, the
20 contribution from the aquifer to the Assiniboine
21 River is something like 200 cubic feet per second.
22 So if you move phosphorous from surface soils into
23 groundwater and that discharges into a surface
24 stream, it is not a major concern in the
25 groundwater, but it is when it comes out

1 contributing to stream flow and there it has an
2 impact on promotion of algal blooms.

3 MR. FLATEN: Just to reiterate that,
4 there is well documented cases in Britain,
5 Netherlands, Quebec, Delaware, other parts of the
6 world, where if you overload a soil with
7 phosphorous, the phosphorous indeed can't be held
8 by the soil and it starts to leach through. And
9 if you just have natural drainage in that area,
10 you might not notice much of a problem for a long,
11 long time. But if you put tile drains in, so that
12 once that phosphorous has gone down a few feet it
13 has a direct outlet, that is when you can notice a
14 very substantial deterioration in surface water
15 quality, and a significant portion of phosphorous
16 loading to surface waters in those regions that I
17 just mentioned has been traced back to not tile
18 drainage on its own, but tile drainage combined
19 with excessive concentrations of phosphorous in
20 the surface soil itself; that is a deadly
21 combination.

22 If it is natural drainage out of that
23 groundwater, it probably would take a long, long
24 time before that problem actually shows up, and
25 once it shows you up you are going to have to live

1 with it for a very long time as well. An example
2 of that, I think one of the best in Western Canada
3 is under the County of Lethbridge there is what is
4 called a batter seed drain which has quite a bit
5 of ground water from feedlot alley, these areas
6 where 2,000 to 3,000 part per million soil test
7 phosphorous is astronomically high compared to what
8 we have here in Manitoba, and the concentration of
9 phosphorous in the groundwater discharge is
10 something like .3 parts per million, which is ten
11 times the threshold for nutrification.

12 So I think if -- that was one of the
13 reasons why we wanted to get these initial
14 phosphorous thresholds so that we wouldn't have
15 the same situation that they have got in
16 Lethbridge already, and it is partly related to
17 groundwater, as well as surface water, but it
18 takes a long time before you see it. So it is not
19 within the electoral cycle of a four year period,
20 for example.

21 THE CHAIRMAN: Any other questions?
22 Comments? Parting shots?

23 MR. MOTHERAL: This is not a parting
24 shot. It is a comment. And we have been working
25 in our report, probably will today, is we are

1 working on phosphorous, which is the buzz word
2 today. Now if this had been known four years ago,
3 the RM of Hanover maybe wouldn't be in the
4 situation they are, because they came up with a
5 development plan, and Doug Caver, the
6 administrator, told us that they came up with a
7 plan that they won an environmental award over,
8 and now since the phosphorous regulations have
9 come in, they are looked upon as demons now, and
10 they have to handle the problem.

11 I say phosphorous is the issue today,
12 what is the issue tomorrow? When we come up with
13 some recommendations, there is going to be another
14 issue. It is just me. It is a parting comment.
15 There could be a flavour of the day coming up in
16 five years' time that is completely different than
17 phosphorous.

18 MR. FLATEN: I would like to make a
19 comment on how far you can go with recommendations
20 and common sense, and give you an example of a
21 potential problem with copper and zinc loading
22 associated with manure that was nipped in the bud
23 before it ever became a problem. Some researchers
24 at the University of Manitoba were working with a
25 large pork producer in the province to look at the

1 characteristics of manure, looking at nitrogen and
2 phosphorous, salts and metals, and they identified
3 an area of concern there. They thought that after
4 something like 15 years of application some of
5 these nursery barns, where they supplement with
6 high concentrations of copper and zinc, could be
7 reaching levels of loading that were similar to
8 what the regulatory thresholds were for
9 application of municipal biosolids, for example.
10 As soon as that was flagged in the early drafts of
11 this report, this pork producer got its people
12 together; the veterinarian, together with the
13 nutritionist, with the land application manager
14 and all of these other people, and they said, you
15 know, do we really need to be supplementing with
16 this? We have to watch the balance here of copper
17 and zinc, because if we are in it for the long
18 haul -- and their team got together and they
19 reduced the supplementation, by 60 per cent and
20 the excretion by 75 per cent. They immediately
21 had got rid of the problem, it never saw the desk
22 of a regulator. It was just the right thing to
23 do.

24 And these people did not want us to
25 publicize this. I thought this was an outstanding

1 example of what we really call stewardship. But
2 they didn't want to draw attention to themselves
3 or anything like that. They just wanted to get
4 the job done and fix things before it became a
5 problem.

6 So there are other aspects of manure
7 management, salts and metals, and some of those
8 are covered in some of that Manitoba Conservation
9 Sustainability Study that Access put together.
10 But to the credit of the industry, I think it has
11 been able to deal with most of those problems,
12 potential problems before they have occurred.

13 THE CHAIRMAN: So that flavour of the
14 month won't come to pass.

15 Well, I would like to thank you all
16 very much for coming out here today and giving us
17 some of your time. I know speaking for myself
18 this has been a very good session. There is a lot
19 of stuff, we have heard lots over the last few
20 months in our hearings, we have read lots over the
21 last few months in preparation for the hearings
22 and after the hearings, and I still didn't have a
23 complete understanding of a number of the issues.
24 I probably still don't have a complete
25 understanding, but I certainly have a better

1 understanding than when I walked in this morning,
2 so for that alone I am quite grateful.

3 I suspect that we will be talking or
4 writing to any number of you again over the next
5 few weeks and months. So thank you for your time
6 today, and your time in past sessions, and perhaps
7 we will be calling upon you again. Thank you very
8 much.

9 (Concluded at 3:15 p.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

CECELIA REID and LISA REID, duly appointed
Official Examiners in the Province of Manitoba, do
hereby certify the foregoing pages are a true and
correct transcript of my Stenotype notes as taken
by me at the time and place hereinbefore stated.

Cecelia Reid

Lisa Reid

