

MANITOBA CLEAN ENVIRONMENT COMMISSION

HEARING

VIVIAN SILICA SAND EXTRACTION PROJECT

* * * * *
Transcript of Proceedings
Held at Mennonite Heritage
Village
Steinbach, Manitoba
Wednesday, March 1, 2023
* * * * *

CLEAN ENVIRONMENT COMMISSION

Jay Doering - Chairman
Laurie Streich - Commissioner
Ian Gillies - Commissioner
Terry Johnson - Commissioner
Peter Crocker - Secretary to the Commission
Courtney Harmer - Administrative Assistant
Bill Bowles - Legal Counsel
Kelly (Unknown) - Legal Counsel
Bob Armstrong - Writer

STANTEC

Steve Bundrock
Arash Eshraghian

AECOM

Douglas McLachlin
Ryan Mills
Miln Harvey
Cheibany Ould Elemine

LIFE CYCLE GEO, LLC

Tom Meuzelaar

SIO SILICA CORP

Feisal Somji - President and CEO
Brent Bullen - COO
Laura Weeden - Vice President Operations
Sander Duncanson - Legal Counsel
Jesse Baker - Legal Counsel

MANITOBA ENVIRONMENT, CLIMATE AND PARKS

Siobhan Burland Ross - Acting Director, Environmental
Approvals Branch

DENNIS LENEVEU

MANITOBA ECO-NETWORK

Glen Koroluk - Executive Director
Chris Klassen - Legal Counsel

MUNICIPAL SILICA SAND ADVISORY COMMITTEE (MSSAC)
Krista Boryskavich - Legal Counsel
Jason Mann

OUR LINE IN THE SAND
Chris Clawson
Janine Gibson
Tanzi Bell

PEGUIS FIRST NATION
Ian Halket

Hartmut Hollander

RURAL MUNICIPALITY OF SPRINGFIELD
Mark Prydun - Special Projects Coordinator, Water and
Waste Department

Ted Cole

Roland Fortin

Reporter: Arfana Mulla & Shania Chen

1 WEDNESDAY, MARCH 1, 2023

2 UPON COMMENCING AT 9:30 A.M.

3

4 THE CHAIRMAN: Well, good morning
5 everyone, and welcome. I trust everyone had a good
6 evening and here we are, ready to reconvene again.
7 Roughly, I expect the more -- roughly I expect the day,
8 so, we have six-hour days, three hours in the morning,
9 three hours in the afternoon, and that will allow us,
10 based on the sort of time management we've done, about an
11 hour and a half for each of the people that have status to
12 question, with a little bit of time left over because we
13 started with 20 minutes yesterday. So, Dennis, I will
14 turn it back over to you and I will remind you, as I have
15 been reminded, that this is really not the time for
16 opinions or particularly long opening soliloquies, but for
17 questions.

18

19 MR. LENEVEU: Good morning. It's Dennis
20 LeNeveu. I have a question regarding (inaudible). And
21 you see from that picture, the water on the outer annulus
22 can return, and in, I think it's 110 there, it formed sort
23 of a curtain around the outer side of the well and gets
24 sucked up again. And the patent says -- well, yes, that
25 that can inhibit sand uptake, and I think they mentioned

1 some strategies around that. Because what can happen if
2 water -- returned water is simply running down along the -
3 - in your -- outer annulus and gets sucked up, so, your
4 water's just going around, around, around, around and that
5 can prevent the sand from uptake. So, this is what it
6 says in the patent, and I'm just wondering what is the
7 hydrogeological perspective or insights on -- on this
8 issue?

9

10 MR. BULLEN: It's Brent Bullen from Sio
11 Silica. Can you identify by number, Mr. LeNeveu, which
12 spacing you were asking about? I mean they're referenced
13 on there. You know, 100, 130, are you talking about the
14 area of 68, 140? I just need to understand your question
15 with some clarity, please.

16

17 MR. LENEVEU: Unfortunately, I can't see
18 this slide that well, but it's -- oh, 140, yes, at the --
19 at the bottom, 140.

20

21 MR. MILLS: Ryan Mills with AECOM.
22 Thanks for the question. And yes, I believe I understand
23 what you're referencing. So, you're referencing downward
24 flow of reinjected groundwater that has been treated and
25 the subsequent uptake of some of that water through the

1 drill string as -- as a result of the airlifting process,
2 that would then be entrained in the slurry once again.
3 So, from a hydrogeological perspective, this is a near
4 field well hydraulics kind of phenomenon. You know, in --
5 in the normal operation of wells, there is -- this can
6 happen as well, and -- and it would be a -- a local scale,
7 sort of centimetre to metre scale phenomenon that would be
8 local to the extraction well string and -- and occur
9 within that void, and -- and that water would be kind of
10 captured in the overall mass balance of the extracted
11 water, and then reinjected water. What that might mean is
12 that some of that -- or more of that water, if you're you
13 -- you're creating a bit of a -- a localized flow
14 phenomenon, it might mean that there's less water being
15 pulled in from the aquifer, and so, you're setting up a
16 cyclic recycling of the water locally to the well.

17

18 MR. LENEVEU: Thank you for the answer. I'm
19 just wondering what that local cycling would do to your
20 sand uptake?

21

22 MR. BULLEN: Brent Bullen with Sio Silica.
23 With respect of the enhancement, or as it affects the sand
24 lift, it's really not material in the production of it.
25 It just allows the -- the replacement of the water into

1 the aquifer. Sand is still produced with or without the
2 water going down the annulus space.

3

4 MR. LENEVEU: Thank you for your answer.
5 Just as a clarification then. Is there any interference
6 of the sand update of that circulating water where it kind
7 of prevents a barrier from the sand of getting into the
8 intake pipe?

9

10 MR. BULLEN: Brent Bullen. No.

11

12 MR. LENEVEU: Thank you. Now, my next
13 question pertaining to that same diagram, I think it's 110
14 -- 120, let me just see. Okay, the -- whoops, I've lost
15 my -- there we go. The patent states "Water may be added
16 to the well from an external source to establish the water
17 level 130 at sufficient height to increase the water
18 pressure in the sandstone formation 110 to facilitate the
19 extraction of the sandstone slurry". So, does this mean
20 in the -- when you have the reinjected water at 110 --
21 raising the level at 130, a column of water entering, and
22 maybe even from an external tank that is even higher, that
23 this creates a pressure at the end point -- intake point
24 of the sandstone, at the top of the sandstone due to that
25 column of water? I -- I think I'm -- that's what the

1 patent says, so, is that column of water in the annulus,
2 which is shown only partially way up on the figure, if
3 it's all the way up, and even outside in a -- in a tank,
4 would that create an extra head and therefore a pressure
5 at the top of the sandstone aquifer, right next to the
6 well? That's a hydrogeological question.

7
8 MR. MILLS: Thank you for the question.
9 Ryan Mills with AECOM. In -- it's important to remember
10 that in this well configuration, that there is an overall
11 removal of -- of more mass from the void in the form of
12 sand and water, which is an approximate 50-50 blend. So,
13 you're removing more mass from the -- the aquifer system,
14 than you are returning, and so, that mass must be made-up
15 by -- from flow of groundwater into the system and
16 reinjection of some water from above. And that small
17 volume of water that is removed, right, will need to be
18 made-up by water supplied from the aquifer, so, that small
19 15 percent. So, you have a -- a small excess of water
20 that is being withdrawn from the aquifer, just like a
21 water supply well. And that net negative coming out of
22 the aquifer is -- would be resupplied by that reinjected
23 water. So, there is a depressurization in that local area
24 during pumping or -- and sand extraction that allows for
25 that reinjected water to flow under gravity drainage

1 conditions into the -- into the well.

2

3

MR. LENEVEU: Thank you for your answer.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

It's Dennis LeNeveu. So, I understand there'll be a lower pressure in the sandstone generally, but with respect to the bottom of the injection pipe, and where the water is returning to the aquifer at the top, is there a local net pressure difference there where there's a higher, with respect to the bottom, there's a higher pressure at the entry where the water is coming down on the outer annulus, and locally in that spot, and with respect to the region around it, and so, a higher pressure there, where the water is to enter, and a lower pressure down at the bottom? The net pressure throughout the system may be negative but is there a local pressure difference with little bit higher at the top due to water entering the resistance to that water moving around and -- and where the water is being pulled in at the bottom, where you'd get a more suction. So, the question is, is there a lower pressure here with respect to up here, a little bit higher, and the pressure up here is a little bit higher than the water around it? Is that an accurate description or am I misinterpreting something?

MR. MILLS: Ryan Mills with AECOM. First,

1 it's important to remember that the entire borehole will
2 be cased, so there will not be allowed to -- there will
3 not be provision or allowance for any interaction between
4 that reinjected water and the limestone aquifer. As you
5 can see on the figure you have, the casing extends into
6 the sandstone formation, and that is an -- an impermeable
7 casing, much like a water well, in fact, it may be the
8 same as -- as all of the water wells here, and it will
9 prevent interaction between that reinjected water and the
10 surrounding aquifer. Our field scale pumping tests
11 demonstrate that the zone of influence where groundwater
12 levels are reduced, in other words the pressure as you're
13 referring to it, is -- is lowered for some distance around
14 the extraction well and -- and therefore, the pressure
15 within that entire -- or the total head within that entire
16 zone of influence will be lower than it was prior to
17 testing, during operations until those water levels
18 recovered to static conditions. And this is the same as
19 what would occur in a water supply well within the system
20 now.

21

22 MR. LENEVEU: Thank you for your answer. I
23 wasn't concerned about the pressure in the carbonate, I
24 was concerned about just the local higher pressure in the
25 sandstone where the water is entering from the outer

1 annulus with respect to the pressure at the bottom of the
2 well and the water around it. And I appreciate that
3 they're sealing around the outer casing, or the casing,
4 but in the course of the extraction we saw the -- from the
5 side scan sonar, the aquitard eventually disappeared. And
6 so, then if there is a higher pressure locally, very
7 locally, where the water is coming in from the annulus at
8 the top of the aquifer and the aquitard is gone, except
9 for a small little region where there's still some grout,
10 is there a potential for that return water -- because
11 there's a local -- could be a local higher pressure
12 difference, to enter up into the carbonate?

13

14 MR. MILLS: Ryan Mills with AECOM. I'll
15 respond to that question first and then I'll -- I'll let
16 you carry on. So, as a direct response, in order for
17 water to move, it moves from high head to lower head. And
18 so, the tank on the surface will flow under gravity to the
19 base of that casing, and it typically takes the path of
20 least resistance. And so, during operations, the -- the
21 most negative hydraulic head, or -- or elevation
22 equivalent would be within the extraction pipe. So, that
23 water would tend to re-enter the extraction pipe or -- or
24 move in that direction, in favour of moving upward into
25 the carbonate because the heads in the carbonate are

1 higher than what they would be in the sandstone.

2

3 MR. LENEVEU: Thank you. Yes, I do
4 understand and appreciate that the water will move from a
5 higher pressure zone to a lower pressure zone. And I
6 appreciate, and as indicated, that the water can
7 recirculate -- water that's entering, down and be sucked
8 up to in the lower pipe. But if there is a small higher
9 pressure difference from the water coming in and it's a
10 little bit higher where it's coming in, than in the
11 carbonate above it, so, there's a high pressure here and a
12 little bit lower in the carbonate, with respect to the
13 pressure and the water coming down because of the big
14 column of water pushing it, then yes, most of it will
15 probably move down into the bottom. But because there's a
16 high head here and a lower -- slightly lower head, maybe,
17 in the carbonate, and it moves from high to low, if
18 there's a higher head locally right next to the well where
19 it's being injected, and a slightly lower head in the
20 carbonate, would it not then, according to your
21 principles, move from higher head here at the top to lower
22 head into the carbonate, if that situation exists -- high
23 head to low head, water moves now upwards a little bit
24 into the carbonate? Maybe most of it moves downward, but
25 high head here, low head in the -- lower head in the

1 carbonate, so, I would think the principles would say that
2 you would get some movement up into the carbonate. Am I
3 misconstruing this or is there -- is this a possibility?
4

5 MR. MILLS: Ryan Mills with AECOM. This
6 is, I believe, an opinion that you -- you're kind of
7 providing but it -- in nature and in reality, the water
8 levels in the carbonate are much higher than they are in
9 the sandstone during operations. And so, the -- this
10 hypothetical reversal of gradients and flow from low
11 within the sandstone to the overlying carbonate, it --
12 it's not supported by the -- the water levels in the
13 carbonate aquifer prior to operation and during operation.
14 They always remain lower in the sandstone than they are in
15 the overlying carbonate.
16

17 MR. LENEVEU: Thank you for your question --
18 or answer. Yes, I could see that, but because there is a
19 higher pressure at the injection point, I don't know that
20 it's definitive that it won't be slightly higher in the
21 carbonate.
22

23 But I'll move on from there and ask another
24 question regarding the return of water down that outer
25 annulus. In an artesian situation, there won't be a

1 lowering of the water in the outer annulus, it'll actually
2 and you should actually be coming out at the top. And
3 then in that situation, how do you get water to return
4 down the outer annulus? If there is an upward pressure
5 from the sandstone being higher, because it's in the
6 flowing well zone, how do you get water to enter by
7 gravity feed only down that annulus? This is actually
8 flowing out of the -- out of the top of the well. How --
9 how do you handle that situation from a hydrogeological
10 perspective?

11

12 MR. MILLS: Ryan Mills with AECOM. So,
13 initially the artesian conditions in the sandstone aquifer
14 typically exist further to the west of the project site.
15 It is acknowledged that there are artesian conditions
16 observed in the sandstone, but those do not appear to be
17 prevalent or persistent within the project footprint. And
18 the intention is to not produce sand, or extract sand, in
19 areas where artesian conditions are an issue and -- and
20 are are known to be present. In spite of that, the
21 project would be removing more than the -- the total
22 volume of slurry that would be removed, 50 percent of that
23 is sand and 50 percent of that is water, and so, that
24 would leave room for some reinjection of water at the time
25 of extraction.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. LENEVEU: Thank you for your answer. Do you have any data or information on the region of the artesian area that you would not now, as I hear you stated, be extracting sand from, and how would that artesian area reduce your 24-year project area? Would it reduce it at all? Are there no areas of flowing wells within your 24-year project area, at all? If there are, how much would your actual area be reduced so that it's not actually what is shown on your figures? It -- would it be something smaller?

MR. MILLS: Ryan Mills with AECOM. It's important to remember that we're here to talk about the first four to five years of operations, and so, those areas are -- are more well understood than the areas within the overall footprint of the project, that -- that may be approved in the future.

MR. LENEVEU: Thank you for your ---

MR. MILLS: sorry I was not finished. Ryan Mills, again. The exploration to date has not found artesian conditions. Artesian conditions typically onset in the -- you know, in -- in the summer months, they're

1 the highest but they are lower in the spring and the fall.
2 So, there are operational kind of efficiencies or
3 approaches that could be operated to mitigate against that
4 risk, avoid the artesian periods of the year where
5 individual areas may be artesian, and complete the work
6 under conditions that are not artesian.

7
8 MR. LENEVEU: Thank you. I'd like to move
9 on to slide 13, please. Now this is -- shows from a
10 response to a CEC IR request, the rate of -- this is
11 respect to the return -- or reinjected water, and it shows
12 the rate of water that's reinjected, and the rate of the
13 sand coming -- or sorry, the rate of the water withdrawn
14 with the sand, and the rate of the sand withdrawal. And
15 it shows separately, with blue dots there, the rate of
16 reinjected water, although there -- there's just discrete
17 measurements, whereas the rate of the sand and water
18 withdrawal are -- and there's another line there for the
19 total rate of withdrawal of the slurry, those are almost
20 continuous readings except where there was a pause for
21 side scan sonar. So, my question is, and another
22 participant asked it earlier, how were those measurements
23 made, and especially the measurement of the returned water
24 flow rate, since it's discontinuous dots, rather than
25 continuous lines of other one? So, how were these water

1 flow rates of withdrawal and reinjection measured?

2

3 MR. BULLEN: We just need a second. We're
4 having a slow internet connection -- to pull up some files
5 here. One sec.

6

7 MS. WEEDEN: This is Laura Weeden from Sio
8 Silica. So, the water reinjection rate is measured in a
9 straight section of pipe using an ultrasonic flow meter,
10 and it's -- the data is recorded, and we take manual
11 measurements in addition to the recordings. And then we
12 also record the volume of sand as it's extracted.

13

14 MR. LENEVEU: Thank you. How do you record
15 the volume of sand that's extracted?

16

17 MR. BULLEN: It's Brent Bullen with Sio.
18 The volume of sand is calculated based on a volumetric
19 calculation, so we actually measure it in cubic metres.
20 And then on the cubic metre, convert it back to its mass
21 per cubic metre, and that gives us the tonnage.

22

23 MR. LENEVEU: Okay, I -- I'm sorry, I'm --
24 I'm not understanding your answer. It's -- the sand is
25 measured with a volumetric calculation -- is this wet sand

1 or dry sand, and how is that volumetric calculation made?
2 Do you pull the sand out somehow and dry it, and -- and
3 measure it weight, or I'm not I'm just not clear on --on
4 that, I'm sorry.

5
6 MR. BULLEN: During the extraction phase of
7 these test wells, the discharges is contained in the large
8 tanks, and then the sand is actually scooped out of the
9 tank using an excavator track hoe. The calculated level
10 of volume of a bucket on the ones we're using is 2.3
11 tonnes, working back to the volumetric capacity. The
12 buckets are actually holed to drain, so there's not water
13 with it, and that's how we take the measurement of
14 material based on a volumetric basis, which is easily
15 mathematically translated into volumetric cubic weight.

16
17 MR. LENEVEU: Thank you for the
18 clarification. So, the sand that you pull out with a, I
19 think, a track hoe bucket, is it not wet, and if you
20 measure a volumetric calculation, there's some water there
21 and -- and you're -- you're measuring just the sand rate?
22 So, how do you differentiate the sand from the water in
23 it, without drying it?

24
25 MR. BULLEN: Brent Bullen. The sand is

1 wet, so we estimate the volumetric water containment still
2 on the sand at 15 percent by volume, and which is -- which
3 is in there, in the calculations.

4

5 MR. LENEVEU: Oh, thank you. So, what is
6 the uncertainty in these measurements, since this is just
7 an estimate?

8

9 MR. MILLS: Ryan Mills with AECOM. Wet
10 sand would at -- at most, typically hold sort of
11 approximately 25 or 30 percent moisture content the -- the
12 porosity of -- of the materials. So, the -- a pile of
13 sand would be partially the sand grains and then partially
14 the water, and -- and typically when sand is allowed to
15 free drain it -- it would, you know, at most have 30
16 percent moisture content, and -- and that would, you know,
17 rapidly deplete as it is a fairly porous material, and it
18 is a fairly, you know, quick drainage process.

19

20 MR. LENEVEU: Thank you for the answer. So,
21 I heard 50 percent from Mr. Bullen and now I hear 30
22 percent draining somewhat, so it sounds like there's some
23 uncertainty there. And when you have a pile of sand X
24 removed with a track hoe, I mean there might be some still
25 in the tank and you -- I don't know how you do a

1 volumetric calculation of your sand. Do you just measure
2 the geometry of the sand pile? Or do you have an actual
3 standard volume you put it in, and spread it out, so you
4 can measure it accurately if you have a pile of sand? I'm
5 having trouble understanding how you measure the volume.

6

7 MR. BULLEN: Brent Bullen. A couple of
8 clarifications. Mr. LeNeveu, I think you -- did, you say
9 50 percent, I said -- or 15, because I said 15.

10

11 MR. LENEVEU: I'm sorry, I heard 50. Maybe
12 you said 15. Could you clarify, please?

13

14 MR. BULLEN: Yeah, I'll clarify that I said
15 ---

16

17 MR. LENEVEU: Whoops.

18

19 MR. BULLEN: My course. I said 15 percent
20 -- one-five. Sorry I wasn't done.

21

22 MR. LENEVEU: Thank you. So, now I hear 15
23 and I heard another answer over here, 30. So, I'm still
24 having a -- A discrepancy. Well, I mean, there's
25 uncertainty. And so the volume calculation of your pile

1 of sand, I'm just wondering how you do that.

2

3 MR. BULLEN: You know, Mr. LeNeveu, I'll --
4 I'll answer the questions if you can try to not cut us off
5 with your mic, sometimes.

6

7 With the volumetric calculations, they're
8 done based on the volumetric capacity of the bucket on the
9 track hoe. These are test wells, it's testing programs,
10 where we're trying to prove up the methodology of
11 extraction. I think you're familiar with it because I've
12 seen pictures you posted of our equipment on site, but a
13 track hoe bucket has a maximum capacity of sand that it
14 can actually take volumetrically. And so, we will work
15 based on that volume, and then estimate it. And there's
16 your slight variance, is the water capacity in that as we
17 move it.

18

19 MR. LENEVEU: Thank you for that
20 clarification. Now, I haven't yet heard how you measure
21 the rate of return water and why it's discrete points
22 rather than a continuous line. Could you please clarify
23 that?

24

25 MS. WEEDEN: This is Laura Weeden. I

1 believe I already mentioned that we used an ultrasonic
2 flow meter in a straight line of pipe to measure the
3 gravity feed of water for reinjection.

4

5 MR. LENEVEU: Thank you. Why are there
6 discrete points rather than a continuous flow?

7

8 THE CHAIRMAN: Chair. Can I remind
9 people that the transcribers on the other end have no idea
10 who is talking unless you identify yourself before you
11 talk. Thank you.

12

13 MS. WEEDEN: This is Laura Weeden. They're
14 manual readings. We're not able to install a data logger
15 for continuous measurements.

16

17 MR. LENEVEU: It's Dennis LeNeveu, thank you
18 for your answer. In the EAP it says that when it's
19 talking about return of water flow rate, you must get
20 initially 70 percent sand, 30 percent water, and as time
21 goes on you'll get down to around 30 percent sand, 70
22 percent water, or even down to 20 percent. I don't see
23 that happening with these numbers. It seems to be blue
24 numbers are fairly constant. Is there some reason why
25 you, as your excavation gets deeper, and the -- you're

1 drawing from a larger area with more intervening water in
2 between, why the returned water doesn't -- or the
3 withdrawal -- withdrawn water doesn't have a -- a decrease
4 with respect to the -- the sand rate of flow? So, why
5 isn't there a smaller sand rate and a larger water rate
6 towards the end of the extraction, than the beginning.
7 I'm sorry, I'm not meaning the blue dots, I mean the other
8 red and blue lines. It doesn't seem to show the water
9 rate increasing and the sand rate decreasing towards the
10 end of the -- as you -- as time goes on in the extraction.
11 Is there some -- okay, is there an explanation for why
12 that differs from what it says in the EAP?

13

14 MR. BULLEN: Brent Bullen with Sio. The
15 EAP takes a broad-based approach of all parameters that
16 we've seen, and we've seen production of sand ratios as
17 high as 90 percent, typically 70, we'll go as low as 20.
18 We'll make adjustments during the production phase to
19 adjust those ratios.

20

21 One of the things you have to take into
22 consideration, Mr. LeNeveu, is the tankage on site that we
23 have, that we -- we discharge the sand slurry into, to
24 extract the sand from, has a capacity of roughly 110 cubic
25 metres. So, you're looking at moving averages of water.

1 So, we can actually take high-rate water at 20 percent
2 sand, low-rate water at 90 percent sand, but when we look
3 at putting sand back to the wellbore, we have the ability
4 to average those production irregularities through the
5 volumetric capacity of holding tanks on surface during
6 these -- these test wells. It's not -- it's not
7 instantaneously linear for the water going back in and the
8 water coming out because there is a capacity to hold and
9 give you a storage and -- and average capacity.

10

11 MR. LENEVEU: It's Dennis LeNeveu. Thank
12 you for your answer. I see continuous rates here rather
13 than overall average, so, I'm a bit confused how if -- if
14 you put it in a big tank and you're measuring an overall
15 average over time, I -- I'm seeing a continuous lines here
16 that are measuring, at particular -- you know, or
17 continuously with time. So, I -- I'm having trouble
18 understanding overall averages versus a continuous plot
19 that you see here.

20

21 MR. BULLEN: Brent Bullen. Maybe, Mr.
22 LeNeveu, I don't -- I'm trying not to give examples, but
23 if you took a 208 litre drum and put a hose on the bottom
24 of it, and you put water into that drum with a five-gallon
25 bucket, and so you could put 5 gallons in at a time, but

1 the hose is going to give you a withdrawal rate of a
2 gallon a minute. You'd only have to recharge that tank
3 every five minutes with a five-gallon bucket. When we're
4 on location, we do have continuous movement of water back
5 into the wellbore and we have discharge coming into those
6 tanks, and so, although the -- the operations are live,
7 you have an -- you have a buffering capacity in the tanks
8 to take the irregularities of water when it comes up high
9 and low in the sand concentrations, and still give you a
10 continuous availability of water back to the wellbore.

11

12 MR. LENEVEU: Thank you for your answer.
13 Can we move on to slide -- It's the slide with the
14 sandpiles. I'm just trying to find where it is. Oh,
15 Slide 15, please. Yeah, this is a simpler question. Here
16 we have the sandpiles at your processing facility, they're
17 15 percent water and that represents a total withdrawal,
18 permanent withdrawal of water from the aquifer, and there
19 are other withdrawals for your waste streams, for
20 instance, your overs and unders have some water in them,
21 and that would be a permanent withdrawal. And a question
22 -- response to an IR said, "All the vessels containing
23 water at the extraction site, the -- at your end, will be
24 taken to a disposal facility and that water will be
25 disposed of". So, that's another permanent withdrawal of

1 water from the aquifer. So, what is the permanent
2 withdrawal of water from that aquifer per year, based on
3 all these losses?

4
5 MR. MILLS: Ryan Mills with AECOM. Thank
6 you Mr. LeNeveu. The primary loss from the system is that
7 15 percent residual moisture content in the sand as it's
8 transferred to the slurry loop. There will be, at the end
9 of each year, a very small volume of -- of water entrained
10 in solids that have settled in the bottom of the
11 operational tanks that will be extracted and disposed of.
12 It will be, you know, I'm envisioning, you know, an inch
13 or two of water on the bottom of a -- of an operational
14 tank that would be residual and -- and disposed of. So,
15 very small to negligible in the context of the overall
16 water balance and losses in -- to the sand, which is the
17 primary loss that has been tracked.

18
19 MR. LENEVEU: Thank you for your answer.
20 It's Dennis LeNeveu. At 1.36 million tonnes of sand per
21 year, I don't know what the density of dry sand is, but
22 the volume may be determined by dividing that by dry
23 density and -- and then taking 15 percent of that, you're
24 going to come up with roughly 800,000 cubic metres of
25 water withdrawn from that aquifer per year from the -- the

1 sand, and I didn't hear how much you'd get from the waste
2 streams, but so, in addition to -- so, that number,
3 800,000 cubic metres, which may not be right, I -- I wanna
4 hear what the real number is, what is the total amount in
5 cubic metres of permanent water loss from the aquifer per
6 year?

7
8 MR. MILLS: Ryan Mills with AECOM. I'm
9 just -- appreciate your patience. We're just looking up
10 numbers that are reported in the -- in our hydrogeological
11 assessment. Ryan Mills, again, with AECOM. As shown in
12 Table 7B of the Hydrogeological and Geochemical Assessment
13 Report, we present two columns of -- of information. One
14 for the zero percent highly conservative reinjection --
15 zero percent reinjection case, and one for an assumed 50
16 percent reinjection case. And in fact, since this report
17 was completed, there's an intention to reinject even more
18 water. So, these numbers are higher than what we would
19 expect based on the revised extraction plan. And with
20 that, under the zero percent reinjection case, over the
21 five-year operating life, 2,500,000 cubic metres would be
22 extracted and approximately 169,000 cubic metres in the
23 initial year to 595,000 cubic metres in the remaining four
24 years. With 50 percent reinjection, that would drop to
25 47,000 cubic metres in total over the five year life and

1 3,000 to 10,000 or 11,000 cubic metres each year with that
2 50 percent reinjection case. And again, I apologize, I
3 don't have the updated numbers from the revised extraction
4 plan, but that would be dramatically less. And for --
5 sorry just to finish for context, this is approximately
6 the volume that has been -- licensed for -- for use on a
7 typical golf course, for instance.

8
9 MR. LENEVEU: Thank you for your answer.
10 It's Dennis LeNeveu. I'm talking about not a 50 percent
11 injection rate in a modelling study, I'm talking about
12 your production, when you withdraw 1.36 million tonnes of
13 sand per year at 15 percent water. I don't think this has
14 anything to do with your 50 percent scenario. All you
15 need to do to calculate the amount of water withdrawn per
16 year is know the density of the sand to get the total
17 volume of sand and then multiply by 0.15 and you come up
18 with a number somewhere around 800,000 cubic metres. I
19 don't hear such a number. So, let me ask you again during
20 production when you withdraw 1.36 million tonnes of sand
21 per year at 15 percent water, how much water is that in
22 cubic metres?

23

24 MR. BULLEN: Brent Bullen, Sio Silica. Mr.
25 LeNeveu, in the scenario you just laid out 1.32 million

1 tonnes a year, volumetrically and density equates to
2 roughly 800,000 cubic metres at a 15 percent retention
3 rate, you're looking at about 120,000 cubes of water when
4 you look at that -- that ratio.

5
6 MR. LENEVEU: It's Dennis LeNeveu. Thank
7 you for that answer. And there was another statement that
8 the water residual in your tanks at the end of the year is
9 just a small amount of water, but that water is -- has to
10 be returned to the aquifer by gravity flow during the
11 operation and -- of your sand. So, once you stop
12 operating your sand the -- the tanks are full. If you
13 keep trying to drain the tank by airlift, then you're
14 putting more water into the tank. And so, the response to
15 the IR was there won't be a -- just a residual water in
16 the tank at the end of the year, it would be full, and the
17 only way to get it emptied because airlifting to create
18 the suction would just put more water in the tank, and
19 you're not going to reinject it by a separate reinjection
20 by pressurizing, was to take it to a facility for
21 disposal, and that's a full tank, not a residual tank.
22 That was the response to the IR. So, at the year end,
23 with all the tanks full in your extraction zone, how much
24 water is taken to this facility for disposal?

25

1 MR. MILLS: Ryan Mills with AECOM. It's
2 important to remember that it does take days to weeks for
3 the water levels in the sandstone to recover after
4 completion of extraction, so there is an opportunity to
5 drain tanks under gravity to aid in -- in speeding up the
6 recovery of those water levels at the end of each year,
7 because the -- the drawdown cone or zone of influence has
8 not yet fully recovered to static conditions. So, that --
9 that water can drain. And as stated, you know, there --
10 there will be some residual solids with some entrained
11 water at the bottom of the tanks that will -- will not be
12 reinjected. It's expected to be a small volume of water,
13 and that will be taken away for disposal.

14
15 MR. LENEVEU: Thank you for that response.
16 It's Dennis LeNeveu. So, you're just saying that the
17 recovery drawdown -- there's a -- after you finish
18 extracting, there's still a drawdown cone that will have
19 enough pressure, suction pressure, as that drawdown cone
20 goes back up again to pull all the remaining water from
21 these tanks. And I think I saw in the EAP that recovery
22 is quite quick -- I heard days, but I -- I thought I saw
23 hours in the EAP. So, you're just saying the recovery
24 from the drawdown is enough suction to empty all your
25 vessels except the residual amount of water at year end.

1 Am I -- am I hearing this correctly?

2

3 THE CHAIRMAN: Chair, I'll just -- a
4 little time management here. I'll let you know you have
5 about 20 minutes left. If you can allocate your time
6 accordingly.

7

8 MR. LENEVEU: Thank you. Okay, I won't ask
9 that question. I have a lot of hydrogeochemical
10 questions. Will I have time to answer them?

11

12 THE CHAIRMAN: Chair. So, my plan is
13 to give each of the four people on the list roughly an
14 hour and a half today. We got 20 minutes in yesterday, we
15 might have some time left over. We -- people were
16 estimating between one and two hours, so I'm using an hour
17 and hour as a -- as an average. If there's time leftover,
18 I'm happy to cycle back. And others may ask your
19 question.

20

21 MR. LENEVEU: Well, I have a whole series of
22 geochemical questions. How much time do I have now?

23

24 THE CHAIRMAN: Chair. You have 20
25 minutes.

1
2 MR. LENEVEU: Can we go to the geochemical
3 questions, Slide 1, please. Thank you. Now this is an
4 air quality study from the processing facility plant by
5 Sio Silica. It shows the NO2 contours from exhaust and
6 equipment in the facility, and it's for a certain GHG
7 total for that plant. Now, in the extraction zone,
8 there'll be about six times the total GHG than in the
9 processing plant. So, you would -- based on analogy, you
10 would get six times' the contours of NO2 which would
11 result, based on those contours there, maybe a maximum of
12 600 cubic metre -- 600 micrograms per cubic metre. And
13 the contours go over big area for this -- at 70, contour
14 covers much of the area that would be for extraction up to
15 420 micrograms per cubic meter. The allowed limit is 200.
16 Now, there's a compressors in that extraction site that
17 would draw in the air, and they would draw in that
18 nitrogen dioxide because it's over a big area, and they
19 would draw in sulfur dioxide and benzene in the exhaust
20 fumes and oil vapours, and that would end up in the
21 aquifer. And nitrous oxide and SO2 are dissolved very
22 easily deformed nitric acid and sulfuric acid. And the
23 carbon dioxide as well, will dissolve -- some of it form
24 carbonic acid. And the benzene is sparingly soluble, and
25 some will dissolve, and so that's introduced into the

1 aquifer. From a geochemical perspective, is scrubbing of
2 the air a requirement for those compressors?

3
4 MR. MILLS: Ryan Mills with AECOM. I
5 think it's important, just for context, to -- to recognize
6 that pretty well -- well every drill rig that involves
7 drilling with compressed air, so most air rotary drill
8 rigs and dual rotary drill rigs, have compressors on them
9 that do operate in this manner to airlift cuttings. That
10 is actually the drilling technology, is to airlift
11 cuttings so the -- the subsurface materials and bring them
12 to surface to create a -- a void that becomes the well
13 after it is cased. And so, I've practiced for 20 years in
14 this field. I have -- have -- have never heard reports of
15 any impacts on water quality as a result of airlifting.
16 That -- part of that is that the -- the compounds that
17 you're referring to are relatively inert. Second, the
18 quantities are very limited. Exhaust from compressors is
19 open to the atmosphere and it is diluted by the
20 atmosphere. There are equilibrium reactions that govern
21 the -- the conversion of those compounds, and there is
22 abundant buffering capacity in the subsurface. So, you
23 know, I -- I just -- I don't see this being an issue.
24 Every well in this area, or -- or the majority or a large
25 proportion of wells have been advanced with air rotary or

1 dual rotary drilling techniques, for portions of the
2 borehole and -- and the air injection pipe, I would add,
3 will be hosted within the production string, so that --
4 that will create a buoyancy effect that would create up-
5 hole flow, not push it out into the formation. So, it's -
6 - it's more of a, I think you used the word suction
7 effect, that pulls water toward, and gases toward, the
8 borehole and up to the atmosphere to allow for venting
9 rather than reinjecting it into the aquifer.

10

11 MR. LENEVEU: Thank you for your answer.
12 It's Dennis LeNeveu. The compressor for the extraction of
13 sand is operating -- this isn't just for well drilling,
14 this is continuous up to seven injection sites per year,
15 operating -- or operating at a time for -- and this is
16 continuing for 220 days. And at -- so, there's a huge
17 input of air directly into the production pipe, and yes,
18 maybe most of it -- and there's definitely nitric acid and
19 sulfuric acid from the NO2 form. This is -- and yes, some
20 of that acid and benzene will come up with the water, but
21 this is in solution, and that water is returned. Your
22 process for filtration only removes particulate, it does
23 not remove dissolved material. So, it'll come back. And
24 so, now your benzene, nitric acid, sulfuric acid, on a
25 continuous basis for 220 days a year of your extraction

1 year, is being sent back into the aquifer in this -- each
2 extraction zone is quite small -- each cavity, and you're
3 having up to five wells pushing water back, and I don't
4 think you can guarantee that some of the acid formed, and
5 benzene, and other toxins, will not leak directly from the
6 pipe into the aquifer. But even with return water,
7 they're coming back into this small volume, and this is
8 happening. I think you -- the scale is far different than
9 you're suggesting for individual domestic wells. This is
10 a massive difference. And I would suggest that the
11 potential for contamination benzene is five parts per
12 billion is the limit.

13

14 THE CHAIRMAN: Chair. I'm going to
15 caution you that this is not a question, this is an
16 opinion that's being presented at this time.

17

18 MR. LENEVEU: The question was, in the light
19 of that argument, is it not necessary to scrub the air?

20

21 MR. MILLS: Ryan Mills with AECOM. It is
22 not necessary to scrub the air.

23

24 MR. LENEVEU: Thank you. Can we go to Slide
25 2, please? Well, I'm running out of time, but this is a

1 typical filter for removing microbial contamination -- to
2 remove it from compressed air. So, there's also a
3 potential for microbial contamination, but I hear that
4 you're not going to filter the air, so I'll just pass by
5 that.

6

7

I want to go on now to ---

8

9 MR. MILLS: I'll correct you. There will
10 be filtration of the air.

11

12 MR. LENEVEU: Thank you. But what I was
13 told in the IR is it's around five microns, which isn't
14 enough size to remove microbial contamination of around
15 0.2 microns, and you also have to dry the air for
16 microbial contamination. The normal filtration, not for
17 microbes, is just to remove dust so -- and that's what
18 there's quite a bit of literature on that, including Eva
19 Pip's submission that is online now, that you need these
20 much stringer -- smaller filters and drying of the air.
21 And so, is not more required, like I'm showing up here, a
22 big process and a simple filter?

23

24 MR. BULLEN: Brent Bullen, Sio Silica. Mr.
25 LeNeveu, you're bringing in other materials and references

1 that are not based upon the work that has been conducted.
2 I -- I think, graciously, we've -- we've answered many of
3 these questions and you're going circular on them, and
4 they've been answered in the IRs, they've been answered in
5 materials to you, and so, you're asking us to validate
6 your work. And I -- I would just ask if you could try and
7 focus your questions on the work that we've presented.

8
9 MR. LENEVEU: Thank you. It's, in this
10 case, Eva Pip's work, but -- and I don't think the
11 questions were adequately answered.

12
13 So, I just want to go on to Slide 3,
14 please. This is from the MBEN guidelines of what to do
15 with your sample preparation, and to prevent oxidation of
16 your samples. And some of the procedures dry the samples
17 at less than 40 degrees, keep them cool prior and after
18 drying, minimize delay after drying, maintain anaerobic
19 conditions by storing under nitrogen, freeze your samples.
20 This is particularly concerning for sulphide in the
21 samples that can oxidize very readily. Which of these
22 guidelines were -- or all them -- were these guidelines
23 followed in your sample storage and preparation before
24 analysis for all your geochemical samples?

25

1 MR. OULD ELEMINE: Cheibany Ould Elemine,
2 AECOM. This guideline, that MEND present -- is meant to
3 address the sampling and the preservation of the sample
4 for wide range of application, that include tailings, that
5 include waste rock, that include material that could be
6 stored in open pit. So, it's -- it's overarching method.
7 But what the guideline also said is that the preservation
8 need to be made based on the objective of the study. When
9 we drill core, when that core is brought up to the
10 surface, it's left to dry at room temperature. And after
11 that, it's sealed in core boxes, and stored in warehouses
12 where the humidity is maintained, or it's generally very,
13 very low. So, in case of our sample, there is no issue
14 with organic carbon or nitrogen. So, freezing the samples
15 or maintaining in -- in cold temperature is generally not
16 required. Second, when this sample arrive at the lab, and
17 if they might contain some humidity, the lab dries the
18 sample in an oven and stores them before putting in queue
19 for analysis. And we are very confident that materials we
20 sent to the -- the lab were -- were appropriately
21 collected, stored, and sent to the lab in a condition
22 where it didn't -- it was not weathered between the
23 collection and the delivery to the lab.

24

25 MR. LENEVEU: Thank you for your answer. I

1 want to go on to Slide 5, please. I want to now -- to
2 particularly talk about your sand samples, only three of
3 them. One of them was taken from 95.3, the sandpiles in
4 Vivian, that Woodbury reports as was unacceptable because
5 these -- they're exposed to the weather. In response to
6 an IR, Sil Silica replied that those sandpiles were
7 covered with a tarp. Now they weren't -- they were
8 extracted in June of 2019, the cover went on in June 2020,
9 as you see by these pictures, so they were uncovered for a
10 year. The reason they were covered is because there were
11 some complaints about silica dust from the piles, and
12 Workplace Health and Safety required them to be covered.
13 So, in the light of the fact that, is not sample 95.3
14 unacceptable, according to Hollander and Woodbury report,
15 and not valid?

16

17 MR. OULD ELEMINE: Cheibany Ould
18 Elemine, AECOM. So, for this assessment, we collected
19 three different samples. And with respect to this sample
20 in particular, let me backtrack a little bit. When we do
21 our assessment, we are looking at characterizing all the
22 materials that -- the project will mobilize, and those
23 include fresh material, as well as weathered material.
24 It's -- it doesn't say that we only have to test weathered
25 material. And the reason for that -- sorry, we -- we

1 don't only have to test fresh material. The reason for
2 that, analyzing what -- what may be weathered, gives you
3 an indication of those products that may exist after the
4 oxidation. So, you have real evidence of how the fresh
5 material will be if it's subjected to oxidation.

6
7 And one more thing, as our analysis shows,
8 the sand is almost 98 percent sand, and the remaining is
9 carbonate with some minor iron oxide -- iron oxide. There
10 is no sulphur in the sand.

11
12 MR. LENEVEU: Thank you for your answer.

13
14 THE CHAIRMAN: Chair. You have three
15 minutes.

16
17 MR. LENEVEU: Oh my goodness. I'd like to
18 go on to Slide 6. The other two sand samples, Bru 121 and
19 Bru 146, were outside the project area, well outside, and
20 they were sampled in 2018 and stored for two years, which
21 according to the -- sampling guidelines, the hold time is
22 much too long. So, those samples are suspect as well.
23 So, I would suggest you have no valid sand samples. And
24 as well, the sand is reported as having up to 15 -- five
25 percent oolite and -- or concretions and interbedded shale

1 that are known to have pyrite in them. So, your sample
2 volume, your -- your sand volume that requires sampling is
3 huge, about five percent of 1.36 million tonnes, which
4 suggests over 80 samples are required per year in order to
5 -- because of these other materials that come up with a
6 sign that are pyritic, and so, not three sand samples, one
7 of which was from a weathering thing, the other two
8 outside the project area, you need probably 80 samples or
9 more because of all the other entrained interbedded shale
10 concretions and oolite that are known -- that weren't
11 sampled that -- but are known to cause a -- be pyritic,
12 and within the sand and be drawn up. So, in the light of
13 those facts, is not three samples completely insufficient,
14 and you must go out and resample the sand over the entire
15 area for somewhat up to 80 samples? And ---

16

17 MR. OULD ELEMINE: Cheibany Ould
18 Elemine, AECOM. I will start by saying that's an opinion,
19 and I cannot address that at this point. However, the
20 guideline that the MEND provide is for the
21 characterization of the waste rock. The sand is the
22 commodity in this case. Let's replace the sand by gold,
23 for example. Is it reasonable to -- to send to the lab
24 six kilograms of ore for testing (inaudible). The same
25 procedure was done for this, and we collected samples to

1 make sure that we have a spatial distribution in order to
2 -- to capture the -- the geochemical features, and that's
3 why we used those two cores. And for the record, two
4 years old core is very, very young. Mining companies use
5 core that's ten years old for assessment, and two years I
6 -- I think you can consider it fresh. A core stored in a
7 warehouse for two years, I'm confident it's -- it still
8 has the same characteristics as when taken.

9

10 THE CHAIRMAN: Chair. So, that will
11 conclude this line of questioning. MSSAC, you are up
12 next. May I assume that Jason is in the chair again?
13 Thank you, Krista. Thank you, Dennis, for your questions,
14 and panel for your answers. So, Jason, will let you go
15 for about 20 minutes and then we'll take a brief break and
16 you'll get the remainder of your time on the other side of
17 the break. Sound like a plan?

18

19 MR. MANN: Sure. Thank you, Chair.
20 Jason Mann representing MSSAC. Thank you everyone for
21 allowing these questions today. My first question relates
22 to page three of your slide presentation yesterday. You
23 had a list of individuals who were directly involved in
24 the work, who did review of the work. It's quite an
25 extensive list. My recollection in reviewing the peer

1 review by Dr. Ferguson was that Jeff Bell, P.Eng. Friesen
2 Drillers, was also part of that review. I didn't see his
3 name on Page 3. Was his name just missed in that list of
4 reviewers or participants?

5

6 MR. MILLS: Ryan Mills with AECOM. Yes,
7 that's correct. Jeff did provide comments and feedback on
8 -- on some of this -- this work.

9

10 MR. MANN: Thank you. On your numerical
11 model calibration, was there a verification step there as
12 well, you know, even as a steady state case, to check your
13 calibration against a different set of base conditions?
14 So, in other words, as an example, even in the steady
15 state case, pick a set of conditions at the end of a dry
16 year or dry summer to see if that model still maintained
17 an acceptable calibration? Was there a verification step
18 like that done as part of the the work? Sorry, that was
19 Jason Mann.

20

21 MR. HARVEY: Miln Harvey, AECOM. No, we
22 used all of the historical data to do a calibration. A
23 verification step is possible, but not commonly done. We
24 did not do it.

25

1 MR. MANN: Okay, thank you for that
2 answer. Related question, I guess. Why would you suggest
3 it's not commonly done when it could be just an extra
4 fairly easy step to check your calibration state?

5
6 MR. HARVEY: Miln Harvey, AECOM. Yeah,
7 although it could be done, lack of data means that it's
8 very hard to do. We typically take all of the historical
9 data and -- and do a calibration, and at the end of the
10 project, to do the verification you would require more
11 data, and often that takes years to gather. So, there
12 isn't any data that -- or there doesn't appear to be any
13 data that we could use to do a verification.

14
15 MR. MANN: So, there was a very extensive
16 plot of calibration data demonstrated when you -- you
17 achieved your calibration. What I'm asking is you could
18 simply pick a set of data from a different period of time.
19 And there are long-term provincial well records here in
20 the province where a choice like that could be made, where
21 you may not have the same number of calibration points,
22 but you would have a reasonable amount of calibration
23 points to check your calibration. So, again, I'm asking,
24 why -- why wouldn't you take that approach, because --
25 well, I don't wanna render my opinion, but I wouldn't

1 agree that you wouldn't be able to do it because of data.

2

3 MR. MILLS: So, Ryan Mills with AECOM. I
4 think it's a fair comment that there is -- there's no end
5 to the number of -- of kind of time slices that you could
6 undertake to look at the data for an individual year,
7 going back over the approximately 100-year record of -- of
8 well construction and water level measurements in the
9 province. There are sort of a couple of classes of -- of
10 data. There's the long record of borehole well
11 construction reports, that typically have a water level
12 reported on them, that cover the full model domain
13 typically, but as you might expect, the -- the progression
14 of the installation of those wells sort of moved from a
15 centre of population likely, and moved generally east and
16 further away from, for example, Winnipeg. And perhaps
17 Steinbach. And so, the -- you're making decisions to --
18 to try to, in an attempt to capture the full geographic
19 extent of the model domain, and -- and also pick a
20 representative timestamp for -- for, you know, current
21 conditions. Those water levels do vary over time. There
22 is also a -- actually a fairly good water -- or monitoring
23 well network that has been established by the province and
24 -- and sampled from time to time, and with that, water
25 level measurements were -- were recorded. Many of those

1 records are in -- in paper format, as you're probably well
2 aware, and it -- it does require some time on behalf of
3 the -- the province to provide that data in a digital
4 format that's usable in the modelling context. And also,
5 you know, some time to -- to select a -- a timestamp.
6 Even that monitoring well network has slowly expanded
7 overtime.

8
9 MR. MANN: Jason Mann. Thank you for
10 your answer. All of those things are -- are correct, but
11 to answer the original question, a verification wasn't
12 done.

13
14 I'll move on to my next question, and
15 please correct me if I'm wrong in -- in my recollection
16 along the way on -- on this one. If I recall correctly,
17 the permeability conditions in the model were assigned
18 generally within the geologic units and may not
19 necessarily vary spatially. Is that correct?

20
21 MR. HARVEY: Miln Harvey, AECOM. In the
22 overburden, we have variable hydraulic connectivity. In
23 the sedimentary bedrock and the -- the Paleozoic bedrock,
24 there's -- or sorry, Precambrian bedrock, we have constant
25 properties by layer.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. MANN: I'm sorry, I was writing notes. Respectfully, could you just restate the layers again that have consistent K properties within them?

MR. HARVEY: Miln Harvey, AECOM. Layers four, five, six, and seven, which are the sedimentary and Precambrian bedrock.

MR. MANN: Jason Mann. Thank you for that answer. So, related question, is it possible then, based on the configuration of the model with these strata having consistent permeability conditions in the fractured rock, you know an equivalent porous media type permeability that was chosen, is it possible that the calibration condition isn't unique? In other words, could you apply a different uniform permeability condition to those strata and maybe tweak your boundary conditions and still achieve a reasonable calibration result?

MR. HARVEY: Miln Harvey, AECOM. So, first of all, the -- the model was well calibrated, but there are other possibilities that could provide a reasonable calibration. To encompass those, we did a sensitivity analysis by adjusting input parameters and coming up with

1 an understanding of the impact on output. And that's a
2 common part of the -- the modelling process. So, it was
3 calibrated, and then sensitive analysis was done to try to
4 capture some of that uncertainty.

5
6 MR. MANN: Jason Mann. Thank you for
7 that answer. My next question is related to sensitivity
8 analysis because I agree with what you stated there.
9 Slide 19 had a -- a plot or a table of -- of the
10 sensitivity analyses that were done. Sensitivity analysis
11 were discussed yesterday with the geotech group because
12 sensitivity analysis are important in any modelling study.
13 It tells you the end members of results that may be
14 possible as you vary input parameters or combinations of
15 input parameters. Allows you to choose the most probable
16 configuration or configurations from which design is based
17 and assessment of risk comes. Would you agree with that
18 perspective?

19
20 MR. HARVEY: Miln Harvey, AECOM. Yes.

21
22 MR. MANN: Thank you for that answer.
23 related question then would be, and apologies, I didn't
24 look through the table in detail, even at a high level,
25 what were the parameters in your groundwater model that

1 resulted in the largest variability on your model results?
2 Jason Mann, if I didn't mention that, sorry.

3

4 MR. HARVEY: Miln Harvey, AECOM. Hydraulic
5 conductivity, horizontal hydraulic connectivity with the
6 carbonate and the Winnipeg Sandstone.

7

8 MR. MANN: Thank you for that answer.
9 Jason Mann. Slide 20 discusses simulations that were done
10 and as -- as described on that slide with "degradation of
11 the shale aquitard". We've seen yesterday in the
12 geotechnical data collection and sonar scans, the shale,
13 in some cases, completely collapses into the void space
14 that's created in the sand below. So, my question is, in
15 the model, how was that shale condition modelled in the
16 groundwater model and in those simulation cases?

17

18 MR. HARVEY: Miln Harvey, AECOM. We
19 adjusted the hydraulic conductivity of the shale to be
20 equivalent to the hydraulic conductivity of the sandstone.
21 So, we're equilibrating essentially the -- the shale --
22 the degradation of the shale with the equivalent
23 connectivity of the sandstone to connect the two aquifers.

24

25 MR. MANN: Thank you for that

1 clarification in your answer. Related question would be
2 then, because that's a logical approach, what kind of an
3 area would you apply that adjustment to? Was it on a --
4 sort of a cluster size basis, or a single node, or a
5 single well point, or what did that look like in your
6 model?

7

8 MR. HARVEY: Miln Harvey, AECOM. We used a
9 200 metre radius around the well -- the operating well.

10

11 MR. MANN: Thank you very much for that
12 answer. Related question and it -- I can ask it now
13 because it comes into play with some of my questions
14 later. So, with those changes in simulations, which make
15 good sense to me, did you check what the vertical gradient
16 changes might be between those aquifer systems, first and
17 foremost? And then kind of related and second question,
18 did you check for a flux change vertically between the
19 aquifer systems when you impose that change in
20 permeability and a 200 metre radius, which would simulate
21 the -- the loss of the shale? I'm wondering about if you,
22 in the model, looked at gradient changes that might happen
23 and related flux changes vertically that might happen.
24 That was Jason Mann.

25

1 MR. MILLS: Ryan Mills with AECOM. I --
2 there are continuous hydrographs plotted that show the --
3 the transient response of water levels at several
4 observation points within the study area, to those -- the
5 operation of the extraction well clusters over time. We
6 do plot the water level responses in both the carbonate
7 and the sandstone aquifer at several locations,
8 representing in some cases real water supply wells and in
9 some cases -- or monitoring wells, and in some cases
10 hypothetical monitoring well locations. But we did not
11 explicitly calculate the -- the -- the change in gradient
12 overtime, or plot that information. It would be fairly
13 simple to do that, and -- and just by -- by reviewing the
14 hydrographs. But that was not directly completed here.

15
16 MR. MANN: Thank you for that answer.
17 Jason Mann. And so, apologies I didn't go through the
18 minutiae of a bunch of hydrographs and things, but what
19 you're saying is correct. Would that be something that
20 this panel would be interested to do or commit to do just
21 to do those checks on whether gradients change in the
22 model or if any flux changes vertically in the model?

23

24 MR. MILLS: Ryan Mills here with AECOM.
25 Yeah. That -- that -- that's fine. We could -- we could

1 undertake that.

2

3 MR. MANN: Thank you. I appreciate that
4 answer.

5

6 MR. MILLS: Just -- just for clarity.
7 Ryan Mills here. Primarily interested in -- in -- and
8 plotting the -- or the gradient difference.

9

10 MR. MANN: So, Jason Mann. Gradient
11 would be important, but I would be interested in flux too
12 with the -- with the loss of the shale if that's -- you
13 know, it should be -- should be something that's capable
14 to be done, but that would be the two pieces that I would
15 ask for a request.

16

17 MR. MILLS: Ryan Mills with AECOM. The --
18 the gradient portion we can probably accomplish within the
19 timeframe covered by the -- this hearing. The -- the rest
20 of the information does require more time to process. It
21 probably exists in the existing simulations, but those
22 simulations do take several days to run each, and we may
23 not be able to process that if it's not already contained
24 in the output files.

25

1 MR. MANN: Jason Mann. 100 percent
2 understand the answer that it would take time to pull the
3 flux from the model. Again -- and appreciate that it --
4 it's not coming in 10 minutes or maybe in a couple of
5 days, but would there be a commitment to share that
6 information?

7

8 MR. HARVEY: Miln Harvey, AECOM. Yes.

9

10 MR. MANN: Thank you for that answer.
11 The new model results that you have run recently start
12 being discussed on page 23 in your slide deck yesterday.
13 And my understanding is those new model runs were
14 initiated from a change in well cluster layout from the
15 geotech side that -- that happened recently. And there
16 was discussion there about adding new observation points
17 in the model to assess the model results. That's all good
18 stuff. So, my question is -- and again, I apologize. I
19 didn't go through all of the hydrographs or all of the
20 results and cross-reference these, but were there
21 coincident model observation points from that old model to
22 the new one? And you know, what does that change -- what
23 did that change look like, if just even at a high level?

24

25 MR. HARVEY: Miln Harvey from AECOM. So,

1 we kept the previous model observation points and we added
2 new ones.

3
4 MR. MILLS: And Ryan Mills here. Just to,
5 I think, directly address the -- the kind of tag on
6 question there. There were very few to no changes. So,
7 really the -- the behaviour of the aquifer remained
8 similar in -- according to the model outputs. And -- and
9 really, the spatial footprint of those -- the drawdown and
10 recovery is -- is what changed.

11
12 THE CHAIRMAN: Chair. Let's break
13 for 10.

14 (OFF RECORD)

15 (ON RECORD)

16
17 THE CHAIRMAN: Chair. Okay. Folks,
18 let's get back to our seats, please. We have lots of
19 ground to cover today. All right. Jason, the floor is
20 yours.

21
22 MR. MANN: Thank you. Thank you, Chair.
23 Jason Mann with MSSAC. Just before we -- we broke there,
24 I had a related question on the back end of what we were
25 talking about, and just to revisit, there was the dialogue

1 around there were coincident model observation points
2 within the old and new models. I think that's -- that's
3 important. And so, I also appreciate -- and so, and part
4 of that dialogue was that the lion's share of the
5 differences in the model behaviours between new and old
6 were related to the part of the drawdown area, I think is
7 what I heard, versus the model behaviour broader, which
8 makes sense. And so, more of a maybe comment or -- or
9 question, and I appreciate there were drawn contours shown
10 in the slide deck yesterday, I -- I will say my eyes
11 aren't as good as they used to be and it -- it was
12 challenging to see them. But you did have them there,
13 thank you. I was just wondering if there was -- again,
14 and maybe this exists, or maybe it's something you're
15 planning to do, an overlay of, like, the drawdown
16 conditions of the old model to news, so it would be very
17 easy to see in a -- in a diagram what the differences are?
18 So, just asking that question, you know how -- how would
19 you plan to show the differences in those key areas
20 between the old to new models, I guess maybe is the
21 question?

22

23 MR. MILLS: Ryan Mills here, with AECOM.
24 So, I -- I think there are -- there are two -- two
25 components to this, one is the spatial footprint of the

1 drawdown cones and those have been presented on separate
2 figures. There are some common landmarking points on
3 those figures, so, they can be easily compared by sort of
4 having them both on -- on a screen or -- or in printed
5 copy, and they are presented in our presentation that's
6 available to everybody, both -- both on subsequent
7 figures. The -- the second part of the question is -- is
8 there are a number of those observation points in -- in
9 the transient or the -- the plots of groundwater level
10 changes over time in both the carbonate and sandstone
11 aquifers, that don't show much response to pumping. And
12 so, those are sort of outside, or at the margins, of -- of
13 the impacts to water levels and -- and the impacts of sand
14 and water extraction. So, they provide a bit of context.
15 There are some wells that were impacted before, that are
16 no longer impacted, because they're not close enough to --
17 to the extraction wells to be affected by that pumping.

18

19 MR. MANN: Jason Mann. Yep, understood.
20 Thank you. Related to the new model, I believe in the
21 slide deck, there was mention of one model run that's
22 still being done, I believe it was the 100 percent
23 reinjection case of the 85 percent of water that's
24 available to be reinjected. Is there an idea or timeline
25 when that might be available for review, and is there a

1 commitment to provide that for evaluation and assessment
2 along with perhaps, is there a plan for a deliverable of
3 the new model work? And related question to what we just
4 talked about on the drawdown contours, fully appreciate
5 that they're in the deck and the two could be printed and
6 looked at, and compared, I would agree. I just found it
7 really hard to see the ones that were in the deck, so if
8 there was some other deliverable, or a set of maps, or
9 other things that are planned and -- I'm just asking the
10 question if that's part of the plan.

11

12 MR. MILLS: Ryan Mills with AECOM. The
13 results that have been completed to date, so the model
14 runs that have been completed to date are the most
15 conservative cases from the perspective of the -- the
16 groundwater users in the carbonate aquifer, and -- and
17 they are the most comparable to the previous modelling
18 runs. The new model will be sort of -- is an updated
19 model that benefits from the input and learnings from the
20 geotechnical program. It takes some time for that
21 information flow to work through all of the -- the
22 interdependent assessments. The work that we have done so
23 far, we used the most conservative case of zero percent
24 reinjection for the -- as a basis for our impact
25 assessment that was presented in the EAP, and that remains

1 the most conservative case, and those results have been
2 presented, in addition to the 50 percent reinjection case,
3 which is the most comparable with the previously simulated
4 50 percent reinjection case. So, this 85 percent
5 reinjection case is -- is, you know, kind of a -- would
6 result in less impact than we have used in the assessment
7 in the EAP. And you know, it will take, you know, time
8 for that to be documented.

9

10 The methods of assessment and the
11 approaches in the modelling are identical to what was done
12 previously. We've essentially moved the extraction points
13 to a new footprint. We have not adjusted any aquifer
14 properties, we have not adjusted any other parameters, and
15 -- and those results are -- are presented. So, there --
16 they will be documented at some point, but there's --
17 there's no value to the current -- current, you know, kind
18 of discussion, I -- I don't believe.

19

20 MR. MANN: Jason Mann, thank you for that
21 answer. I wouldn't agree that there's no value. I think
22 all results are important to take a look at. I do
23 appreciate your answer referring to the fact that the
24 assessment was done on a -- the most conservative case,
25 and that the run we're discussing, that hasn't been

1 presented, would be as of less impact. And I would take
2 that answer from you as -- at face value. I -- I guess I
3 would just highlight to the Chair perhaps that there's
4 work being done that hasn't necessarily been evaluated as
5 part of the process, and I'm not sure how that would be
6 handled. And so, I'll just leave that at that.

7
8 And I'm not sure -- so, next question --
9 I'm Jason Mann -- I'm not sure if it's the model, or field
10 work, or both, it could be both, there was a discussion or
11 an indication that groundwater recovery at the wells, to
12 about an 80 percent recovery, occurs in short timeframes
13 and probably that's a combination of the actual pumping
14 tests done potentially looking at what the model
15 simulates, as well. So, what are those timeframes for
16 that 80 percent recovery occurring, and could you clarify,
17 is that based on pump test model, both, or one or the
18 other?

19
20 MR. MILLS: Thanks for the lead in. Ryan
21 Mills at AECOM, and -- and the recovery times are based on
22 direct observations from the pumping tests, and because
23 there is good agreement between real-world observation
24 during the pumping test and the model, those behaviours
25 are -- are also simulated in -- by the model.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. MANN: Thank you for that answer. A related question, then. The field tests were based on single well pump tests and that's okay. The extraction of a cluster of wells will be done by a number of wells that may, and I'm not certain you can, correct me if I'm wrong, may operate concurrently, or may operate independently, but follow one after another, perhaps. So, the single well test is important, to have the model reflect that is important. The model presumably, then this is my question, would reflect also, or would have been assessed against full production status, let's say, full production of a cluster. Is that correct?

MR. MILLS: Ryan Mills of AECOM. Yes, that's correct. We have assessed the operation of a full well cluster.

MR. MANN: Okay. Thank you. So, 80 percent recovery occurs in a short timeframe. Do you know when does practically 100 percent, or close to 100 percent, recovery occur? What kind of timeframe does that -- does that look like? High level. I'm not looking for, you know, minutes. Oh.

1 MR. MILLS: Ryan Mills. Over a period of
2 -- of weeks.

3
4 MR. MANN: Thank you. Jason Mann.
5 Related question, and I believe it was in some of the
6 plots you showed yesterday on the new model side and --
7 and the X-axis was in days, it wasn't by date, but it
8 showed when the -- when the pumping activity was going on.
9 If we took those days and put them on top of a calendar,
10 what is the season of operation like? When might it end,
11 plus or minus?

12
13 MS. WEEDEN: This is Laura Weeden. We are
14 intending to operate between mid-April and mid-November,
15 weather permitting.

16
17 MR. MANN: Jason Mann. Thank you for
18 that answer. So, operations going into -- or call it
19 early winter or late fall.

20
21 So, related question. There's -- there's
22 some work been done in the province that demonstrates in
23 this region and in other major aquifer systems in the
24 province the lag time between the aquifer showing its
25 pattern of response to a prior years wetter than average

1 condition, or on the other side, a drier than average
2 condition. In this area of the province that lag time can
3 be eight months. So, my question is, then if you operate
4 to mid-November and presumably 100 percent recovery occurs
5 within weeks, which is what you're saying, and then you
6 start up operation again the following summer, if there
7 was a drier than normal year that natural condition would
8 be reflected in a lower than normal aquifer level -- or
9 trending downward aquifer level that following summer.
10 Does that complicate or change how you might approach the
11 work for this project?

12

13 MR. MILLS: Brian Mills with AECOM. I
14 think it's important to recognize that the calibration
15 data set captured several decades and -- and information
16 collected over a range of meteoric conditions that, you
17 know, based on my review of the observation well data from
18 -- from the local monitoring well network included
19 droughts and -- and very wet periods. So, implicit in the
20 modelling to date has been consideration of -- of -- of
21 wet and dry periods. And -- and so, the answer is, you
22 know, no. It would not necessarily change the -- the
23 modelling approach.

24

25 MR. MANN: Jason Mann. Thank you for

1 that answer and -- and confirming there's quite a bit of
2 data for calibration and model verification that's
3 available in the province.

4
5 Some geochemical questions. My
6 understanding from the geochemical perspective, probably
7 by isotopes, is that the aquifer systems are all
8 demonstrative of meteoric water. I would interpret that
9 that would be the case. I believe that was the statement
10 made, and I just was looking for verification. Please,
11 yes or no on that.

12
13 MR. OULD ELEMINE: I would say yes,
14 except the shale.

15
16 MR. MANN: Good. Thank you for that
17 answer. Appreciate that. Jason Mann.

18
19 On slide 44, there's the oxygenated
20 simulations done where excess oxygen was modelled into the
21 water quality conditions, and I believe the outcome of
22 that work demonstrated that metals like iron will
23 precipitate from solution, which happens. I -- and so, it
24 sounded like that simulation was, I believe, an excess of
25 oxygen applied. I was wondering what a simulation along

1 the lines of what the production process will look like.
2 So, we know the water will be aerated. To some extent
3 it's agitated. It's being pumped to surface. Was there a
4 simulation done to reflect what would be the best estimate
5 of the process itself in terms of oxygenation and perhaps
6 metals precipitation versus what I think I read was
7 simulated where an excess of oxygen was modelled? And
8 please correct me along the way if I'm misinterpreting
9 something.

10

11 MR. OULD ELEMINE: Cheibany Ould Elemine.
12 The simulation was done assuming an equilibrium of water
13 with atmospheric partial pressure, not excess of oxygen.

14

15 MR. MANN: Jason Mann. Thank you for
16 that answer. So, maybe it wasn't written that way, but I
17 thought I heard that in the discussion, so apologies if I
18 was incorrect there. So, have I -- I heard you correctly,
19 in equilibrium with atmospheric conditions?

20

21 MR. OULD ELEMINE: That -- that's --
22 Cheibany Ould Elemine, AECOM -- that's correct. And it's
23 described in the hydrogeology assessment report.

24

25 MR. MANN: Thank you for that answer.

1 Related question, just to close this one out, does
2 aeration make a difference, or agitation -- that would
3 occur with the process?

4
5 MR. MILLS: Ryan Mills with AECOM. I
6 think that this -- this simulation was intended to be the
7 -- the most conservative. What we heard from -- from
8 reviewers and -- and participants was that there was an
9 interest in the effect of -- of air and its interaction
10 with water, and the materials in the aquifers. So, we
11 undertook a highly conservative kind of simulation to look
12 at what the end member condition might look like and --
13 and so, there -- there would be a -- this condition could
14 persist if that water remained at surface in perpetuity.
15 But as soon as it goes back into the aquifer, we would not
16 expect this condition to prevail because there is not an
17 abundance of -- of air or oxygen in aquifers, and it would
18 likely return to equilibrium with the minerals in the
19 aquifer as it currently exists.

20
21 MR. MANN: Thank you. Jason Mann. I
22 guess what I was wondering is, and I know the water
23 quality in the sandstone is quite good, but in places
24 where water can be hard or there's a high -- higher
25 dissolved mineral content, metals content, I mean quite

1 simply, it'll come out of solution in -- in household
2 plumbing, right? I mean, we -- we've all seen that. I'm
3 not suggesting that's the case here, but these things
4 happen. So, again, just wondering with the process that's
5 planned, and -- and yes, aquifers and groundwater have
6 relatively low dissolved oxygen content, there's no doubt,
7 but that water is being airlifted to surface, run through
8 a process, it's agitated. Should something come out of
9 solution, is there a plan to manage that, because so far
10 treatment plan is only UV relative to bacteriological or
11 other concerns? If -- if something comes from solution as
12 part of process, precipitates from solution, is there a
13 plan for that to be handled? Or I'll ask the question in
14 a different way, based on your analysis, is it a non-
15 issue?

16

17 MR. MEUZELAAR: Tom Meuzelaar, Life
18 Cycle Geo. Just our models show that we do not expect any
19 significant precipitates coming out of solution.

20

21 MR. MANN: Thank you for that answer.
22 So, there's discussion of -- Jason Mann -- discussion of
23 aquifer mixing, as part of the slide deck from yesterday.
24 And please, again, I'll -- I'll paraphrase what I thought
25 I read and heard, and if I don't have it right, please --

1 please correct me. With upward mixing from the sandstone
2 aquifer and proportionally more than 80 percent sandstone
3 waters coming to the carbonate aquifer, I believe the
4 statement was iron would be predicted to be below
5 guideline. With proportionally more than about 70 percent
6 sandstone waters coming up to the carbonate, manganese
7 would be below guideline as measured in the resultant
8 prediction of carbonate water quality. So, the allowable
9 proportional balances then on the carbonate side are 20 to
10 30 percent of carbonate waters in that -- in that mix, as
11 round numbers. There's a statement "Other water quality
12 parameters improved as well with mixing from the sandstone
13 aquifer below. So, with 70 or 80 percent of sandstone
14 water quality mixing to the carbonate aquifer, chloride,
15 calcium, magnesium, arsenic, iron, uranium, strontium,
16 improved as well." So, would this then -- and again,
17 apologies, I didn't go back to all of the reams of data,
18 this would imply that the parameters are proportionally
19 elevated within the carbonate aquifer versus the sandstone
20 aquifer under currently naturally conditions. Is that
21 correct?

22

23 MR. MILLS: Ryan Mills with AECOM. I -- I
24 think this is when it's difficult to make blanket
25 statements over general -- generalities of -- of all

1 parameters, because there are differences in water quality
2 between the two aquifers -- very subtle differences. One
3 that you've noted with slightly higher manganese
4 concentrations in the sandstone relative to the overlying
5 Red River carbonate, and the opposite is true with respect
6 to iron. So, that's one example of subtle, you know,
7 differences.

8
9 MR. MANN: Jason Mann. Thank you for
10 that answer. You're correct, this is a -- is a
11 complicated question because it has to do with proportions
12 of quantity of waters that are mixing, and the
13 concentrations of the parameters that are within those
14 waters, because in some cases, mixing of one aquifer water
15 quality to the other will result in an improvement of
16 parameters. But depending on what that route water
17 quality is, it may also, at the same time,, and mixing in
18 the same proportions results in a degradation of other
19 parameters because it depends on what metals or solutes
20 are in the water quality, and this is where -- where I was
21 sort of going. So, you know, based on the analysis I saw
22 talking about the sandstone upwelling or upward mixing to
23 the carbonate aquifer, the -- the dialogue that I saw
24 there was it improves the carbonate aquifer water quality,
25 and that makes sense to me because basically the sandstone

1 water quality is -- is better than the carbonate --
2 overlying carbonate aquifer water quality. So -- and at
3 70, 80 percent proportion you get an improvement in the
4 carbonate. So, if we looked at it simply, if -- if we did
5 the opposite, so, if -- if water flowing from below to the
6 carbonate improves water quality, and you need 70, 80
7 percent as a proportion, would the opposite be true where
8 carbonate water mixing downward to the sandstone could
9 degrade the sandstone water quality? And again, key
10 pieces here is proportions of mixing as -- as volumes or
11 quantity, but also the parameters that are being looked
12 at, and their concentrations, because again, a source
13 water quality with low concentrations of something lower
14 than the water it's mixing with, will result in an
15 improvement, but the same proportion of mixing of that
16 source water quality that has a different parameter that's
17 higher than the receiving waters, maybe that receiving
18 water can handle some of that, but at some point, you'll
19 hit a tipping point where it degrades water quality. So,
20 am I interpreting that correct? And -- am I interpreting
21 that correctly?

22

23 MR. OULD ELEMINE: Cheibany Ould Elemine,
24 AECOM. I think degrade is a strong word because both
25 aquifers are very fresh and our analysis shows that the

1 parameters that exceed the guidelines are generally iron,
2 manganese, and turbidity, and iron and manganese only
3 exceed the aesthetic. The other parameters we are
4 indicating here do not exceed any guideline and we do not
5 anticipate that a conservative mixing will result in an
6 increase, for example, of chloride in the sand to the
7 point that it will exceed applicable guidelines.

8
9 MR. MANN: Jason Mann. Thank you for
10 that answer. And you're right, guidelines matter too,
11 because you can approach the threshold and be below a
12 guideline, and that's important. But let me ask the
13 question in a different way and -- and degrade maybe as a
14 strong word. I'll step back from that. Would you agree
15 that with an exchange of waters between these aquifer
16 systems there will be changes in water quality, and in
17 some cases a parameter may reduce in its concentration
18 because of the source water quality, the proportion of
19 mixing, and the result, and in some cases parameters might
20 increase. We still might be below guidelines but there
21 will be those changes. Am I correct?

22
23 MR. MILLS: Ryan Mills with AECOM. It's
24 important to remember that both of the -- the aquifers
25 here contain potable water, and they are used for drinking

1 water purposes as they sit now. One is slightly softer
2 and the other is slightly harder. The exchange of waters
3 occurs in response to driving forces in the form of
4 hydraulic gradients, so differences in groundwater
5 elevations between the two aquifers. Within the project
6 study area, we found, based on the provincial groundwater
7 level monitoring network, that those groundwater
8 elevations in the carbonate and the sandstone are fairly
9 similar. It's because just 10 kilometres east of here,
10 they're both supplied by the same overburden aquifer,
11 right, the Sandilands recharge area that equilibrates
12 those heads, and there have been some historical
13 interconnections. There are -- the magnitude of this
14 impact surely has been noted much further west, near the
15 Red River, where that deep, you know sandstone aquifer is
16 saline, or brackish at least, and -- and the overlying
17 carbonate aquifer is -- is you know, fresh. And so, here,
18 the exchange of those waters is -- they're not too far
19 from their origin in the Sandilands and they're not, you
20 know, they're not -- to kind of -- it changes as you move
21 further west in -- in the aquifer. And so here, where the
22 heads are equilibrated, that exchange would be a very
23 short-term phenomenon and until the -- the heads and the
24 aquifers have returned to static conditions. So, we're
25 talking about periods of days to weeks, and -- and they

1 would not persist because the heads would likely
2 equilibrate, as they are nearly equilibrated now.

3
4 MR. MANN: Jason Man. Thank you for that
5 answer. The things you're saying are -- are right. They
6 will equilibrate, but they'll equilibrate because there'll
7 be an exchange of water, and an equilibration of
8 pressures. So, I'll ask the question in a different way.
9 Is there an opportunity, recognizing both of these
10 aquifers are in a reasonable water quality, however, is
11 there an opportunity for water qualities to change because
12 of these exchanges, because of these reequilibrations? I
13 guess I'm answering my own question because you've
14 modelled it and you have shown that parameters will
15 change, but I'll ask the question, is there an opportunity
16 -- is there potential for aquifer water qualities to
17 change in one or both of these aquifers?

18
19 MR. MEUZELAAR: Tom Meuzelaar, Life
20 Cycle Geo. So, fundamentally, yes. We're talking about
21 two waters that are very clean, TDS 300 to 400, so their
22 chemistries are not all that different. So, you know, are
23 -- are there some mass-balance changes? Absolutely. Are
24 they significant? In our opinion, absolutely not.

25

1 MR. MANN: Jason Mann. Thank you for
2 your answer.

3
4 MR. MILLS: Apologies. Ryan Mills with
5 AECOM. I'll just maybe add an analogy to help kind of
6 frame this. You know, we've all had bottled water, it
7 reports the concentrations of -- of minerals on the label
8 and you might have a -- one bottle from one manufacturer,
9 let's say Evian, and you might have another bottle of
10 water from another manufacturer, let's say Dasani. They
11 have slightly different chemistry. You could pour half a
12 bottle of one into the other, and it may take on the
13 flavor of one versus the other. It may be
14 undistinguishable. And we think it's going to be
15 undistinguishable.

16
17 MR. MANN: Thank you for your answer.
18 Jason Mann. I'll -- I'll leave that there. I don't know
19 if I have another question on that. I think we'd be
20 straying into opinion and so, I'll respect the panel and
21 I'll respect the process, and I was warned yesterday.

22
23 There's a statement made in the assessment
24 of impacts, Slide 49, that the groundwater impacts are
25 short-term and reversible. Please correct me if I have

1 that language incorrect, but I believe that's what -- what
2 the statement was. Based on observations of pumping tests
3 and modelling results at least -- and at least when
4 looking at 80 percent aquifer recovery from pumping
5 stresses, there was an acknowledgement in that discussion
6 there's variable vertical gradients in the region that
7 tend to show, I believe, and correct me if I have this
8 wrong, upward flows, at least in places, from sandstone to
9 carbonate, as well as the opposite downward flows from the
10 carbonate to the sandstone. The geotech team yesterday
11 demonstrated clearly, at least in some areas, there's
12 complete failure of the shale aquitard that will occur
13 with the development of the void spaces within the sand,
14 with the loss of the shale, aquitard and at least some of
15 the project area. And this whole question about geochem
16 that we were in, and exchanges of water and mixing, it's
17 why I asked about the model, it's why I asked about did
18 you measure vertical gradients in the model, it's why I
19 asked about vertical flux in the model. The loss of that
20 shale aquitard, at least in some of the project area,
21 would it be reasonable to believe there would be a change
22 in vertical exchanges of water between the aquifers? And
23 secondly, is that outcome reversible?

24

25

MR. MILLS: Ryan Mills with AECOM. First,

1 it's important to note that there -- we have not observed
2 upward gradients from the sandstone to the overlying
3 carbonate locally. It's primarily downward gradients that
4 we've observed or near -- near neutral, so approximately
5 zero. The -- and apologies, there were a bunch of
6 questions embedded in there, or maybe some comments, so,
7 maybe I'll just ask you to repeat the question?

8

9 MR. MANN: Sure. Sorry. Jason Mann.
10 Thank you for that clarification. With the dialogue of
11 upward mixing I made the interpretation that those
12 gradients might be variable. So, thank you for -- for
13 clarifying that.

14

15 So, really the question is -- so -- so, the
16 -- the dialogue here was that, based on the assessment of
17 impacts, the groundwater impacts are short-term and
18 reversible. This is what I heard. We've also heard -- or
19 we've -- we've seen that there will be a loss of the shale
20 aquitard in at least some of the project area. And again,
21 it ties back to why I asked about some of the model
22 results and how that was resolved in the model. So -- so,
23 the -- really the question is this. With the degradation
24 or loss of shale aquitard, at least in places, would it be
25 reasonable to interpret that there would be a change in

1 the vertical exchanges of water between the two aquifers?
2 That's the first question.

3

4 MR. MILLS: Thank you -- thank you for
5 that. Ryan Mills with AECOM. The -- the response is,
6 yes. There will be a short-term change in the exchange
7 between the aquifers until groundwater elevations
8 equilibrated.

9

10 MR. MANN: Thank you for that answer.
11 And then -- and the extension of that question is, is that
12 outcome reversible?

13

14 MR. MILLS: Ryan Mills with AECOM. So,
15 the -- the changes in -- you know, with removal of -- of
16 shale, the model simulates what those changes will look
17 like. The groundwater elevations were simulated to
18 restore themselves similar to those present when we
19 accounted for the degradation of the shale in the
20 aquitard. As we discussed earlier, you know, the gradient
21 plots will be provided. And we can more directly respond
22 to that, if you like.

23

24 MR. MANN: Jason Mann. Thank you for
25 your answer. I think what's important here is, I would

1 agree with you in saying that there's a re-equilibration
2 of -- of heads that will occur because it will. And I
3 agree with you with that assessment. And I asked if that
4 was reversible. I think I -- I have my own opinion of
5 what that answer is. I think it's not. And -- and I -- I
6 didn't hear an answer from you specifically on that and
7 that's okay. I have no further questions. And I thank
8 you for your time and the opportunity to ask the
9 questions.

10

11 MR. MILLS: Ryan Mills with AECOM.
12 Apologies. I don't think I did respond directly to your
13 question. So, if the shale does in fact collapse, that is
14 not reversible. And that is, yeah, understood to locally
15 change the aquitard. The -- the flow of water in aquifers
16 is as a tenant of the field of hydrogeology, typically
17 thought to be horizontal primarily within high
18 permeability or moderately permeable aquifers, and
19 vertically, you know, across aquitards. It's all driven
20 by head differences. If there are no head differences,
21 there will not be any exchange of water. There may be
22 diffusion dominated processes, which are very slow and of
23 limited magnitude when the water qualities are similar
24 because they're driven by concentration gradients.

25

1 MR. MANN: Thank you for that answer. I
2 would agree with what you're saying, but that occurs in a
3 natural system that hasn't been drilled through or
4 otherwise altered. So, I'll leave my questions and
5 comments there and appreciate your time. Thank you.

6
7 THE CHAIRMAN: Chair. Thank you very
8 much, Jason, for your questions, and panels, for your
9 answer. We're going to take a brief unscheduled pause as
10 we appear to have lost our internet connection with
11 Toronto, so transcription services are currently down.
12 And I will wait for Cal to give me a thumbs up when they
13 return. MBEN, you are up next. Is that correct? Chair.
14 Okay. The emphasis was -- was on a brief pause. We -- we
15 are reconnected with the outside world. So, I've just
16 kind of clarified the process here. I did understand that
17 Our Line in the Sand was asking for -- or would be
18 questioning tomorrow, but I think Our Line in the Sand
19 doesn't have any questions, it's MB Net that will have --
20 MBEN that will have questions tomorrow morning when Byron
21 is back with us. He's currently in King's Court. And I
22 should point out that Kelly is here for -- as Bill is in
23 King's Court today, so Kelly, maybe raise your hand just
24 to note on the record that we have a change in CEC lawyer.

25

1 So, with that questioning will revert,
2 uncharacteristically not last, but to the panel, since
3 Byron will be last tomorrow morning and on behalf of the
4 panel, I will turn it over to Hartmut Hollander.

5

6 MR. HOLLANDER: My first question --
7 Hartmut Hollander -- is in the regard, what is the size of
8 your model domain?

9

10 MR. HARVEY: Miln Harvey, AECOM. The
11 square area is 3,200 square kilometres. The length and
12 width -- that's approximately 80 kilometres by 40
13 kilometres.

14

15 MR. HOLLANDER: Hartmut Hollander.
16 Thank you very much. The answer which you gave to Jason
17 Mann just before, was that you used a homogeneous system
18 for the sandstone and for the carbonate aquifers
19 throughout the whole domain, which is, as you said, just
20 80 kilometres wide -- long and the 40 kilometres wide.
21 How appropriate is this to describe the groundwater flow
22 in such a big area?

23

24 MR. HARVEY: Miln Harvey, AECOM. So, in
25 the model development and calibration process, there's a

1 principle called the principle of parsimony, and if you
2 want to Google it, you can look up Mary Hill at the USGS.
3 And in that -- that principle says that you should start
4 modelling -- start your model with simple assumptions. So
5 that -- so you start with uniform properties and simple
6 boundaries and compare the model results using
7 calibration. If you achieve a reasonable level of
8 calibration, there -- there is little need to increase the
9 complexity in the numerical model to describe something
10 that you're already describing well. So, we assigned
11 heterogeneous hydraulic connectivity to the overburden and
12 uniform properties, hydraulic connectivity, to the -- the
13 bedrock, because that simple -- more simplistic assumption
14 was validated through the calibration process. We got --
15 we got a good calibration from that.

16

17 MR. HOLLANDER: Hartmut Hollander.
18 Thank you very much. So, in order to start this process,
19 to come to this point which you just explained, you were
20 carried out pump test, is that correct?

21

22 MR. HARVEY: That's correct.

23

24 MR. HOLLANDER: So, you used a single
25 pump test, and I don't want to forget the five slack

1 tests, to identify the hydraulic parameters in that area
2 of interest. Is that correct?

3
4 MR. MILLS: Ryan Mills of AECOM. As you
5 know, we conducted a local scale pumping -- or slug tests
6 associated with individual monitoring wells, which are
7 also a form of aquifer testing, more localized tests, and
8 complemented that with a -- a constant rate pumping -- a
9 step test and a constant rate pumping test that
10 encapsulated approximately a 1.5-kilometre radius of
11 influence from -- from memory.

12
13 MR. HOLLANDER: Hartmut Hollander.
14 Thank you very much for this explanation. So, you built a
15 well inside the sandstone and there are advice from the --
16 from the province, published by Betcher, 95, to screen
17 wells when you bring them into the Winnipeg sandstone.
18 Did you screen the well?

19
20 MR. MILLS: That's correct. Ryan --
21 sorry, Ryan Mills of AECOM. That is correct.

22
23 MR. HOLLANDER: After screenings --
24 Hartmut Hollander, thank you. After screening those
25 wells, there should be a procedure of well development.

1 Your data, which you published inside your hydrogeological
2 part show that this well has a very poor well efficiency.
3 Was the well development to -- to code?

4
5 MR. MILLS: Ryan Mills with AECOM. During
6 the process of drilling any water supply well for the
7 purposes of water supply, wells are typically developed to
8 improve the efficiency. That is not a requirement for
9 hydraulic testing when you have observation wells. And
10 pump -- because we had an extensive observation well
11 network that was spread out laterally, and with depth
12 within each aquifer, we were able to reduce the need for
13 development to allow for use and reliance on that
14 observation well data in place of the pumping well data,
15 which is known to be fraught with perturbations related to
16 pumping and -- and poor well efficiency, as you pointed
17 out.

18
19 MR. HOLLANDER: Hartmut Hollander.
20 Thank you very much. You said there was a lot of
21 observation wells which you created. How many created --
22 were created by you for this pump test and how many
23 residential-owned observation wells did you use?

24
25 MR. MILLS: Ryan Mills with AECOM.

1 Apologies, I'll be slow here because I need to consult and
2 count along the way. From Table 3B in our Hydrogeology
3 and Geochemistry Assessment, we had one pumping well in
4 the Winnipeg sandstone, a vibrating wire piezometer nest
5 with completions in the Red River carbonate, there were
6 two vibrating wire piezometers in the Red River carbonate
7 at a distance of 89 metres from the pumping well, one
8 vibrating wire piezometer installed in the shale unit, and
9 one vibrating wire piezometer installed in a sandstone
10 unit. In addition to that, we had three additional
11 monitoring wells installed in those units at a distance of
12 338 metres from the pumping well, one in the carbonate,
13 and one in the sandstone at a distance of 1.2 kilometres.
14 And three private water supply wells that allowed us to
15 instrument their -- their wells during the pumping test.
16 So, those last three were not installed by us, but were
17 monitored by us, and the remaining -- of the remainder,
18 four were installed in the Red River carbonate, three
19 observation wells were installed in the sandstone, and two
20 monitoring wells and/or vibrating wire piezometers were
21 installed in the shale.

22

23 MR. HOLLANDER: Hartmut Hollander.

24 Thank you very much for this clarification. The
25 guidelines which are laid out for pumping test by Cruseman

1 Derida (ph) show that you should have a minimum of three
2 observation wells, formation. In this case you showed
3 that you have three formation, three observations in the
4 sandstone, and four in the carbonate. That makes just the
5 minimum. Can you repeat your judgments that you have an
6 extensive observation well network, or do you see that you
7 met just the industry standard?

8
9 MR. MILLS: Ryan Mills with AECOM. As
10 you've pointed out, we did meet industry standard with the
11 observation well network. And I will also point out that
12 this work was conducted on -- following an extensive
13 literature review that had conducted several other pumping
14 tests in the area, and -- and also utilized observation
15 wells and -- and pumping wells. So, we -- we began with a
16 point of knowledge. We're not starting from a point of --
17 of no knowledge.

18
19 MR. HOLLANDER: Thank you for putting
20 your choice into place. Hartmut Hollander, again. Now, I
21 would like to move to the evaluation of the pumping test.
22 Can you explain which methods did you use and why you
23 chose this method to evaluate the pumping test?

24
25 MR. MILLS: Ryan Mills with AECOM. A

1 Bouwer and Rice method and it's a -- a method that's
2 widely applied to aquifers that -- and hydrostratigraphic
3 units that meet the -- the basic assumptions of -- that
4 are often employed in analytical solutions. For the
5 pumping tests, we utilized the Theis method. And the
6 Cooper-Jacob method. And with -- and the Theis method
7 allowed -- was employed in -- in three different ways.
8 So, there was an analysis of the -- the pumping data using
9 the Theis 1935 solution analysis of the recover -- sorry,
10 drawdown and recovery data using that same solution, and
11 employment of the distance drawdown method for analysis of
12 of -- of the drawdown data, stabilized drawdown data, at
13 various distances, and the Cooper-Jacob method, which is a
14 -- a fairly routinely employed straight line method. The
15 ---

16
17 MR. HOLLANDER: Oh, sorry, I thought
18 that you were ready.

19
20 MR. MILLS: Thank you. They were all kind
21 of judged to be acceptable for use in an application to
22 these aquifers because they meet the basic assumptions of
23 those methods, you know, homogeneous, infinite acting
24 aquifers, primarily horizontal flow, et cetera. There's a
25 -- a long list of of the assumptions.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. HOLLANDER: Thank you. Hartmut Hollander. So, if I just conclude this shortly, you use different methods which are created for confined aquifer. Is that correct?

MR. MILLS: Yes, that's correct.

MR. HOLLANDER: Hartmut Hollander. A method for confined aquifer is not able to identify the Doric properties of a shale layer which is in between two aquifers. The measurements which you did showed that the carbonate aquifer experienced, at least at one observation well, about 1.5 metre -- the observation well is BRU 95-9, vibrating via two. So, we have already some connection, hydraulic connection in the current state between both aquifer. It's -- and why didn't you use this knowledge in your groundwater model later on?

MR. MILLS: Ryan Mills with AECOM. Two parts to that question, or two questions, I guess, there. The first was why did we not utilize a -- and I'll use industry terminology, a leaky solution, to evaluate the pumping test data. It is acknowledged that there are other, many in fact, hundreds, of -- of different

1 analytical solutions that can be utilized to evaluate
2 pumping test data. At the time, we looked at the data and
3 the relative magnitude of drawdown in the -- in the pumped
4 aquifer and we made the decision to focus on that for the
5 analysis of the pumping test data. When it came to the
6 numerical model, that information was considered and --
7 and the pumping test data in both aquifers was utilized to
8 inform the transient groundwater model calibration. So,
9 we calibrated, but first in steady state, and then in
10 transient, in an attempt to simulate the behaviours of the
11 aquifer over time based on the data collected from that
12 pumping test.

13

14 MR. HOLLANDER: Thank you for this
15 clarification. Maybe just one more question in this
16 direction. maybe I didn't fully get it. So, you used
17 this information later in the modelling, but you didn't
18 calculate it, the -- the value based on your measurements.
19 Is that correct?

20

21 MR. MILLS: Yes, that is correct.

22

23 MR. HOLLANDER: Thank you. I would
24 like to move from the pump test evaluation to the local
25 slug and bail tests which you did. Can you explain

1 shortly to the panel, the difference between a slug and
2 bail test, and the impacted area towards -- against a pump
3 test?

4
5 MR. MILLS: Ryan Mills with AECOM. You
6 know, slug and bail tests for the -- for the participants,
7 typically remove a -- a fairly small volume of water, or
8 insert a fairly small volume of water, into a well and
9 measure the response or the recovery of water levels to
10 that -- that stress. And they typically, you know, big,
11 round numbers influence, you know, on the scale of metres
12 around, you know, the -- the well.

13
14 MR. HOLLANDER: Yes, so they are just
15 in the -- Hartmut Hollander, sorry -- just in the way of
16 metres. So, why did you carry them out to characterise
17 the aquifer? What was your intention in this direction?

18
19 MR. MILLS: Ryan Mills with AECOM. The
20 intention of the -- the slug and bail tests was -- was to
21 understand, collect some -- some simple basic data to
22 understand the spatial distribution of hydraulic
23 properties with -- at a very fine scale within the study
24 area. And then that was going to inform broadly the
25 approach to conducting a step test and pumping test and --

1 and so, that was the -- the purpose of it, was to
2 characterize local scale hydraulic properties.

3

4 MR. HOLLANDER: Hartmut Hollander.
5 Thank you very much. So, you did total five slugs tests,
6 is that correct? Two of them should be in the sandstone,
7 two in the carbonate, and one in the -- in the shale?

8

9 MR. MILLS: Ryan Mills with AECOM. Table
10 3A shows that we have two tests in the carbonate, one in
11 the shale, and one in the -- or sorry, two in the
12 sandstone.

13

14 MR. HOLLANDER: So, this -- Hartmut
15 Hollander -- this -- this limited amount of tests will
16 inform you for the -- for the well tests. Can you let us
17 know what were the information which you received from
18 them, and how did you use them in the design of the pump
19 test?

20

21 MR. MILLS: Ryan Mills from AECOM. The
22 information we received or we -- we obtained from -- from
23 those tests, was essentially the transmissivity and
24 hydraulic conductivity of -- of the aquifer within the
25 vicinity of those wells.

1

2

MR. HOLLANDER: Yeah. The question is

3

-- Harman Hollander -- whether in this moment when you do

4

a slug test over such a large thickness, you would get an

5

estimate which is reasonable to prepare the design of a

6

pump test. And I'd like to come back to the pump test

7

because you talked -- you said yesterday, and also in the

8

report, that you did a step pump test in the beginning.

9

So, the step pump test used intervals from 412 US gallons

10

per metre, to 402, to 421, and then finally, you got

11

confident 372. This is not the industry standard for pump

12

tests. So, what did you try to -- to identify with this

13

step down -- step down pump test which you -- which, I

14

don't know what that was exactly, maybe you can explain

15

that a bit better.

16

17

MR. MILLS: Ryan Mills from AECOM. As I

18

kind of noted earlier, the -- the objectives of the

19

pumping test were not to -- were primarily to obtain

20

aquifer properties. And so, the step test was -- was used

21

to guide or understand what that well would be capable of

22

producing to establish a -- a pumping rate that -- that

23

could be employed for the long term constant rate pumping

24

tests that we -- we conducted.

25

1 MR. HOLLANDER: Yeah, I think --
2 Hartmut Hollander -- I think exactly that was not done
3 because you changed your -- your pumping rate, if I
4 calculate that in person by five percent -- a five change
5 would not give you the answer which you just -- had just
6 mentioned. Maybe you can comment on that.

7
8 MR. MILLS: Ryan Mills from AECOM.
9 Shortly after installation of the well, we had a target
10 pumping rate that was essentially -- our target was to
11 maximize the pumping rate, to test as large a volume of
12 the aquifer as we possibly could with -- within the, you
13 know, constraints of something that was reasonably
14 replicating the operational situation. And so, we wanted
15 to see simply how much that well could produce after a
16 period of development and -- and then conducted a long-
17 term pumping test.

18
19 MR. HOLLANDER: Hartmut Hollander.
20 That means you started this pump test -- you tried to pump
21 as much as possible, but you were not able to pump more
22 because this -- as I said, this variation of five percent?
23 I still have not fully understood that.

24
25 MR. MILLS: Ryan Mills with AECOM. The

1 variability in the -- that portion of the test, as I
2 understand you're speaking of, was partly due to some
3 equipment, you know kind, kind of measurement techniques.
4 You know, it's common to use an orifice plate, and there
5 are some -- there's some subjectivity to those
6 measurements, and so, those measurements were recorded as
7 they were observed. It was not the intention to vary it
8 simply by five percent, but that -- that is what came out
9 of those direct measurements. All -- many pumping tests
10 have subtle variations over their duration.

11

12 MR. HOLLANDER: Hartmut Hollander.
13 Thank you very much for this clarification. So, after you
14 finished the pump -- the step test, it is advised that you
15 wait until the water level have recovered. Why didn't you
16 do this in your procedure? Why did you directly move on
17 to the constant pump -- concentrate pump test?

18

19 MR. MILLS: Ryan Mills with AECOM. It is
20 an option to let the wells recover to static condition
21 between a step test and a constant rate test. It is not a
22 requirement. And in the industry, there are decisions
23 that are taken by professionals to wait for that, or not.
24 When you have a -- a measured static water level prior to
25 the pumping test, you do have some understanding of what

1 that initial point would be, and -- and that allows for
2 decisions to be made in the field. Frankly, this -- in
3 this case, the decision was made because it was quite cold
4 at the time of -- of the pumping test, and leaving
5 equipment full of water was going to require considerable
6 effort for zero benefit at the time.

7
8 MR. HOLLANDER: Thank you for this
9 explanation. Hartmut Hollander. So, there were, as we
10 discussed, a couple of issues with this pump test. And
11 also, one pump test, you probably agree, is not able to
12 define the heterogeneity of such an aquifer, especially
13 the plan which you showed, showed that about -- that's
14 mining -- mined area -- will be about 168,000 hectare.
15 The coverage which you had with your pump test is about
16 460 hectare, so,, just marginal amount, less than one
17 percent. Is Sio Silica interested or willing to do more
18 investigations to understand what is locally going on in
19 this area before you start mining, so that this can be
20 tested and proven after your mining impacts to -- to look
21 at these impacts of that -- what will happen there?

22
23 MR. MILLS: Ryan Mills with AECOM. First,
24 many other pumping tests have already been conducted in
25 this area. You know there's an EAP submitted for -- for

1 Dugald, and Oak Bank, and -- and many other wells in the
2 area. So, there is a -- a regional understanding that
3 provides a -- a useful starting point where pumping tests
4 have been conducted, that we benefit from through
5 published and peer reviewed literature. Second, yes, we
6 acknowledge that this specific pumping test did not test
7 the entire footprint of -- of the proposed extraction.
8 When -- when we compare the results of this pumping test
9 to those observed regionally, and -- and documented
10 regionally, they are similar, and within the range of
11 reported values. So, it's a -- it's a reasonable
12 understanding. Pumping tests, the entire purpose of a
13 pumping test, is to test a large -- a larger volume of the
14 aquifer that encapsulates, by definition, more
15 heterogeneity than individual slug tests. And so, you
16 start to understand the -- the regional aquifer
17 properties, and because you've overcome what's known as
18 the scale effect to some degree, there -- we can't test
19 the entire study area. The third part of this, and -- and
20 the reason for conferring with -- with Sio, is that the
21 groundwater monitoring and mitigation plan and -- and
22 recognizing that that has only been provided a couple of
23 weeks ago, it acknowledges that there will be an expanded
24 monitoring well network for the -- for many purposes,
25 including geological confirmation, water level

1 measurements, groundwater quality monitoring, and
2 hydraulic testing that would be completed in advance of --
3 of extraction within any given new area, to provide, you
4 know, really additional data to validate the information
5 that we're already very comfortable with, for the reasons
6 that I just mentioned. And I'll maybe pass it to -- to
7 Sio to comment further.

8
9 MS. WEEDEN: This is Laura Weeden. So, Sio
10 has reviewed and agrees with the approach that's
11 recommended by AECOM in this case.

12
13 MR. HOLLANDER: Hartmut Hollander.
14 Thank you very much for the clarification and the ongoing
15 field investigation in this area.

16
17 I would like to move to the conceptual
18 model, which you have shown on Slide 11 yesterday, and
19 also in the report. And one question which came up in the
20 geotechnical discussion is such a shale layer was
21 identified between zero and five metres, and I asked the
22 question to the geotechnical panel, where are these areas
23 with zero metres, and they moved this question to you, so,
24 I'd like to ask this question in the beginning again.

25

1 MR. MILLS: Ryan Mills with AECOM. Based
2 on our review of the -- the well database, the majority of
3 those wells with no reported shale thickness, or a
4 reported thickness of zero, are, you know, at a distance
5 of approximately 10 kilometres to the east of -- of the
6 study area, where the -- those bedrock aquifers and the
7 shale, so the -- the Red River Carbonate, the -- the
8 shale, and the Winnipeg sandstone terminate and at what's
9 called a -- a subcrop. So, it's covered by the -- the
10 glacial sediments, but those units terminate there at the
11 edge of the -- the sedimentary basin. And -- and I will
12 maybe add that it's also possible, and we did observe some
13 wells, that we think were either mapped to an incorrect
14 location, or historical wells that utilized drilling
15 technology where it's not easily -- or easy to capture, or
16 maybe perhaps the intention of the drilling was not to
17 capture the presence of the shale. So, going back to the
18 early days of water well drilling, and the methods that
19 were being used, you -- you may not have been focused on
20 capturing the low permeability materials because the
21 entire focus of those investigations would have been to
22 find aquifers that produce water. And so, we find this in
23 many jurisdictions that the -- the old well records don't
24 always capture those low permeability units, but they do
25 quite often do a good job of capturing the -- the aquifer

1 information.

2

3 MR. HOLLANDER: Thank you for
4 explaining where did you -- when this was found. Hartmut
5 Hollander. My question is can you maybe explain to the --
6 the panel what is the meaning that the shale is missing 10
7 kilometres east of your site, towards the -- the
8 Sandilands area? What would be the hydraulic
9 implications? Sorry, what are the hydraulic implications?

10

11 MR. MILLS: Ryan Mills from AECOM. The
12 shale terminates there, so essentially the -- the aquifer
13 and the -- the bedrock aquifers and the aquitard or --
14 disappear at that location, they terminate, and so, there
15 is no bedrock -- there are no bedrock aquifers above the
16 Precambrian Canadian Shield. And -- and therefore, there
17 is -- it's essentially an overburden -- you know, the
18 Sandiland complex is an overburden aquifer that overlies
19 lower permeability Precambrian rock.

20

21 MR. HOLLANDER: Yes, thank you.
22 Hartmut Hollander. So, that means you can have an
23 exchange of water, in this case of recharged water, fresh
24 recharged water which dries in the end -- the whole
25 stretch of your 80 kilometres down to the Red River, is

1 that correct?

2

3 MR. MILLS: Ryan Mills from AECOM. The
4 Sandilands area is the primary source of -- of recharge to
5 the bedrock systems that occurs in the east. There is
6 also spatially distributed recharge across the the -- the
7 full model domain that -- to represent precipitation less
8 evapotranspiration and runoff. So, there are, sort of,
9 multiple inputs to the aquifer system, but the primary one
10 is thought to be from the Sandilands Glaciofluvial complex
11 in the east.

12

13 MR. HOLLANDER: Sorry that I forgot,
14 for simplicity, the overall recharge over the whole
15 stretch, but yeah, thank you very much for this answer.
16 So, when you -- when we now know that the water is mainly
17 driven by the recharge in the Sandiland and it flows, in
18 your model, mainly towards the Red River, and there's a
19 small impact of the -- the Birds Hill which we probably
20 don't want to discuss at this point, then you come up with
21 two boundary conditions, in this case, one is the recharge
22 boundary at the beginning of the aquifer at the
23 Sandilands, and you have a boundary condition at the Red
24 River. Can you explain the boundary condition which you
25 chose for your conceptual model for the Red River

1 carbonate at the Red River and for the sandstone aquifer?

2

3 MR. HARVEY: Miln Harvey with AECOM. So,
4 the boundary that we chose to the southeast was the
5 Sandilands recharge area, and that's based on research
6 that was done by Cherry 20 years ago. The -- that
7 recharge is not the only recharge. There is distributed
8 recharge across the entire model domain based on the
9 mapping of surficial geology and -- and coarse, medium,
10 and fine-grained sediments. And to the northwest, we
11 chose the Red River and Red River Floodway as the -- the
12 boundary to the northwest because of -- and that's in both
13 the -- the surficial geology and in the -- in the Winnipeg
14 sandstone because of mapped groundwater levels, and -- and
15 because of previous research which indicates that there is
16 a meeting of two flow systems and upward gradients from
17 the Winnipeg sandstone into the -- the carbonate.

18

19 MR. HOLLANDER: Thank you for this
20 explanation. There are maps created by Betcher, 95, which
21 clearly indicate that the sandstone aquifer is not
22 effluent to the Red River. Why didn't you look at that?
23 Why didn't you integrate that?

24

25 MR. MILLS: Ryan Mills with AECOM. Could

1 you just clarify the question? The -- yep.

2

3 MR. HOLLANDER: Sorry. So, we have
4 you explained, well, the boundary condition why you chose
5 this for the carbonate aquifer. Well, the carbonate
6 aquifer is definitely dewatering. The sandstone aquifer,
7 there's no indication that the sandstone aquifer dewater
8 into the Red River.

9

10 MR. MILLS: Ryan Mills from AECOM. There
11 are conceptualizations presented in the academic
12 literature, I think the 1995 Betcher work. There have
13 been many more publications since then, including, I
14 believe, Graham Phipps of the Water Sustainability
15 Division presented at the CGS in Edmonton. There was a
16 companion paper to the work of -- I don't wanna be
17 misquoted, but perhaps Ferguson or Jianrong Wang at the
18 time. I believe it's a Jiron Wang paper, and a Phipps
19 paper, on the flow and and chemistry components. And
20 there is sort of some evidence of upwelling of -- in his
21 water typing work, they looked at the chemistry of the
22 carbonate aquifer, and I believe there's some evidence of
23 elevated constituents that may indicate upwelling of
24 basinal brines in that area.

25

1 MR. HOLLANDER: I expect -- Hartmut
2 Hollander -- but you refer to your Slide 12 in the
3 presentation yesterday. And I'd like to ask you what is
4 the direction of this cross section which was shown in
5 this publication?

6
7 MR. MILLS: Ryan Mills from AECOM. I
8 believe, from memory, that it is an east-west cross-
9 section that shows sort of it's parallel to the maximum
10 dip of the -- the basin.

11
12 MR. HOLLANDER: Yes, that is correct.
13 That is from east -- east to west, or west to east. It is
14 not in the direction of the length of your model, it's not
15 in the direction of the Red River, and therefore, this
16 cross-section is misleading, and most likely came to the
17 solution that your boundary condition for the Red -- for
18 the Winnipeg sandstone next to this area might not be
19 correct, and that should be something which you maybe want
20 to revisit.

21
22 MR. HARVEY: Miln Harvey for AECOM. The
23 boundary wasn't set specifically based on this cross-
24 section. The -- this cross-section conceptualized that
25 there's likely upwelling occurring there and a boundary is

1 is -- can be set there. A constant head was set in the
2 Winnipeg sandstone using groundwater mapping. So, the
3 boundary itself is based on mapping of groundwater heads
4 in the Winnipeg sandstone, which is an appropriate
5 approach to setting a boundary. And whether or not that
6 boundary is -- is actually a discharge boundary directly,
7 or whether or not groundwater flows even farther to the
8 west, using a constant head, that location is appropriate
9 because it's far enough away from the project area where
10 it's not going to impact any of the results that we
11 predict. So, the location of the boundary was based on
12 mapping -- mapping of groundwater heads.

13

14 MR. HOLLANDER: Hartmut Hollander.
15 Thank you for this clarification. You did -- you
16 mentioned the topic which I wanted to move next,
17 groundwater mapping. Where did you present your -- your
18 map groundwater tables for the -- for the carbonate and
19 for the Winnipeg Shale? I have not found it in the
20 appendix.

21

22 MR. MILLS: Ryan Mills from AECOM. I
23 believe that information is presented in Figures 5-10 and
24 5-11 of the Hydrogeology and Geochemistry Assessment.

25

1 MR. HOLLANDER: The information which
2 you gave on that one does not indicate the -- whether this
3 is based on data, and it does (inaudible) not show contour
4 lines. You used a screen, which is in the end, a colour-
5 coded version so that it is very difficult to read any of
6 the contours.

7
8 MR. MILLS: Ryan Mills with AECOM. I am
9 in agreement that it is this method of presenting that --
10 that same information. I think it would be useful to
11 present it -- with contours as well. It is -- the
12 information that it is based on is -- is the data from the
13 -- the well database and -- and so, it's -- it's a matter
14 of presentation, and it is acknowledged that this
15 information could be contoured to avoid looking on the
16 legend to interpret the information.

17
18 THE CHAIRMAN: Chair. And with that,
19 we will break for lunch. We'll regroup in one hour,
20 please.

21
22 (OFF RECORD)

23 (ON RECORD)

24
25 THE CHAIRMAN: So, we'll resume in

1 three minutes.

2

3 (LONG PAUSE)

4

5 THE CHAIRMAN: Chair, good afternoon.
6 We will resume. I see we have all the members of the
7 panel, so that's a good thing for a start. And Hartmut is
8 in his seat, so that means we have a complete set. So we
9 are good to go. Hartmut, you have about an hour, not
10 quite left, and you've asked me to give you a 30 minute
11 warning, so I will do that. Following Hartmut, we -- I
12 understand the RM of Springfield would like to ask a few
13 questions, so happy to do that. Someone at the table
14 looks surprised, but I think we're okay with that. Is
15 that -- yeah, all right. So, Hartmut, over to you.

16

17 MR. HOLLANDER: Mr. Chairman, thank
18 you very much. Just want to connect to where we left
19 before the lunchtime. So, we discussed about the Winnipeg
20 Sandstone formation, the northern boundary, and the
21 question was you -- you mentioned that you created the
22 water -- the water table map Figure 5-10, and my question
23 now would be we see, based on Betcher, and also the newer
24 investigations by the groundwater section here from the
25 province that we will have salinity, their TDS

1 concentrations in the range based from Betcher, about 20,
2 30, 40 grams per litre. Is this a reason for you to do
3 density driven modelling or do you stay with your attempt
4 to do single phase modelling?

5
6 MR. HARVEY: Miln Harvey, AECOM. The
7 measured values of -- of salinity in the area of the
8 northwestern boundary underneath the Red River are
9 approximately -- are less than 3,000 milligrams per litre,
10 and those, you know, in the sort of the 500 to -- to 1,500
11 milligrams per litre, those concentrations don't impact
12 density enough to do density dependent modelling. All of
13 the -- the denser water, which is affected by high TDS
14 levels are west of the study -- or west of the model
15 boundary, essentially. So no, we don't feel it's needed
16 to do density driven modelling.

17
18 MR. HOLLANDER: Thank you very much
19 for your point of view. I'd just like to highlight the
20 governmental documents show that there's concentration of
21 30 grams per litre, that means 30,000 milligrams per
22 litre, which indicates that there is a density driven
23 floor system and that this needs to be taken into
24 consideration.

25

1 MR. MILLS: Ryan Mills from AECOM. I
2 acknowledge that there are localized -- there's localized
3 -- or documentation of localized elevated concentrations
4 of TDS, in areas that it's my understanding based on the -
5 - the publication that I referenced earlier, indicate
6 evidence of historical upwelling of saline water from the
7 underlying sandstone in those areas. There are also
8 publications that show that the -- the TDS, high TDS
9 boundary, and saline water is -- is sort of 3,000
10 milligrams per litre or 3,500 milligrams per litre. So,
11 there's a zone below that that's called brackish. And
12 saline water is -- does not occur in the overlying
13 carbonate aquifer on a -- a typical basis. But there are
14 localized zones where interconnected wells historically
15 have allowed for upwelling of water from the sandstone
16 into the overlying carbonate and caused impacts to that
17 water quality in that area.

18

19 MR. HOLLANDER: Thank you very much
20 for this clarification. Hartmut Hollander. The point
21 maybe we talk here about two different things written --
22 maybe I want to step back. And so, I'm not talking about
23 the carbonate aquifer, I'm still talking about the
24 Winnipeg Sandstone aquifer. And so, this is -- and the
25 boundary condition which you have chosen below the Red

1 River -- the Red River, as mentioned before, both of which
2 you have shown inside your presentation yesterday, that
3 the shale seems to thicken towards the Red River
4 formation. So, there is no water flowing from that
5 position, that this water is obviously, based on
6 governmental documentation, saline as a threat, 30,000
7 milligrams per liter TDS. The question would be, did you
8 correct the water level -- water level measurements for
9 this aquifer in that region, because your flow direction -
10 - that direction looks different than that what the
11 governmental documents show. So, yours show towards the
12 Red River, while the direction from Betcher is a 90
13 degrees tilt.

14

15 MR. MILLS: In looking at the publication
16 that I ---

17

18 MR. HOLLANDER: Yes, I look at the
19 publication and HRI contribution #CS-93017, March 95,
20 Page 13, Figure 8 and 9.

21

22 MR. MILLS: Ryan Mills with AECOM. In
23 looking at Figure 9 of the publication, you reference the
24 contouring is largely focused on the area to the west of
25 the Red River, which is not included in our groundwater

1 model domain or assessment. On the boundary that
2 approximately coincides with the Red River, there is a
3 contour that -- a concentration of total dissolved solids
4 control -- contour, that is approximately two grams per
5 litre. Apology.

6

7

MR. HOLLANDER: Sorry.

8

9

MR. MILLS: Ryan Mills with AECOM. Which
10 is below the threshold where we believe density dependent
11 flow becomes highly important.

12

13

MR. HOLLANDER: Yes, two grams per
14 litre, I would agree, is that correct, but I don't know
15 whether you look at the same version of the document.
16 There's a river clearly shown, and the river lies between
17 10 and 50 and this is grams per litre that it is not in my
18 IS too. So we have one, two, ten, 50, 100, these are the
19 isolines and the area lies between 10 and 50. And for
20 reference, the groundwater branch currently (inaudible)
21 from the province is creating a new map which is not
22 published yet or where you could get latest references
23 about salinity concentrations in the sandstone aquifer.

24

25

MR. HARVEY: Miln Harvey, AECOM. Can you

1 give us the reference to the figure that you're looking at
2 so that we can confirm we're looking at the same thing?

3

4 MR. HOLLANDER: Yeah, so it's Figure
5 9, "Total dissolved solids of Winnipeg formation
6 groundwater (grams per litre)".

7

8 MR. MILLS: Ryan Mills with AECOM. This,
9 you know, we're talking about the width of a line or two.
10 It's a very small scale figure. The accuracy and the --
11 the data source of these interpreted isoclines -- or
12 isocons is not clear based on this figure, so it's very
13 difficult to judge, you know, within the error of a line,
14 on -- on these small scale figures.

15

16 MR. HOLLANDER: Yeah, certainly I see
17 this limitation -- Hartmut Hollander -- but this is a
18 provincial wide -- or let me say the part of the Western
19 Canadian basin here in -- in Manitoba, and that this one
20 is certainly rough estimates, that's why I gave the
21 additional information that currently the province is
22 producing a new map. The person in the province for
23 Manitoba agriculture and reforest development is
24 (inaudible) who is working on this topic, with recent
25 data.

1

2

MR. MILLS: Ryan Mills, from AECOM.

3

That's useful information. I think that could be part of

4

future considerations, but it's not, was not, and is not

5

available to us, and unfortunately we cannot comment on it

6

at this point.

7

8

MR. HOLLANDER: The next area which I

9

would like to discuss, or to question, is the spatial

10

discretization, which was also asked yesterday by Mr.

11

Dennis LeNeveu. You mentioned yesterday that there is a

12

refinement in the area of interest, which you identified

13

as the red area. Can you give me the nodal distance which

14

you have used in this -- in this area?

15

16

MR. HARVEY: Miln Harvey, AECOM.

17

Approximately five metres.

18

19

MR. HOLLANDER: Thank you very much.

20

Hartmut Hollander. Did you use the five metre constantly

21

over this area or did you do this next to the wells and

22

then further out in a different nodal distance?

23

24

MR. HARVEY: Could you repeat -- repeat the

25

question? Miln Harvey.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. HOLLANDER: So, the -- the five metres, are there only next to the wells which you modelled, the pump tests, or are they are throughout the whole areas of interest?

MR. HARVEY: Miln Harvey, AECOM. We -- we used the entire area and refined if necessary as we added new information. So, it was initially -- we initially just tried to mesh -- to take into account wells but if observation points or other wells were added, we refined the -- the mesh. But it is for the whole area where exploration has been done.

MR. HOLLANDER: Hartman Hollander. Thank you very much. Did you use a different mesh or a refined mesh for the transient simulation compared to the steady state simulation?

MR. HARVEY: Miln Harvey, AECOM. We used the same model for both the steady state and transient simulation, so it -- it has the same mesh.

MR. HOLLANDER: Thank you very much. Hartmut Hollander. The final question to this direction

1 is the appearances in -- of sinkholes in the northern part
2 of your area. Next to Beausejour, there is evidence of
3 several sinkholes. How did you involve, or how do you
4 edit this -- this information into your model?

5
6 MR. MILLS: Ryan Mills. The sinkholes are
7 a local scale feature that would typically be below the
8 resolution of a grid cell in a regional model, and they
9 were not incorporated into the -- this model. They
10 probably do not have much bearing.

11
12 MR. HOLLANDER: Sinkholes have the
13 opportunity to collect water, surface water, and bring
14 them a relatively fast to the groundwater table so that we
15 have next to the areas which are in the Sandilands and
16 next to the -- to the Hill area, the Birds Hill area, next
17 to Winnipeg, we have a potentially area where we have
18 higher recharge and potentially also faster pathways to
19 the groundwater. Can you comment on the view of your
20 answer?

21
22 MR. MILLS: Ryan Mills. I'm not familiar
23 with the exact locations of all of the sinkholes that
24 you've mentioned. The Birds Hill complex is -- is tens of
25 kilometres from the project area and -- and that's sort of

1 the -- the primary reference I picked up. And I think
2 you're -- I believe you're referring to sort of some
3 depression focused recharge that may or may not occur,
4 depending on where those sinkholes terminate, and the
5 texture, and -- and hydraulic conductivity of those
6 surficial materials. So, it would need to be a -- a site
7 specific kind of understanding that would govern the
8 behaviour of those local features.

9

10 MR. HOLLANDER: Hartmut Hollander.
11 Thank you very much for this clarification. You used a
12 lot of wells, or you added a lot of wells to this model.
13 Have you evidence -- do you know where they are screened,
14 whether they are screened in one aquifer, the other
15 aquifer, or in both aquifers?

16

17 MR. MILLS: Ryan Mills. The wells were
18 imported into a three-dimensional geological model. They
19 include information on geology, and -- and you know, a
20 wide range of information is typically collected during
21 drilling. The well database is -- is typically associated
22 with water wells and we, as you may appreciate, presented
23 some figures that -- presented the results of our
24 interpretation of where those wells may be screened.
25 Understanding that the -- the source of the data, you know

1 is disparate, it was collected by many different people
2 over many different decades, and so, there is some
3 uncertainty, and so, we applied some professional judgment
4 and -- and based on discussions with local drilling
5 companies and -- and others that have experience in the
6 area, we made some professional judgments, and assigned
7 them -- assigned the wells to, you know, either the
8 carbonate aquifer, or the -- the sandstone, or the
9 quaternary glacial sediments. Some were even assigned to
10 the shale, which would be atypical, but we did follow a
11 logic in assigning those -- those completion intervals to
12 each borehole and -- and presented it as such.

13

14 MR. HOLLANDER: Thank you for the
15 clarification. Hartmut Hollander. Does this mean that
16 you did not yet assign any well to both formations,
17 although there's a knowledge based on Kennedy and Woodbury
18 that there are about 500 wells in that area at least
19 connected to both aquifers at the same time?

20

21 MR. MILLS: Ryan Mills. It is fair to say
22 that they were -- there were wells that were not assigned
23 to both aquifers. There were, however, some wells that
24 were censored from the data set based on professional
25 judgment. In other words, we -- we judged them to be

1 mapped to an incorrect location or exhibited geology that,
2 you know, was not found or representative of any of the
3 materials that are -- that are found in the area. And you
4 know, I think, that -- that was the basis for -- for our
5 approach.

6

7 MR. HOLLANDER: Hartmut Hollander.

8 Thank you very much. I would like to come back to a
9 question from Jason Mann this morning. He asked, and you
10 agreed to provide a map with gradients or an information
11 about gradients, between the sandstone formation and the
12 carbonate formation based on the groundwater table maps
13 Figure 5-10 and 11. Would you be able to provide a before
14 map -- the hydraulic had differences at this point and how
15 they would change based on your simulation?

16

17 MR. MILLS: Ryan Mills. Apologies, we're
18 having a difficult time hearing you. We can't hear you
19 when you're speaking, very well, so, if you could repeat
20 that question again?

21

22 MR. HOLLANDER: Sorry for that. So,
23 we had this morning, a discussion from Jason Mann. He
24 talked about hydraulic gradients between the sandstone
25 formation and the carbonate. We can do a pre-analysis

1 before the mining starts, you have the maps of both --
2 both layers, the potential heads. Can you make a
3 comparison how this would change the -- the gradients from
4 pre-mining to post-mining and add this to the
5 documentation?

6
7 MR. MILLS: Ryan Mills. In fact, three
8 well pairs -- so, three of those Manitoba government
9 observation well pairs, there is historical information,
10 water levels presented overtime in both of those aquifers
11 and the -- the vertical gradient, it was calculated and
12 presented on those Figures 5-12, 5-13, and 5-14. It is
13 agreed and -- and in one of those cases, at least, I would
14 have to check, we did include one of those well pairs in
15 our model simulations and the -- the water levels were
16 presented, and I believe we agreed this morning to present
17 the gradients in response to the -- the project
18 operations.

19
20 MR. HOLLANDER: Hartmut Hollander.
21 Thank you very much for clarification. Yes, there are
22 exactly the three wells, and you gave also this data. I'm
23 not talking here about specific sites which are
24 potentially not directly next to the mined area, but
25 especially in that area which you -- in which Sio Silica

1 intends to mine, to draw a map of this based on your
2 analysis, what would be the gradient prior, or what is the
3 -- the gradient prior to the mining, and what would be the
4 gradient after the mining? This has a lot of implications
5 in terms of the water exchange. Jason Mann mentioned this
6 morning has a lot of implications potentially to
7 geochemistry and probably would be very supportive and
8 easily to do for this process.

9

10 MR. MILLS: Ryan Mills. Similar to the
11 response this morning, we have presented the existing
12 conditions, groundwater elevations in some of the figures
13 in the modelling results section. It is possibly
14 something that would require additional data processing.
15 We have presented, I believe, the results that are broadly
16 indicative. We have those transient time series plots
17 that do show water levels in both aquifers overtime at the
18 monitoring locations that we've inserted, or the
19 observation points that we've included in the model, at
20 various distances from the project operations and so you -
21 - you see that the -- the response at various distances
22 from operations, and at various time steps through the
23 project development and operation, that essentially convey
24 that information. And I -- I think some of the follow up
25 would be to -- to present that -- that information and

1 calculate the gradient and present it overtime, and I
2 think that's what we agreed to this morning. Is there
3 something beyond that, that I'm missing?
4

5 MR. HOLLANDER: Yeah, a little bit.
6 Hartmut Hollander. Because currently we started the
7 discussion that -- well you mentioned that due to
8 parsimony, you used -- you started with a -- a homogeneous
9 model for the carbonate and for the sandstone. And that
10 will be certainly a bit more discussion we will have on
11 that. And the question is whether this homogeneity which
12 you have assumed is reasonable to use, we will have a few
13 more questions on that. And in this direction, the
14 question afterwards, because when the soil would not be
15 homogeneous then there might be different gradients --
16 different strengths, at different positions, and spatial
17 analysis of this would be helpful because in the end it
18 would cover the -- the heterogeneity of the system.
19

20 MR. MILLS: Ryan Mills. As I understand
21 it, I don't think there was a specific question, but
22 you're looking for gradients to be presented before mining
23 in addition to -- in response to the operations. I see.
24 Yes, that -- that could be provided. It would require
25 some back casting of information.

1

2

MR. HOLLANDER: Thank you very much.

3

Hartmut Hollander.

4

5

THE CHAIRMAN: Chair. Hartmut, at

6

your request, you have about 30 minutes left.

7

8

MR. HOLLANDER: You know, maybe I have

9

to speed a bit up. Last question to the conceptual model

10

is about the well. Which last update of the database, of

11

the GW drill database did you use?

12

13

MR. HARVEY: Could you repeat the question

14

again, please?

15

16

MR. HOLLANDER: The GW drill database

17

which you used for creating your conceptual model, what is

18

the current, or what was the -- the time -- the last

19

update which you used?

20

21

MR. MILLS: Ryan Mills. I don't have the

22

-- the exact date, but I can let you know that it was a --

23

a fairly recent export. We had requested the information

24

from the latest update. We were told that not all of the

25

wells had been incorporated into that, and there are

1 others, including drilling companies, that do maintain the
2 databases sort of offline and so, we were able to access
3 sort of a combination of a historic drilling database that
4 was supplemented by known recently installed wells in the
5 area.

6
7 MR. HOLLANDER: A similar other
8 question. Which date did you use for the steady state --
9 simulations? What was your your date which you used?
10 What -- what did you find at steady state?

11
12 MR. HARVEY: Miln Harvey, AECOM. We used
13 all the available data that was downloaded for developing
14 the conceptual model. So, whatever was available at the
15 time of download.

16
17 MR. HOLLANDER: Yes, I understand that
18 certainly that you take that what is available, but when
19 you have all this data, you make the selection, what do
20 you define as quasi-steady state? And that's most likely
21 a month of a certain year or that is what I would like to
22 hear.

23
24 MR. HARVEY: Miln Harvey, AECOM. After
25 filtering the data for any anomalies, we used all of the

1 data and assumed long-term steady state average
2 conditions. So, all of the data points are -- they're
3 over different drilling seasons, different drilling years,
4 but it's all the data that was available. And the
5 assumption is, based on all that data we're getting
6 average long-term groundwater conditions.

7
8 MR. HOLLANDER: Hartmut Hollander. To
9 my knowledge this is not industry standard. Industry
10 standard is that we analyze the fluctuation curves of the
11 best wells. This would be most likely the wells of the --
12 by the province, which are observed constantly. We select
13 a mean situation for that. That was also the question
14 which Jason Mann had. From this data set we can also
15 define the times when we have low water tables or high
16 water tables for validation purpose which you have not
17 carried out.

18
19 MR. HARVEY: So, Miln Harvey AECOM.
20 Industry standard is to use all the data that's available.
21 We made professional judgment on the data that we used,
22 filtered the database to make sure we had good data, but
23 we used -- in order to -- to look at long-term average
24 impacts, we used all the data to get long-term average
25 groundwater heads. And that, as far as I've been using

1 for the last 30 years, is the standard that I've used in
2 modelling. So, we -- we didn't pick spring, summer, fall,
3 winter, we -- we chose all the data to -- to encompass the
4 available changes that occur over the seasons and over the
5 years.

6

7 MR. HOLLANDER: Hartmut Hollander.

8 Thank you for the clarification. Does this mean that you
9 compare a data row which might go from 1960 to 1990 with a
10 data row from 2000 to 2020 ,and that you compare and plot
11 the data into the same -- into the same plan?

12

13 MR. HARVEY: Miln Harvey, AECOM. We used
14 all the data. And so, we didn't categorize the data by
15 decade. We developed a database of groundwater elevations
16 for all of the available data, assumed long-term steady
17 state conditions and calibrated to that.

18

19 MR. HOLLANDER: Thank you for
20 clarifying. This is Hartmut Hollander. So you used this
21 data which we just discussed with the time that this was
22 selected from all over the whole period, what you -- what
23 what was measured, and you came up with the graph, which
24 you showed yesterday, where you printed on one axis the
25 simulated head versus the -- versus the observed --

1 observed heads. And what we see is you have done it
2 unfortunately a bit small yesterday that you're data don't
3 follow the one to one line, that there's a bias especially
4 towards the low lying areas. And I would like to hear
5 from you what kind of implications this bias has at lower
6 hydraulic head.

7
8 MR. HARVEY: Miln Harvey for AECOM. So, I
9 don't see bias in the data. I see a greater number of
10 data points near the Red River, but near the area of the
11 Red River. I see less data points near the Sandilands.
12 Up and down that 45-degree line I see -- well, first of
13 all, I see that the -- the data follows that 45-degree
14 line. It's the -- the average data points are three
15 metres high. The statistics show that there's a
16 normalized RMS error, which is good. There are some areas
17 where there are a cluster of data points which are both
18 below and above that line. Those areas are near the Red
19 River floodway, and we've plotted those on a graph -- or
20 sorry, on a -- a figure, so a plan view figure, and you
21 can see a cluster of both red wells -- on Figure 6-3, in
22 big and colour, there are a cluster of red wells and a
23 cluster of pink wells. The red wells are simulating
24 greater than 10 metres and the pink wells are simulating
25 less than ten. The reason there are those clusters likely

1 has to do with the timing of -- of when they were drilled
2 and like, the two effects, one being a greater groundwater
3 use in the area of Winnipeg and the construction of the
4 floodway. So, we did use all the data that goes back
5 historically. Some of those wells were installed before
6 the floodway was installed. Some of those wells were
7 installed after greater groundwater use had been
8 completed. And as a result, there -- we can explain the -
9 - the likely reason why they're there, but they do
10 contribute to our calibration and to our understanding of
11 the system.

12

13 MR. HOLLANDER: Thanks for the
14 explanation. I revised two Figure 6-2 part 3 of the
15 Appendix A. When you look at your model results, then you
16 will see that for higher hydraulic heads you have a much
17 better fit than for the lower hydraulic heads. For the
18 lower hydraulic heads starting at about 240 metres above
19 sea level, you have a significant over prediction of your
20 simulated error values compared to the observed values.
21 When I would extend this and would put a trend lines
22 through this, then the intersect of this one -- this line,
23 it is not zero as it should be, it is 160 metres for the
24 position at -- sorry not at zero, it should be 150 of your
25 cross-section. But if you draw this through there it

1 would be 160, so ten metre too high. So, that means that
2 this model, which you have created, significantly and
3 constantly, overpredicts the flow of the -- the heads at -
4 - next to the Red River, therefore the -- the gradient
5 inside your aquifer is not correct because it's too -- too
6 small.

7
8 MR. HARVEY: Miln Harvey, AECOM. I can't
9 see what you're describing. You've created something that
10 I haven't got access to.

11
12 MR. HOLLANDER: I assume that you have
13 access to your Figure 6-2.

14
15 MR. HARVEY: So, I'm looking at Figure 6-2.

16
17 MR. HOLLANDER: Can you tell me how
18 many points below 225 metres are below the line and how
19 many are above the line? Do you see a significant
20 difference?

21
22 MR. HARVEY: It's Miln Harvey, AECOM. So,
23 you've grabbed the data points that are in the red and the
24 data points that are in the pink, and you've connected
25 them. Those are in areas of the -- the model domain where

1 we have other -- sorry, those are in areas of the model
2 domain which are not connected -- or not contributing to
3 flows in the -- like they're -- they're just different
4 sections of the -- of the model domain. We look at those
5 as an amalgam against all of the groundwater heads up and
6 down the 200 to 300 metre observation and simulation
7 point. So, cherry picking that area ---

8
9 MR. HOLLANDER: I thought that you
10 were ready, sorry. Thank you very much. The questions
11 which I want to ask or come with this point is the
12 heterogeneity of the assumption inside the aquifer.
13 That's a key question which I wanna go through with. So,
14 we have just shown that -- we have just shown that the
15 gradient inside the -- the aquifer is not perfect, that is
16 okay. And we have seen that there are lots of
17 publications which are coming most likely -- or most of
18 them coming from Kennedy, Ferguson, and Woodbury which
19 have used non-homogeneous conditions for both aquifers.
20 In a publication starting at 2000 to the end of the 2010 -
21 - 2007, 2008. My question is -- the first question is can
22 you explain to the panel what equifinality is?

23

24 MR. HARVEY: Miln Harvey. Could you
25 rephrase that last question?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. HOLLANDER: Can you explain to the --
to the panel what equifinality is in modelling results?

MR. HARVEY: Miln Harvey, AECOM.
Equifinality means that a different set of parameter
values can lead to the same result. And so, to address
your previous statement, we've used industry standard
methodologies for taking all the data that we have
available, filtering it using simplified development of
the -- of the model to come up with a tool which matches
simulated versus observed, to a level of standard that the
industry accepts. We had that model reviewed by a number
of consultants and -- and peer reviewers, who've indicated
that the methodology we used was adequate, was okay, was -
- meets industry standard, and that the simulation -- and
then therefore is useful, for making the simulations that
we're -- we're attempting to make.

The area that you're describing is also
quite a distance away from the area where we're trying to
predict our impacts. Where we have a -- have a reasonable
simulation of gradients -- groundwater heads and
groundwater gradients. In summary, there are -- there are
possibilities -- there are possible configurations of the

1 model, distribution of parameters, which would give
2 similar calibration results. But we -- we tried to
3 encompass that by doing a sensitivity analysis and a
4 predictive -- predictive uncertainty analysis. And in
5 doing so, we have created a model which can be used to
6 make conservative decisions -- using the sensitivity and
7 uncertainty analysis, to encompass some of the uncertainty
8 that you're alluding to, which leads to equifinality.

9

10 MR. HOLLANDER: Thank you very much
11 for explaining your standpoint. Hartmut Hollander. Just
12 want to come back to the term equifinality. Equifinality
13 means when we have oversimplified the systems, that by
14 change of the certain parameters, potentially the recharge
15 in the Sandilands, we would have, for every recharge
16 value, if you just address this by the hydraulic
17 conductivities in the sandstone, in the carbonate, we come
18 to a good solution. By oversimplifying the aquifer, not
19 looking at heterogeneity, not including the information
20 which was published several times by the authors which I
21 mentioned before, Kennedy, Woodbury, Ferguson, you run
22 into a problem that the data which -- which are there,
23 cannot be proven. Additionally, if you look at your
24 hydraulic test, you came up with one times ten to minus
25 five. If you compare this to the calibration of your

1 steady state model you will see that there is a half a
2 magnitude difference between that what you measured and
3 that what you calibrated.

4
5 MR. MILLS: Ryan Mills with AECOM. I'd
6 just like to point out that one of the references that you
7 make was to Dr. Grant Ferguson at University of
8 Saskatchewan, who did collaborate and investigate this
9 very aquifer system as part of his PhD studies with Dr.
10 Woodbury. And I will point out that he was one of the
11 peer reviewers who is a practicing -- or a professional
12 that evaluated our work and judged it to be -- meet
13 industry standard, and he has direct and specific
14 experience that we were able to incorporate into our work
15 in response to his review comments prior to finalization
16 of our report. We had specific testing results that were
17 implemented in the model as input parameters and others
18 that were used as fitting parameters. This is a common
19 industry standard practice whereby we don't force the
20 model with too many input parameters, and we recognize
21 that there is some heterogeneity in this system that
22 cannot be captured in a single pumping test. And there is
23 a broad number of tests that have been conducted across
24 the aquifer and the singular value that we utilized in the
25 end falls within those parameters, and therefore, the

1 model is reasonable, and it can, and was, used to simulate
2 the results of our pumping tests with a reasonable result.
3 And -- and therefore, especially in the area of our
4 investigation, the results of the model can be relied
5 upon.

6
7 MR. HOLLANDER: Thank you for agreeing
8 to that. What I want to say in my next sentence. The
9 point is that when you finished your steady state
10 calibration and you went to your transient calibration,
11 you had to change your hydraulic conductivity again
12 because you just said a regional derived hydraulic
13 conductivity is not equal to the local hydraulic
14 conductivity. Therefore, your regional model is
15 completely neglecting all site specific features. Means,
16 and other terms, heterogeneity, and that only in the
17 transient model you were able to model what's going on on
18 your site.

19
20 THE CHAIRMAN: Chair. So, Hartmut,
21 you have a little -- you have about 10 minutes left and
22 I'm not sure was there a question there?

23
24 MR. HOLLANDER: No, it's fine. So,
25 let's -- let's jump to the prognosis shortly, very

1 shortly. When did you know for both sections,
2 hydrogeology and geochemistry, that the shale formation
3 will collapse? At which point in the process?

4
5 MR. MILLS: Ryan Mills with AECOM. We did
6 not, you know, have any certainty. We applied our
7 professional judgment very early on in the investigation
8 to characterize the system and -- and simulate, or to
9 allow us, to understand the system and simulate a range of
10 possible configurations of the project. As -- as we work
11 on projects, it is very typical for work to continue
12 through environmental assessment and permitting projects
13 and evolve overtime. So, we like to guard against future
14 change by having a -- a kind of a -- a broader scope of of
15 field investigation, collect information, and of course,
16 you -- you learn and -- and refine your approach as you
17 go. And so, we did not know for certain -- I guess
18 perhaps it could be argued that the sonar surveys that we
19 saw the other day, were -- were the first direct evidence
20 that the shale may collapse. And -- but it was expected
21 throughout the process that the shale was a weak layer, it
22 may change and adopt different properties, and we
23 attempted to capture that in our modelling simulations
24 both in steady state and transient.

25

1 MR. HOLLANDER: Thank you for that.
2 Not that you answered exactly my questions, but you
3 admitted that there was certainly knowledge that you had
4 (inaudible) in your knowledge and that the geotechnical
5 sonars, which they got, that you saw the failure and you
6 changed your model from the original submission from just
7 the change in hydraulic conductivity, you call it
8 degradation of the shale, to know a failure of 200 metres.
9 That was discussed with Jason Mann this morning. And
10 unfortunately, I had no time for -- to review this,
11 because this was just presented today, so I cannot ask
12 full amount of question. Just wanted to know when you got
13 to know that the -- the failure will happen.

14
15 MR. MILLS: Ryan Mills. I think there's a
16 terminology, kind of maybe a misinterpretation of the term
17 degradation. The term degradation in -- in my mind was
18 always to represent complete removal of the shale from the
19 system, in other words, not relying on the hydraulic
20 properties of the shale. So, for the entire modelling
21 exercise, when we say shale degradation, we are changing
22 the properties of the shale to match, at that time, I
23 believe we made the decision to set them to the underlying
24 sandstone hydraulic properties, which are very similar to
25 the overlying carbonate properties, and so, degradation

1 and removal of the shale should be thought to be the same.
2 And -- and those -- those results have sort of been
3 presented in -- in every one of -- of our modelling
4 deliverables both the -- the original 2021 model and the
5 updated model yesterday. The radius of shale degradation
6 was an assumption that we took on. There was no
7 information available on the -- the cavity design at the
8 time. So, we took a broad assumption that that would
9 potentially extend 200 metres. It turns out, based on the
10 recent information, that we were overly conservative, and
11 we would need to adjust that in the future. We have not
12 updated that assumption in our 2023 model but should at
13 some point. We wanted to provide comparable cases without
14 model adjustments along the way between the 2021 model and
15 the 2023 model, so that people could compare things
16 without making additional changes.

17

18 MR. HOLLANDER: Thank you for the
19 clarification. Just maybe a last question on this topic.
20 Is it correct that the new failure of the shale formation
21 is replaced by properties of the sandstone layer so that
22 the shale, which you have in this failed areas becomes the
23 hydraulic properties of the sandstone, or do you go still
24 with a reduction -- or an increase of the hydraulic
25 conductivity?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. HARVEY: Miln Harvey, AECOM. We haven't updated the sandstone properties based on our understanding of the -- the collapse of the shale.

MR. HOLLANDER: Thank you. My final question to the hydrogeological part is the review. You mentioned the review by Grant Ferguson, it was also mentioned the review by Jeff Bell. You used an -- an unconventional way to present the comments because you put them into the table. You took them out of -- obviously out of a document. So, normally you write a document with all comments, and you put this into tables. I would like to ask, are there additional comments, which you did not provide in the document's Appendix B?

MR. MILLS: Ryan Mills with AECOM. It's quite common in an environmental assessment process to translate written documents into an information or -- or comment tracking table and dispose of those comments in a table format, just for ease of filtering the comments based on subject area or commenter and -- and respondee. And so, that was the rationale for doing so. And to directly answer your question, no there are no additional comments from either of those reviewers that we did not

1 directly translate into that -- that document.

2

3 MR. HOLLANDER: Can I ask one question
4 in this direction? Why didn't -- I was provided with both
5 -- both reviews when I requested this through -- through
6 the CEC panel?

7

8 MS. WEEDEN: This is Laura Weeden. This is
9 not a request that I'm aware of, so I'm just going to have
10 to go back and double check.

11

12 MR. HOLLANDER: My few last minutes, I
13 want to spend on the geochemistry. Thank you very much
14 for all your answers to help to understand the -- the
15 model and the assumptions. I want to start with your
16 explanation from this morning from Jason Mann, that you
17 certainly wanted to take samples from the pre-mined system
18 and the post-mined system. That means in the end, the
19 sandstone which is inside the aquifer, and the one which
20 is on the hill which you showed there, which was shown
21 this morning, how many samples have you taken from the
22 sandstone aquifer in situ?

23

24 MR. MILLS: Ryan Mills. Could you clarify
25 whether or not you're interested in solid phase samples or

1 aqueous phase samples?

2

3 MR. HOLLANDER: I'm interested in
4 solid phase samples.

5

6 MR. OULD ELEMINE: We -- we collected a
7 total of three sample -- one surface sample from BRU 95.3,
8 and core sample -- sand sample from the aquifer, two.

9

10 MR. HOLLANDER: The sample which you
11 got from the aquifer, in which environment did you found -
12 - you mentioned this sub-oxic -- is it this anaerobic or
13 anoxic? Which one did you -- which was the state?

14

15 MR. OULD ELEMINE: Cheibany Ould Elemine,
16 AECOM. It's a sand collected in a bag because we cannot
17 core the sand.

18

19 MR. HOLLANDER: You cannot core the
20 (inaudible), but that's not required to get a sample and
21 of the same geochemical soil, you just need to take a
22 sample, close it, take it out, when you don't need to core
23 this for this. That is not needed. You just need a
24 device, which in the end, grabs a sample and seals it
25 towards the environment.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. OULD ELEMINE: Well, those samples were put in a double bag in a smaller zip lock and within another zip lock. But I think the point we are missing here is when we do our assessment -- oh, sorry, Cheibany Ould Elemine -- when we do our assessment for -- for solid phase, we are not looking at characterizing the ore, because that's the material that will be processed. Our objective is to focus on that material that will be extracted that may have environmental impact. So, that was the focus of the investigation.

MR. HOLLANDER: Hartmut Hollander. Thank you very much for this clarification. That means you took a sample from the surface deposit, this, which you say, is dewatering very fast which is directly exposed to oxygen. So, you have the change from the reducing conditions to oxidized conditions, and with this, the fast flow of the fluids, you can also remove all other ingredients, solutes which you have, based on that.

MR. OULD ELEMINE: Cheibany Ould Elemine, AECOM. This is quartz -- this is mostly almost 98 percent quartz. It's essentially inert sand. The remaining of the material is carbonate and some kaolinite.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. HOLLANDER: Yes, we heard yesterday that there's one percent kaoline inside. That was the reason for cementing. (inaudible) geotechnical people. And the question is, what is happening to this fine kaoline? It has a very (inaudible) particle. It has the opportunity to absorb a lot of particles. Certainly, when you change the environment, absorption capacity can change. Did you consider this in your sampling?

MR. OULD ELEMINE: Can you please repeat your question? I didn't get it.

MR. HOLLANDER: Yesterday it was discussed that there's one percent kaoline inside the soil, which was the reason for cementation. Can this -- this kaoline absorption places where you can put different irons on, by the change of the redox situation, or geochemical environment can the absorption places change? Can you have leaching which you have not covered inside your sampling?

MR. OULD ELEMINE: Cheibany Ould Elemine. Again, I would just repeat what I said. This is entirely 98 percent quartz. The remaining is the mixture of

1 carbonate and -- and kaolinite. The source of metals from
2 this rock are usually contained in the sulphide and the
3 sulphide needs to be oxidized to -- to release these
4 metals. And if there are no sulphides, I don't know what
5 metal will be absorbed within the kaolinite.

6

7 MR. HOLLANDER: Thank you very much.
8 Hartmut Hollander. The next question is how many
9 duplicate samples have you taken?

10

11 MR. OULD ELEMINE: We collected nine
12 samples.

13

14 MR. HOLLANDER: I asked for
15 duplicates.

16

17 MR. OULD ELEMINE: Yeah, just let me --
18 let me get to that, please. We collected nine samples.
19 We did not collect any duplicate in the field but there is
20 a standard procedure when we send our sample to the lab,
21 they create a duplicate based on their -- the number of
22 samples, and they conduct various analysis on this
23 replicate, just to capture the spatial variability within
24 the sample. I would like to go back and explain what
25 happened. When we sent the sample -- we tried to send,

1 for the waste, two kilograms, and this material is
2 crushed, homogenized, but there is an understanding that a
3 spatial variability may exist within the sample and that
4 spatial variability is driving the replicate analysis.

5

6 MR. HOLLANDER: Yeah, your replicate
7 is from the same sample. You did not use A second sample.

8

9 MR. OULD ELEMINE: Cheibany Ould Elemine,
10 AECOM. We -- we don't need to use a second sample to
11 capture potential heterogeneity. The replicate from the
12 sample can act as a check of the spatial variability
13 within the sample.

14

15 THE CHAIRMAN: Chair. So, we're
16 going to have to leave it there.

17

18 MR. HOLLANDER: I would have two
19 questions more only.

20

21 THE CHAIRMAN: It's not the number
22 that matters, it's the length. Are they quick questions?

23

24 MR. HOLLANDER: Yes Sir, they are
25 towards the trace metals and that was not discussed this

1 morning with Jason Mann. So, he explained, or they
2 discussed nicely, the mixing of the water, but the failure
3 of the shale has some other implications which was not
4 asked yet.

5

6 THE CHAIRMAN: Chair. So, given
7 there is no duplication, I'll give you an extra couple of
8 minutes, but let's be quick about it, please.

9

10 MR. HOLLANDER: Thank you very much,
11 Chair. My question would be towards the samples which you
12 took from the shale formation, as an example, BRU 102-2
13 from the depths 36.57 to 37 metres. We see trace metals
14 in this area, uranium up to 30 PPM, that means milligrams
15 per kilogram. Why didn't you investigate what would be
16 the collapse of the shale, the extended surface which you
17 have inside the aquifer? How much of this uranium could
18 go to the -- to the aquifers? This is not only for
19 uranium, for trace metals. Why didn't you neglect trace
20 metal at all?

21

22 MR. OULD ELEMINE: Cheibany Ould Elemine,
23 AECOM. Can you please provide the number of the table
24 you're looking at?

25

1 UNIDENTIFIED SPEAKER: (inaudible).

2

3 MR. HOLLANDER: It is Page 5 of 10 of
4 Work Order FA20C2029, Amendment 2.

5

6 MR. OULD ELEMINE: Cheibany Ould Elemine,
7 AECOM. So, we did the shake flask extractions test, and
8 that test provided simulation of what would happen if a
9 rock material is exposed to atmosphere and oxidizing
10 conditions in a quite vigorous process. The sample is
11 crushed to about 6.3 millimetres. We add three-to-one
12 water to solid ratio, and we shake it for 24 hours within
13 and -- an oxidizing condition. And we reported that -- we
14 identified that there is a potential for selenium,
15 arsenic, and uranium to leach. Those metals have tendency
16 to leach and at neutral pH and oxidizing conditions. In
17 the current aquifer the -- the condition are sub-oxic and
18 we do not see any of these elevated in the groundwater.
19 So that's means the solubility is being driven by the oxic
20 condition in the lab.

21

22 MR. HOLLANDER: Thank you for this
23 clarification. I'd like to address that during the mining
24 process, a lot of oxygen is introduced in the aquifer,
25 that we -- you intend to use air to inject, that means you

1 change the oxidation state from a reduced condition to
2 oxidized condition. And this geochemical assessment is
3 completely different. The same thing is that you did not
4 report for your geochemical analysis the PE state which
5 you used for your analysis, so that I could not follow up
6 with your calculations in that direction.

7
8 MR. MILLS: Ryan Mills with AECOM. First
9 off, disagree that the intention of the project is to
10 inject air into the aquifer. The intention of -- of the
11 operation is to utilize air to create a buoyancy effect
12 within a steel casing to create an upward movement of
13 water and draw in water into that -- that borehole and --
14 and up to surface with some entrained sand. And so, there
15 will be very limited, you know, injection, or no injection
16 of air, into the aquifer. There may, however, be some
17 transfer of oxygen contained within the atmospheric air at
18 surface in that water that flows down under gravity and
19 back to the formation. The partial pressure was set to
20 atmospheric pressure, and that was the basis for the
21 simulation, under the assumption that that water stays at
22 surface and is allowed to become fully oxidic under
23 atmospheric conditions, as a conservative assessment of
24 how that water quality may change.

25

1 MR. HOLLANDER: Thank you very much
2 for this explanation. That means you don't expect that
3 the redox state in the aquifer is changed due to the
4 mining operation. Is that correct?

5

6 MR. OULD ELEMINE: Cheibany Ould Elemine,
7 AECOM. Yes, we don't expect the -- the air to -- to shift
8 the redox potential subsurface.

9

10 MR. HOLLANDER: Thank you very much.
11 My last question would be on the statement that there is
12 meteoric water. You showed in your isotope study that
13 says a source of seawater -- a seawater source. I would
14 like an explanation -- like to hear an explanation where
15 this seawater comes from when you have meteoric water.

16

17 MR. MILLS: Ryan Mills with AECOM. So,
18 that -- that information came from core samples and -- and
19 were analyzed in an isotope lab at University of
20 Saskatchewan. And -- and what it interestingly showed, so
21 this is purposefully to understand the behaviour of that -
22 - that shale and -- and how it factors into the conceptual
23 hydrogeological model, that is essentially legacy, sort of
24 call it connate water that was formed, or present at the
25 time of -- of sedimentation. And it's our understanding

1 that that is slowly diffused, or is continuing to diffuse,
2 out into the overlying and underlying aquifers that are
3 largely recharged by meteoric water to the -- from the
4 east.

5

6 MR. HOLLANDER: Thank you very much
7 for all your answers and for the time that you spent.

8

9 THE CHAIRMAN: Chair. Thank you very
10 much, Hartmut, for your questions, and panels for your --
11 panel for your answer. Up next is someone from the RM of
12 Springfield. Who's that going to be? Very good. Please
13 come up to the mic in the middle, state your name, and
14 spell it for the transcriber, please. I'll remind you
15 that the purpose at this point is to ask questions.
16 Participants will have their opportunity to state their
17 view and be asked questions later on in the program.

18

19 MR. PRYDUN: My name is Mark Prydun, M-A-R-
20 K P-R-Y-D-U-N. I'm with the RM of Springfield. Special
21 Projects Coordinator with the Water and Waste Department.
22 Chair Doering, CEC panel, thanks very much for the
23 opportunity to ask a couple of questions. Only be about
24 five minutes. And -- and the reference documents I have
25 towards the panel is the -- the presentation Hydrogeology

1 and Geochemistry Assessment, specifically Page 57, and
2 also the Groundwater Monitoring and Impact Mitigation Plan
3 Page 25, Section 6.2. First of all, I guess -- and I'll
4 be very brief, I just have one general comment and
5 followed by two quick questions. The general comment is -
6 - is that so we'd like to -- the RM would -- is thanking
7 you for preparing this monitoring plan. We find it to be
8 very informative, well structured and -- and very helpful
9 to us. So, we want to congratulate the authors for -- for
10 producing a very sound document. The first question we
11 have is -- is that, in the RM Springfield's experience,
12 our experience is -- is when its citizens have concerns
13 about their groundwater, they'll reach out to the -- to
14 the rural municipality for guidance and -- and direction.
15 So, the question is can you describe what opportunities
16 might exist for the RM of Springfield to participate in
17 the groundwater monitoring and impact mitigation plan
18 process to ensure that we could support our citizens
19 fairly?

20

21 MR. MILLS: Ryan Mills with AECOM. I
22 appreciate the question. It's -- it's an interesting one
23 and I'll admit it's not one that I've fully thought
24 through yet. It's -- it kind of recognizes that this is
25 needs to be -- there needs to be some collaboration and --

1 and kind of involvement of -- of the -- the local
2 community in -- in the -- these types of projects. As a
3 hydrogeologist working on other similar projects, I've
4 seen this work well where there is sharing of information.
5 There is a -- a panel that can be established, or a
6 working group that can be established, that has a regular
7 cadence of meetings, and an open sharing of information as
8 it relates to groundwater level monitoring, groundwater
9 quality monitoring, the analysis, the results. And so,
10 there would be sort of, perhaps, an opportunity and -- and
11 Sio has just -- I've just floated this idea past them and
12 they're in general agreement, but I think this -- this
13 should be fleshed out, and some of it should come from the
14 RMS -- of Springfield. And -- and we would welcome that
15 input as to how you would like to be involved, because you
16 know, it -- it can be a discussion point, and you know the
17 point of this would be to involve the RMS to the -- the
18 level that they're interested in being involved and -- and
19 at a minimum, commit to open sharing of information and
20 regular presentation of results.

21

22 MR. BULLEN: It's Brent Bullen from Sio --
23 sorry, Brent Bullen from Sio Silica. If I can add to that
24 to Ryan. We've made it openly clear that we intend to --
25 to fully put in place one of the most robust and fulsome

1 monitoring programs of the aquifer. That's a commitment
2 to the -- the project, and obviously the well-being, and
3 the monitoring of the water. We also have a commitment to
4 have transparency on that and -- and to work. So, I'm --
5 I'm pleasantly -- I'm quite happy with the question you
6 have because we -- we look forward to working with the RM
7 of Springfield on this.

8
9 MR. PRYDUN: Mark Prydun. Thank you very
10 much for the response, and it probably leads in quite
11 nicely into my second and last question. And -- and just
12 strictly for the record, can the panel confirm that the RM
13 of Springfield will have a -- a formal and -- and defined
14 role in the coordination of the groundwater monitoring and
15 impact mitigation plan?

16
17 MR. BULLEN: Brent Bullen with Sio Silica.
18 Of course we look, and welcome any involvement from the RM
19 of Springfield, you know, in the monitoring. We have to
20 look at a sharing of data. We have to look at the use of
21 that data. You know, you have a responsibility to your
22 stakeholders and the residents, as -- as does the company,
23 and so, you know, the only way it does work is in
24 partnership and so, it's -- it's a welcoming invitation to
25 work with you.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. PRYDUN: Okay, I thank you very much.
Mark Prydun. Thank you Board, again. That concludes my
questions.

THE CHAIRMAN: Chair, thank you very
much, Mark. Thank you, panel, for your answers. We're
going to take a brief recess here and then we will go to
some public questions. Sander, I think you and Kelly
might want to get together. Thank you.

(LONG PAUSE)

THE CHAIRMAN: So, we'll regroup in
about two minutes, please.

(LONG PAUSE)

THE CHAIRMAN: Chair. Okay, can we
return to our seats please? Get the panel back up to the
front. Up comes Ryan, up comes Miln, maybe. Chair. So,
when we concluded, I suggested that Kelly and Sander might
need to chat. I will retract that, and we'll hold that
thought until tomorrow morning. But I understand that Sio
would like to make a couple of statements regarding

1 undertakings.

2

3

 MS. WEEDEN: Hi, this is Laura Weeden. I
4 just want to follow up on one of -- the undertakings
5 yesterday that was asked by, I believe it was Mr. Williams
6 on the behalf of MBEN, on the extraction depth as it
7 relates to the previous Stantec reports, and the new
8 Stantec report which currently states that the extraction
9 depth is based on a 20 metre vertical depth. We reviewed
10 the other reports last night and they were based on the
11 angle of repose of 31 degrees with varying spans, that
12 translates to a depth between 10 and 20 metres.

13

14

 Laura Weeden again. And as it relates to
15 the questioning from Dr. Hartmut, we -- I cannot find any
16 records of the request to see the original review
17 documents, but we are happy to provide them.

18

19

 MR. HOLLANDER: Thank you very much.
20 So I asked that via Peter, our secretary. I don't know
21 exactly the process, but it would be great if you can hand
22 it over so that I can review them and that we can close
23 this topic.

24

25

 MR. DUNCANSON: Mr. Chair, Sander

1 Duncanson. So, Sio will take that as an undertaking to
2 make sure that that's completed on the record. And just
3 recognizing that Mr. Williams is not in the room, when Ms.
4 Weedon satisfied the undertaking from yesterday, we'll
5 make sure to provide that information to him as well.

6
7 THE CHAIRMAN: Chair. Thank you very
8 much. So there is one other participant, as I think you
9 are aware, who has deferred questioning until tomorrow
10 morning regarding the geochemistry and geo hydrology, so
11 that will be Byron Williams. So, that leaves us a little
12 bit of time left today. Are there any members of the
13 public that would like to ask a question? And again I
14 remind that members of the public will have their
15 opportunity on the two evenings, one in Steinbach, one in
16 Beausejour, and the Saturday in Anola to share their
17 feelings and thoughts. But at time, we can take questions
18 of the panel. Please come to the front. I'll ask you to
19 state your name and spell it please and proceed with your
20 questions.

21
22 MR. COLE: My name is Ted Cole, spelled
23 C-O-L-E. And I have a question for Sio. Back in October,
24 There was a hearing with the Manitoba Municipal Board AND
25 Sio gave a presentation. In that presentation, it was,

1

2

UNIDENTIFIED SPEAKER: Your microphone.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. COLE: Fair enough. Now then, is

1 there more than one file?

2

3 MR. BULLEN: Brent Bullen with Sio. Within
4 the actual facility project which, this is a facility, and
5 you know, with respect I'll answer the question, this is
6 not part of this hearing, or the CEC -- this involvement,
7 but it does talk about two piles, a smaller pile and a
8 larger pile. So, the reference that you're talking about
9 is the larger pile. There's the potential for two piles.

10

11 MR. COLE: I thank you for that
12 information. Now if you recall in that hearing that we
13 had with Manitoba Municipal Board, I asked the question.
14 And well, actually, sorry, my apologies, I have to correct
15 that. I didn't ask the question, but another individual
16 asked the question, what about the voids? And if I'm
17 correct, one of your people gave a response as to what
18 happens to the voids? Do you recall what that response
19 was?

20

21 MR. BULLEN: Brent Bullen with Sio. I'd
22 like to hear what you heard.

23

24 MR. COLE: If I'm right, and correct me
25 if I'm wrong, it did not come from you, did you not give a

1 response to that question?

2

3 MR. BULLEN: Brent Bullen with Sio. I
4 don't recall where you're going with the direction. I
5 mean, we -- we spent the whole day yesterday talking about
6 geotechnical stability and void. But if you have a
7 question that would probably help me answer it.

8

9 MR. COLE: My question was when the
10 response was made, there was a description of a material
11 to be injected into the voids. But I mean, that sounded
12 good because it's -- it's supposedly going to support that
13 void. But then I believe it was in the paper, would have
14 been in February -- now this -- this hearing was in
15 October and the paper came out with the voids are going to
16 be filled with water. When did that change?

17

18 MR. BULLEN: Brent Bullen with Sio. I'm
19 not aware of what you're talking about for injection.
20 We've always said that it's room and pillar, and once the
21 sand is extracted, there's a void left that's filled with
22 water.

23

24 MR. COLE: I believe it's on public
25 record at that hearing what that material was.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BULLEN: Brent Bullen. I have no recollection of -- of what you're discussing, and I'd have to have a look at it to see what you're referencing.

MR. COLE: I would ask that your Committee, or apologies for not knowing the correct terminology -- sterilizing every piece of pipe from the well site, or from your facility back to the well site?

MR. BULLEN: I think the -- what I see here, the extraction area where the UV system is, that's regional at the extraction components and that's -- that's separate. You want to take that water out immediately and return it to the well treated. The slurry lines that move the facility -- the sand to the facility, that's a whole separate water system. There's not an interchange. You know, in your -- in your package that you have there, prior to the one slide that you asked me about for sandpiles, there's actually a -- a diagram that shows the facility lines. There's a hard break where sand is moved from the facility extraction to a transportation loop. The transportation loop is commercial water. That -- that is not exposed. It will never, ever come in contact with the extraction and the wellbores. That's where you have a

1 total isolation of water. So, when I talk about an
2 extraction site, you know, fitting into this room with
3 equipment to actually separate, treat the water, put it
4 back, that footprint moves around as you're moving in the
5 extraction. The transportation loop is -- is not a -- a
6 reinjected water source at all.

7
8 MR. COLE: Sounds good. But it still
9 comes down to the same thing, water is going back into a
10 well through pipes which could be three miles, or however
11 far you want to go with this, and you're going to tell me
12 that if you sterilize that water before it goes back to
13 the well, that every one of those pipes will be clean so
14 we're not having contaminated water after it being
15 sterilized, because it's now travelled through a pipe
16 going to a well that is where the whole thing was
17 originated from. Now, if a well has given you slurry, but
18 as a precautionary measure, you decide then that the water
19 that came from this slurry, that would be separated at the
20 plant, that water should be cleaned. So, when did it get
21 dirty -- possibly?

22
23 MR. BULLEN: Brent Bullen of Sio. Are we -
24 - do you have to keep putting our name in or is it just a
25 discussion here, Mr. Chair?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

THE CHAIRMAN: Chair. Sorry I missed that.

MR. BULLEN: I just wasn't sure if we need to identify ourselves by name every time we speak for record.

MR. COLE: My apology ---

THE CHAIRMAN: So, Ted, yes, it would be useful if you could remember. I was kind of letting you go there. Your 15 minutes is almost up, Sir, so, if you want to prioritize your time.

MR. BULLEN: I would like to answer the question Mr. Cole, if that's all right. I think there's a -- a misunderstanding when you talk about three miles of pipe. The water at the extraction site is never going to be subject of the transportation of sand to the facility. It's -- it's separated at the extraction site, treated at the extraction site and put back in. So, even if you're extracting two miles from the facility, you're separating the sand at the -- at the extraction site and putting the water back in. Now the transportation loop that actually

1 moves the slurry, that's a closed system, and that is
2 separate. So, you'll never, ever be in a situation where
3 you're pumping water hundreds of metres or kilometres.
4 You know, the water that we're talking about treating and
5 putting back into the well is near wellbore, with
6 equipment that is at the extraction site. And so, I think
7 there's a misunderstanding in -- with the two components
8 of water here. The slurry itself, when the sand is
9 actually put into the slurry loop, that is a closed system
10 that just deals with moving the sand from the extraction
11 to the facility, but that water is never part of
12 reinjection, ever.

13

14 MR. COLE: How much time did he kill?

15

16 THE CHAIRMAN: I think "kill" is an
17 unfair word, but ---

18

19 MR. COLE: (inaudible). How much time
20 has he wasted?

21

22 THE CHAIRMAN: I'm not going to
23 respond to that, but I will let you know that you have a
24 couple of minutes left. I -- I think this is an important
25 point that there are two systems here. There is the

1 withdrawal system and there is a system to move the sand,
2 and they are exclusive systems, and this may be a cue to
3 Sio that perhaps this message is not permeated to the
4 extent that is -- should have.

5
6 MR. COLE: Ted Cole. I got that one
7 right that time. Thank you. Now, I understand you've got
8 two different systems, one takes the slurry and then
9 separated and it's not the same system. What I'm talking
10 about is not -- how should I put it? I'm talking about
11 the pipe that goes with this sterilized water. I -- I
12 realize they're not the same. They're two different
13 systems. I understand that. But my question is, when you
14 sterilize water and you have to get it three miles away,
15 it's not going to go through the air. It's not going to
16 go in a tank. It's going to go through a pipe. I am not
17 a professor. I'm not anybody. I'm just the person that
18 has a question. And the question is, how can you get
19 sterilized water from point A to point B through pipes
20 that are not sterile?

21
22 THE CHAIRMAN: Chair. So, it is not
23 for me to answer that question, but I will refer it back
24 to Sio, please.

25

1 MR. BULLEN: Brent Bullen with Sio. Mr.
2 Cole, I think to put it into perspective, the final
3 treatment phase and the UV -- and UV is used as a
4 precautionary finishing because we don't want to use
5 chlorine or chemicals. So, that distance is about 60
6 feet, you know, roughly with hosing. So, it would be no
7 different as if you actually had to have potable water
8 delivered to your house and you actually had a water truck
9 show up, they pulled hosing out of contained environment,
10 hooked it up, and put water back in. Because the water is
11 sterile after the UV, arguably it's actually going to be
12 put back in a -- a sterile state compared to the water
13 that's actually coming out of the well. When we look at
14 the -- your analysis of doing surgery with garden gloves
15 on, I prefer to think this is more like surgery with some
16 of the best tactile nitrile gloves that are available
17 because the use of plate press for fines, the use of the
18 systems that will be talked about tomorrow -- and I hope
19 you can attend because a lot of this will be discussed
20 with the other panel. The equipment we put in place is
21 the best of the best available in the world. It's the
22 best technology. It's the best of equipment. So, you
23 know, we've gone into an approach to actually look at what
24 the best applications can be to protect the water.

25

1 So, I think you have a very good solution.
2 You have the ability to have continuity and containment of
3 those water lines because the last point of treatment is
4 from the UV to the wellhead, and that's close proximity.
5 That's where I thought there may be a misunderstanding
6 thinking they were going to have water going across the
7 countryside and back. That's not the case.

8
9 THE CHAIRMAN: Chair. So, Mr. Cole,
10 you are out of time, sir. I'll remind you that there are
11 three sessions. There's next -- next evening here in
12 Steinbach for the public to talk. There's next Saturday.
13 Not this coming Saturday. The Saturday after that in
14 Anola. And there's also an evening session in Beausejour.
15 And the purpose of the sessions is for this panel to hear
16 from the people in the area, to hear their thoughts, their
17 comments. And if Sio has anything they wish to add to --
18 to that record, they can do so at that time. But those
19 sessions are primarily for the public, sir. So, if you
20 wish to come back again, I encourage you to do so.

21
22 MR. COLE: I thank you very much. I
23 appreciate the opportunity. Like I say (sic), I am
24 nobody. I don't belong to anybody. And I do appreciate
25 the fact that I'm allowed to speak here. Thank you.

1

2

3

THE CHAIRMAN: Chair. Everybody here
is a somebody.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Are there any members of the public --
other members of the public that would like to ask
questions? Please, come forward. State your name and
spell it. You have 15 minutes. That's okay. Go ahead.
Yeah.

MR. HALKET: Good afternoon, Chair, panel,
member -- of Sio, and the panel from AECOM, I suppose, all
AECOM.

UNIDENTIFIED SPEAKER: You don't have to
hold it. Just push it once -- press it once.

MR. HALKET: Okay. And good afternoon,
everyone else. My name is Ian Halket, H-A-L-K-E-T, and I
am working with, or an advisor to, Peguis First Nation. I
think today the discussion -- the back and forth between
the proponent and AECOM's engineers, and the interveners
has been very interesting. I've learned a lot about this
project that I didn't actually pick out of the
environmental assessment or the hydrogeological material

1 that was filed. I think there's a lot of new information
2 here, one of it being, to me anyway, was the collapse of
3 the aquitard -- of the shale aquitard that separates the
4 sands from the limestone aquifer above. I'm interested
5 in, and Peguis is interested in, the structural stability
6 of this, and we heard about -- of the mining extraction
7 and that honeycomb sort of structure, if you will, that
8 will be left over in the Carmen Sands -- or the Black
9 Island sands. I'm not quite sure which formation this is,
10 or what the distinction is between the two, and I would
11 ask -- ask if you have, or can inform me on that?

12

13 MR. MILLS: Ryan Mills with AECOM. Happy
14 to kind of clarify that point. The Black Island Sands are
15 located in outcrop, above surface, on Black Island in Lake
16 Winnipeg, and it's -- so you can appreciate that's several
17 hours north of here by car, and this is a different
18 formation. Some of the key differences are that aside
19 from its geologic origin, that there are known to be more
20 metals and sulfidic minerals present in that shale, and
21 there is a -- in fact, there are government reports on
22 that specific area and that specific formation that --
23 that discuss some of the -- the kind of characteristics of
24 -- of that material that is observable at surface on Black
25 Island, that is not found here.

1

2

MR. HALKET: So, again, thank you for that.

3

Ian Halket here. I'm -- the sands were laid down, I think contemporaneously, like the same time, if I'm not mistaken. Is that correct?

6

7

MR. MILLS: Ryan Mills with AECOM. I -- I

8

can't comment on the exact temporal timeframe. This was, you know, several millennia ago.

9

10

11

MR. HALKET: Okay. I'm just wondering why,

12

in yesterday's discussion with the -- with the geotechnical people, and also with your geochemical analysis, why there is no information, or shall we say cross-correlation, with those sands -- with those sands, and the ones that you're dealing with, in what you call the Carmen Sands below Vivian. I would suspect, this is a statement on my part, that they'd be fairly similar, and that the sands under Vivian would show quite a lot of different -- that there would be differences in their geochemistry. It wouldn't be as uniform as you're characterizing it, and I wonder -- and here's my question, is your characterization is coming from, what I can see from the hearing today, three samples. Is that correct?

25

1 MR. MILLS: Ryan Mills with AECOM. So,
2 number one, the two sand deposits are very different. The
3 Black Island Shale is in a different geographic location
4 with very different material properties. Those are
5 characterized and discussed elsewhere in government
6 documents, and they can be obtained online. The local
7 samples have been characterized both the carbonate, the
8 shale, and the sandstone, with three samples each, and
9 supplemented with some additional characterization data
10 that Sio conducted themselves.

11

12 MR. HALKET: So, my question then is do you
13 -- are three samples adequate to characterizing a deposit
14 as large as is under proposal here -- is under ---

15

16 MR. MILLS: Ryan Mills, AECOM. The answer
17 is, yes, as we showed in the table this morning. Dr.
18 Elemine, next to me, presented what is considered widely,
19 and in a global sense, to be industry standard for
20 sampling of materials that are encountered during mining -
21 - and of -- of any type of material. And the required
22 number for characterization of the -- the volume and mass
23 of material that works, that Sio is proposing to remove,
24 requires three samples or less.

25

1 MR. HALKET: Okay, so we have three samples
2 taken from the silica sands -- from the sand layer, three
3 samples, or core samples shall I say, that are being
4 extracted from the shale, and three samples from the
5 overlying limestone. Am I correct?

6

7 MR. OULD ELEMINE: Cheibany Ould Elemine,
8 AECOM. That's correct.

9

10 MR. HALKET: Were these, all nine of these
11 samples, fresh or intact, or did any of them experience
12 weathering before they were given to the lab?

13

14 MR. OULD ELEMINE: Cheibany Ould Elemine,
15 AECOM. These samples were collected following standard
16 practice. When the core was taken, the samples were taken
17 from the core, was -- some of them were examined in the
18 field, and packed in a standard sampling bag that is used
19 for this type of sampling. They were stored in a pail,
20 they were sealed, and they were sent to the laboratory.

21

22 THE CHAIRMAN: Chair. Ian, please
23 remember to state your name each time.

24

25 MR. HALKET: Excuse me, Ian here. My

1 understanding is that these samples, one was collected
2 from a stockpile within the proposed mine area, and two
3 were collected from outside the proposed area to be mined.
4 Is that correct?

5
6 MR. OULD ELEMINE: That is correct. And
7 the objective of that is to capture the spatial
8 variability that may exist within the unit. If we just
9 collect sample from BRU-95, it's a small area, and the
10 heterogeneity in that small section will likely be low.
11 So, it is very important that we collect sample from
12 different locations, and from different type of weathering
13 status, whether fresh or completely weathered, to
14 understand the overall potential that may occur. Very
15 often, people think that it's only fresh material that
16 generates acid or (inaudible), but it's not -- that's not
17 the case. We commonly found that weathered material
18 contains acidity, and if we're not careful to analyze that
19 material and identify that there is potential for acidity
20 from that material, we may -- estimate that and we
21 probably have an issue with the -- with the leaching.

22

23 MR. HALKET: Thank you. But I have a -- a
24 question that probably goes to the constituents within --
25 within the samples, if the sample is allowed to weather,

1 do we have an accurate -- an accurate composition of the
2 constituents that make up that complete sample?

3

4 MR. OULD ELEMINE: Cheibany Ould Elemine,
5 AECOM. This sample, for example the shale that's the main
6 concern here, as we have shown during our presentation,
7 and -- and indicated in our borehole log, it's already
8 weathered. So, there is only a finite amount of material
9 that the shale can release.

10

11 MR. HALKET: So, I'm going to come back to
12 the idea here that the aquitard -- the shale and the
13 aquitard will probably, at least from evidence yesterday
14 and the day before, will collapse into the void after the
15 sand has been extracted. And of concern to us is the
16 release of selenium into the groundwater from that
17 collapse, and also, the possible acidification of that
18 groundwater from the pyrites within the shale.

19

20 MR. OULD ELEMINE: Sorry. Cheibany Ould
21 Elemine, AECOM. I'm sorry for cutting you off. As was
22 shown yesterday in our presentation, for ARD to occur, you
23 need three elements -- need the -- the sulphide, the
24 pyrite, you already need oxygen, and you need water.
25 Based on the the way extraction proceeds, we do not

1 anticipate that there will be oxygen to oxidize pyrite in
2 the subsurface. But just for the sake of discussion,
3 let's assume you have all the ingredients needed. The
4 shale has very, very limited amount of sulphide. The
5 highest pyrite content we measured was 1.3. And just
6 let's -- for the sake of discussion, assume that it's 20
7 percent, for example, if that shale collapses, we also
8 expect that some portion of that limestone would collapse
9 as well. And let's say you have two metre of shale
10 collapse, two metre of limestone collapse, that limestone
11 contains enough buffering capacity to neutralize all that
12 acid that may be generated from even 20 percent of -- of
13 sulphide. And we know from the data we have, that the
14 sulphide content is only -- that the pyrite content is
15 only 1.3 percent.

16

17 THE CHAIRMAN: Chair. Ian, you have
18 about one minute left, so maybe one more question.

19

20 MR. HALKET: I'm just wondering that if you
21 had taken more samples, if there would be some variability
22 to the amount of sulphide that you are finding in the
23 shale. And the other question that I have is oxygen being
24 introduced by the mining technique -- or air, shall we
25 say, and what evidence do you have that air will not be

1 introduced from the extraction of the sand, and does --
2 have you evidence that you are not going to be introducing
3 or oxidizing the water. Sorry about that. For some
4 reason I ---

5
6 MR. OULD ELEMINE: Cheibany Ould Elemine,
7 AECOM. As my colleague indicated earlier, the requirement
8 for the number of samples for characterization at this
9 phase of the project is three samples per 10,000 tonnes of
10 material. The project, in this case, will remove but less
11 than 4,000 tonnes of shale and carbonate together. So,
12 theoretically we only need three samples to cover both,
13 but we went a step ahead. We collected six samples for
14 those. That's one. The second, we indicated in our waste
15 characterization management plan that we will try, and we
16 plan on collecting samples ahead of production during the
17 installation of monitoring wells, will make sure to
18 collect samples to validate what we know already and -- if
19 there is any requirement for improvement that will be
20 done. We also plan on including additional testing that
21 can get -- help us further constrain the ARD and our risk.

22

23 THE CHAIRMAN: Chair. Ian, thank you
24 for your time. Thank you for your questions. Thank you,
25 panel. Are there other members of the public that would -

1 - please, yes. I see. Now I understand my confusion. I
2 didn't see Ian's hand go up earlier, but it's okay, it's
3 okay. It's the person that raised their hand wasn't the
4 person that walked up to the microphone. That's why I was
5 confused. Chair. Welcome. Please state your name and
6 spell it for the transcriber, and then you have 15 minutes
7 for questions. Sorry?

8

9

UNIDENTIFIED SPEAKER: (inaudible).

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

THE CHAIRMAN: Please, please,
please.

MR. FORTIN: I'm back. The last time I was
here, it was stated that Stantec set it up so that you ---

THE CHAIRMAN: Sorry. Chair. I'm
going to intervene. Please state your full name and spell
it for the transcriber, and then please proceed to your
question.

MR. FORTIN: That's Roland Fortin, F-O-R-T-
I-N, R-O-L-A-ND. Last time I was here, Stantec set it all
up that they designed the cavities for certain overburden
depths. And once they did that, it was free for you guys

1 to set up your configurations for your excavation wells.
2 They stated that -- or it was stated that there would be
3 one to five wells, that the configuration would -- would
4 be, I'd believe, 18 metres apart, 9 metres to the edge,
5 that two -- two excavations could go on at one time, and
6 that there would be a 65-degree outset for the cavity. My
7 question to you is, how is that configured and what are
8 the pumping rates for the various -- I could -- if you
9 would like a specific, there's a one -- one excavation and
10 three in the other -- how do you ---

11

12 MR. MILLS: Yeah, thanks for your
13 question. Ryan Mills with AECOM. As a -- a matter of
14 clarity, so, Stantec provided the -- the cavity design to
15 Sio, and Sio developed an extraction plan, and that's
16 occurred sort of twice, once prior to the 2021 groundwater
17 modelling exercise, and then once again in the last couple
18 of months, and that revised extraction plan was brought
19 forward into an updated 2023 groundwater model that -- we
20 presented both of those results cases in our presentation
21 yesterday. The pumping rates and the comparison of the
22 2021 scenario to the 2023 scenario are provided, I think
23 it's Slide 24, and there's some -- some lines with red,
24 and -- and magenta, and purple -- I'm partially red-green
25 colour blind, so excuse my colours -- but they are

1 presented on that figure. And what we saw was that the --
2 the zero percent reinjection case, which was what was used
3 previously, the revised zero percent reinjection case is
4 similar to slightly higher than what was previously the
5 zero percent reinjection case. And but the -- the 50
6 percent case is much lower. And a yet to be completed --
7 I've just got a note that -- that the results are -- the
8 model's wrapping up, but those -- that 85 percent
9 reinjection rate is -- is going to be even less yet again.
10 So, does that -- I think you were asking specifically
11 about the pumping rates and ---

12

13 MR. FORTIN: I didn't explain myself well.
14 You've stepped -- with the new model you've changed from
15 four days, to possibly five to seven days. You've changed
16 as you've gone to one to five wells. You've changed that
17 you're going to be -- and the young lady, I'm sorry I
18 forgot your name, gave a demonstration on -- as the -- on
19 Page 11 of -- of what would five wells would look like in
20 one cluster. And it's giving a top view and a perspective
21 view. Now, when we're looking at the sand extraction, I
22 believe that we're looking at a drawdown cone that is for
23 -- like, there's three things happening here. To isolate
24 one is -- is difficult, but to put all those three is even
25 more difficult, because I'm looking at a five -- so it's

1 virtually across, and you're looking at it -- the drawdown
2 cone being within that cluster. Well, with the
3 configuration you've given, that drawdown cone can expand
4 beyond, for the water. For the sand, it would be an
5 inverse drawdown cone so the bottom -- at the top would be
6 greater than the at the bottom, because you're restricted
7 by that 65 degree angle. You have to stay within that
8 boundary.

9

10 MR. MILLS: Ryan Mills with AECOM. I
11 think maybe there's a -- we should make the distinction
12 that the -- the void space will be essentially full of
13 water, with some residual solids that settle to the bottom
14 of it. Whatever configuration that void space takes,
15 essentially from a hydrogeological standpoint, is of
16 little significance in that the water is allowed to freely
17 pass from -- from that water-filled void to and from the
18 surrounding aquifer. And the -- the the reinjected water
19 would go into that void space. And -- and you know, we're
20 -- remember, we're removing some sand, more sand, and that
21 creates a -- more room for water to be held.

22

23 MR. FORTIN: (inaudible) -- Roland. The
24 withdrawal of the sand will be an inverted -- it'll end up
25 exactly as you say, but the progression of sand removal

1 will advance that way. When you look at the -- the
2 diagram of the. -- of the removal of this, it goes on an
3 inverted slant contrary to the 65 degrees. If you look at
4 ---

5

6 MR. MILL: Ryan Mills of AECOM. Does it
7 -- I've put a graphic on this screen. Is it -- is this
8 the graphic you're referring to? Does this help?

9

10 MR. FORTIN: That is correct. But if you
11 look at -- at the simulations of the sonar readings that
12 Stantec put up and that -- the withdrawal is -- is going
13 going at this way, an inverted of that. So, the sand is
14 removed at -- at that percentage, and it's -- it's
15 contrary to the way what you would think, but that's the
16 only way it can happen.

17

18 MR. BULLEN: Brent Bullen with Sio.
19 Roland, I think the -- the diagram that we showed -- what
20 we were trying to show when we showed the five well
21 cluster was that when you look at the radial extent of the
22 void at surface, you know, the five well cluster -- the
23 five wells would actually stay within the radial
24 limitations that have been defined by the Stantec model
25 for void creation. On that -- that one that you have in

1 your pamphlet, that's not -- oh yeah, there -- those cones
2 are actually at 60 degrees -- 65-degree angles. We just
3 looked at what the long-term predicted angle would be on
4 the sidewalls. You're correct, in the initial extraction,
5 you can have vertical walls, but what we tried to show is,
6 you know, a visualization of how five wells would work in
7 a pad, and even though there's overlap and there's areas
8 where you would see extraction, you know, only occurring
9 at the bottom of the wellbore, like say, the centre one,
10 you know, it was a conceptualization to show how you get
11 these -- these cones. You know, at the end you're not
12 going to end up with five little spikes, you're going to
13 have a bit of leveling of the sand, you'll have a
14 steepening of the wall. But you know, we had, through the
15 discussions and feedback, people trying to understand how
16 do you put two wells? Do you put them so far apart that
17 the radiuses come together and meet or are they close
18 enough together? And in this scenario, which we wanted to
19 show, it's a cumulative effect, you know.

20

21 MR. FORTIN: Undoubtedly, it's a cumulative
22 effect. In fact, the drawdowns should be greater than one
23 well or -- and that's where I'm leading to, is how are you
24 looking at -- because the wells are 18 metres apart or am
25 I -- I believe I'm correct, you're going to get a

1 cumulative drawdown. You've got a steady state drawdown
2 on your -- on your -- and it is a 400, or whatever it is,
3 US gallons a minute. It's steady state. You're not going
4 to get a steady state because you've got all wells
5 pumping. Aare they all pumping at the same rate?

6
7 MR. BULLEN: It's Brent Bullen with Sio.
8 The five well model, you would not have five wells
9 producing at one time, you would -- you would produce one
10 to two at a time, and then sequentially move around the
11 pad.

12
13 MR. FORTIN: (inaudible) -- have three and
14 the other cluster?

15
16 MR. BULLEN: If you have a -- it's Brent
17 Bullen with Sio -- if you have a three well cluster, you
18 may only produce one at a time or two at a time. Even if
19 you were to produce five wells at a time, and I'm not
20 saying that's what we would do, because that's not
21 planned, your total withdrawal is less than the 386
22 gallons per minute that this formation was stressed to.
23 So, we know that it actually can operate within the
24 parameters of what the modelling projects. But we don't
25 anticipate ever having five wells -- nor do we see a need

1 for it. You would sequentially bring the wells on.

2

3 MR. FORTIN: So, in other words, you would
4 have one well -- in that sonic you had it running for six
5 days to equate 3,000 US gallons or 3,000 tonnes of sand.
6 There's a -- there's nothing in the model that equates to
7 two. How much sand do you want to take out from the
8 cluster when you're done?

9

10 MR. BULLEN: The sand is dependent entirely
11 on the void calculation capacity as to what it can
12 deliver. So, just because we have a well that's capable
13 of producing 4,200 tonnes and a five well pattern, you may
14 turn off the perimeter wells first after they've only
15 produced two or 3,000 tonnes and you may use the centre
16 well to extract six or 7,000 tonnes out of that well. But
17 you have to stay within the void. And so, it's the actual
18 rotation of the wells to produce from that cluster.

19

20 MR. FORTIN: So, how deep are you going
21 then?

22

23 MR. BULLEN: Brent Bullen with Sio. You
24 have a formation depth, I think of around 75 feet, on
25 average. Typically, in our results to date, you know,

1 we've produced, you know, down to 40 feet into formation
2 with producible formation below. When the 4,200 tonnes
3 was completed, we turned that well off electively because
4 we wanted to sonar it and we wanted to prove that you
5 could actually have a well reduction in the overall
6 drilling. There was additional material below that well
7 that could have been extracted. We just chose not to do
8 it at that time.

9

10 MR. FORTIN: So, how much are you
11 extracting per cluster? It depends on -- I agree on --
12 on the overburden thickness -- on your thickness of your
13 limestone. So, for the various components that you're
14 looking at, how much are you extracting per cluster? If I
15 look at the 15 metres to 20 metres to 25, those will all
16 obviously have more room to obtain -- and how has that
17 then modelled?

18

19 MR. BULLEN: Brent Bullen with Sio.
20 Roland, if -- if you look at the size of the voids that
21 we're allowed to work within, you're typically looking at
22 a range of 4,600 tonnes out of a -- out of a well, that
23 may just be achieved with the single well, up to a maximum
24 that we calculate of 22,000 tonnes out of a multi-well pad
25 configuration. And these, again, are all dictated on the

1 void space. The void space is calculated for stability.
2 How many wells it takes to get the sand out, obviously the
3 fewer, the better for us, but that's your range -- you're
4 looking at range. You know, typically within 4,600 metres
5 to 22,000 metres depending on the modelling of what the
6 allowable void space is.

7

8 THE CHAIRMAN: (inaudible) -- Roland.
9 Roland, your time has expired so maybe we can wrap this --
10 wrap this up. You're allowed 15 minutes, Sir, and you're
11 at the 16-minute mark.

12

13 MR. FORTIN: I've got more questions. If -
14 - if ---

15

16 THE CHAIRMAN: Chair, before I allow
17 you to proceed, I need to understand that there's no one
18 else in the room that wishes to ask questions.

19

20 MR. FORTIN: That's more than fair.

21

22 THE CHAIRMAN: I'm just following the
23 rules, Sir. Is there anyone else in the room that wishes
24 to ask questions? Then I will give you another five
25 minutes and we will likely adjourn.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. FORTIN: Appendix H gives you a schedule -- a set schedule. Do you have a set schedule for your model?

MR. HARVEY: Miln Harvey for AECOM. Yes, there is a set schedule. We had a schedule for the 2020-2021 model, and we -- it was given to -- provided to us by Sio. The updated schedule, they choose how to operate the wells, put that in a schedule, give it to us and put it in the model. That's how we do the -- the groundwater modelling.

MR. FORTIN: Is that -- can that be provided? Hmm.

MR. MILLS: Ryan Mills with AECOM. The production schedule is essentially in the same form as what was provided previously in Appendix H. The coordinates of the wells are -- were presented and -- and can be put on the screen again now, if desired, but I assume you have a hard copy of -- of the presentation we gave yesterday. And the -- essentially, it -- it shows how the progression of -- of sand extraction moves spatially over -- over space and time and -- and so I -- I

1 think arguably, that that information has been provided,
2 and it has been adjusted, in a -- with a similar kind of
3 manner to be resimulated. So, it's really the coordinates
4 of wells and the start and stop time of individual
5 clusters that -- that has been adjusted.

6
7 MR. FORTIN: Thank you. With regard to the
8 shale degradation, has anything been done with the idea
9 that the shale degradation was not to occur? So, the
10 spacing of the wells, everything else would have to have
11 been reduced. Was that ever taken into consideration?

12
13 MR. HARVEY: Miln Harvey, AECOM. In the
14 2021 modelling we chose -- we simulated a specific
15 scenario, it's Scenario 3, in which we had steady state
16 analysis, conservative, no degradation of shale and zero
17 reinjection. And the purpose of that one -- scenario was
18 to -- it was conservative from a Winnipeg sandstone
19 perspective because it -- it places most of the impacts
20 confined within the Winnipeg sandstone. So, yes, we did
21 take into account, and we had attempted to do it in a
22 conservative way to see what the worst possible impacts
23 were.

24
25 MR. FORTIN: I understand that. But the

1 weakest link in this whole picture is the shale. Now if
2 you wanted to keep the shale intact, what is the minimum
3 distance you need to do -- or was that even considered?

4

5

MR. DUNCANSON: Sander Duncanson.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. FORTIN: The size of the void would
have to accommodate that.

MR. DUNCANSON: Sander Duncanson. So,
Mr. Chair, unfortunately the -- this panel is -- they're
the experts on hydrogeology, so all things groundwater.
In terms of how the void spaces were designed, that's
something that the geotech experts were available to speak
to yesterday and the day before. The way that we've set
up these panels was to try to be as efficient as possible
and focusing questions on certain disciplines, but
unfortunately those -- those witnesses are not on this
panel. And this panel is available to answer any
questions related to groundwater but not geotech.

MR. FORTIN: I understand your point, but
the point was pointed out to me that with the group that
was before us, the geotechnical, the only obligation was
to show that -- that there would be no collapse of the

1 surface, not the collapse of the shale. Every question I
2 asked was referred back to Silica. Because it was the
3 hydrology -- all they did was set up that portion. The
4 portion that I'm asking, Silica should be able to handle -
5 - or answer.

6
7 MR. BULLEN: It's Brent Bullen with Sio
8 Silica. Mr. Fortin, what you're asking is a geotechnical
9 calculation for separation on capacity. In the discussion
10 with the geotechnical panel, which I also sat on, there
11 was discussion on the side scan sonar, and the void, and
12 the void spaces created. And they would be the best panel
13 to talk to in their modelling. I mean, I -- I'm not the
14 expert on the modelling, Stantec is, and Stantec's not up
15 here, so it's impossible for us to go into your modelling
16 questions without asking our Stantec representative.

17
18 MR. FORTIN: No, I understand that, but did
19 -- because you're on the board, did you ever request them
20 to do that analysis?

21
22 MR. BULLEN: Brent Bullen with Sio. As
23 mentioned yesterday in the geotech, they used a safety
24 factor of two which is above an extreme danger damming
25 event, which is at 1.5. When we looked at it, we went

1 through and went through the application of no subsidence
2 and -- to be as conservative as possible. So, our
3 direction was to always be as safe and conservative as
4 possible. And the modelling was presented. So, as for
5 the interpretation of the model and how the model was
6 created, I can't speak to that.

7
8 MR. FORTIN: No, but the consultants get
9 their direction from Silica. Did you ever request them to
10 do an analysis on the shale -- obviously it would be much
11 less than what they've proposed in the 25 -- or the 15
12 metre collapse regime that exists now.

13
14 MR. BULLEN: Mr. Fortin, Brent Bullen with
15 Sio Silica. You know, as mentioned yesterday in the -- in
16 the panel the strength, integrity of the shale was never
17 taken into consideration. And so, you know, I
18 respectfully ask you to address those questions to
19 Stantec. I mean, you're -- you are asking the wrong panel
20 and I'm not -- you know, we brought 16 experts down here
21 to -- we've had a fulsome discussion on all of these
22 items. I -- I wish you would have asked that question
23 when the panel was sitting up here, and the opportunity
24 was made to you.

25

1 MR. FORTIN: I ran out of time.

2

3 THE CHAIRMAN: Chair. And with that,
4 Sir, I've given you 25 minutes, so that's ---

5

6 MR. FORTIN: Thank you.

7

8 THE CHAIRMAN: Chair. I understand
9 that Dennis would like some additional time. How about 15
10 minutes, Sir, in fairness to the other participants that
11 didn't have the opportunity for half an hour since we had
12 to parse up the day somehow.

13

14 MR. LENEVEU: Hello, Dennis LeNeveu. I
15 didn't have time this morning to finish some of my
16 questions. Could you put up slide 10, please?

17

18 UNIDENTIFIED SPEAKER: (inaudible).

19

20 MR. LENEVEU: I'll just quickly set the
21 stage for this. Sio Silica, in response to some
22 questions, Has admitted there be up to 15 percent
23 interbedded shale concretions and oolite, which are known
24 all to be pyritic in the formation and these will be
25 brought to the surface with the sand, and that could

1 constitute, out of 1.36 million tonnes, 200 -- around 200
2 -- oh, is that Slide 10?

3

4

UNIDENTIFIED SPEAKER: You want ten?

5

6

MR. LENEVEU: Yes, and you can see those
7 concretions there on a pile of extracted sand, and as
8 well, the shale on the right and that may be up to 200,000
9 tonnes which requires more than 80 samples. And so, the
10 question is, in consideration of these other components in
11 the sand that will be brought up that are known to be
12 pyritic, it would seem that three samples is not nearly
13 enough. Can you answer that question?

14

15

16

17

18

19

20

21

22

23

24

25

MR. MILLS: Ryan Mills with AECOM. First,
we dispute the fact that additional sampling is required
to characterize the volume of material that we are looking
at here. We have followed industry standard guidelines
and exceeded them for the materials that are present here
and have adequately characterized them to exceed industry
standard. The second point comes to the characterization
of oolites and concretions, and any waste materials
generated as part of -- of the extraction process will be
collected and managed in accordance with their material
properties. As you might have noted in the waste

1 characterization and management plan, Sio intends to take
2 those materials that are generated during drilling, and as
3 a result of extraction, and -- and properly dispose of
4 them at a licensed facility.

5
6 MR. LENEVEU: Thank you for that
7 clarification. In the waste characterization plan, it
8 says explicitly the sandstone will not -- is not
9 considered to be a waste stream, so it will not be
10 analyzed in waste characterization. So, this pyritic
11 material here that can constitute up to 200,000 tonnes, it
12 says in your waste characterization plan, will not be
13 analyzed. Is it not necessary to specifically analyze
14 this material that you see in your sandpiles? It's never
15 been analyzed in your geochemical analysis. Is it not a
16 requirement to analyze it?

17
18 UNIDENTIFIED SPEAKER: Inaudible 00:52:10)

19 ---

20
21 MR. OULD ELEMINE: Cheibany Ould Elemine,
22 AECOM. The characterization that we follow, and you
23 probably are aware of that, in the MEND, deal with the
24 characterization of the waste material, whether that's
25 coming from the shale or the -- the carbonate unit. The

1 sandstone that's been extracted, it's extracted almost 98
2 percent pure, and this conclusion that you're showing
3 here, we don't see them in the sand we have collected.
4 And those samples, if they exist, they are processed as
5 part of the material. When we do a characterization
6 program, we are not looking at characterizing individual
7 particles. What we're looking at doing is developing our
8 understanding of the leachate that might come out from a
9 given formation, not one particular solid or one
10 particular mineral. And that's why we collect a large
11 sample, send it to the lab so it can be homogenized, and
12 that leachate could represent the material that comes out
13 of that sample is assessed.

14

15 MR. LENEVEU: Thank you. I do see these
16 materials on this picture, so, that they do exist.

17

18 I want to have one other slide put up about
19 entrained air that comes out with your airlift process.
20 So, the water that -- the material that -- returned water
21 that you put back won't have just dissolved there, it'll
22 have dissolved gaseous air, which you call entrained air.
23 And my question is, in addition to dissolved air, in the
24 returned water, will you measure the gaseous entrained air
25 that -- well, it's actually air bubbles, rather than just

1 dissolved air, and it can be much more air in that
2 returned water is a gaseous entrained air then dissolved
3 air. And there are instruments to measure entrained
4 gaseous air that are quite different than your dissolved
5 there. Will you measure entrained air and -- and also try
6 and get rid of it?

7
8 MR. MEUZELAAR: Tom Meuzelaar, Life
9 Cycle Geo. So, it is important to acknowledge the
10 difference between the oxygen content of water and the
11 oxygen content of air, since that's come up a lot. Water
12 cannot hold nearly as much oxygen as air can. The
13 saturation limit is about six to eight milligrams per
14 litre. We do not expect to have a lot of entrained air in
15 the aquifer because we've got a -- a passive disposal
16 system. And so, we will be measuring dissolved oxygen
17 content.

18
19 I think the other important thing to
20 recognize is the mining industry regularly uses water
21 covers. Part of the reason they do that is because oxygen
22 does not move readily in the water phase, and we expect to
23 have a saturated water column beneath, when we return the
24 water.

25

1 MR. LENEVEU: Thank you for your question.
2 If you look at this picture, it's obvious, yeah, that
3 milky white water being sent into the tank has entrained
4 air, and also if the colour of it would show there's not
5 much sand there. So, I would respectfully suggest there
6 is evidence for entrained air in your removal process.

7
8 MR. MILLS: Mr. LeNeveu, Ryan Mills with
9 AECOM. I'll respond directly to that before you move on.
10 This photograph -- I'm not sure that there were any
11 measurements of entrained air taken, so it's not fair to
12 postulate that there was entrained air. I agree, it is
13 exposed to the atmosphere, and that that water then sits
14 in a tank. It does contain an extensive quantity of sand,
15 as you can also see the sand entrained in the water.
16 Because the sand is so white and pure, it gives it a white
17 colour. So, it's not just air bubbles or agitation that -
18 - that gives it a white colour in this case.

19
20 Second, once that water is allowed to
21 settle in a tank, it comes into equilibrium with the
22 atmospheric pressure of oxygen and the partial pressure,
23 and it would exsolve from solution the vast majority of
24 the air and oxygen within the air would exsolve to the
25 atmosphere. It is acknowledged that some would remain in

1 the dissolved phase, but as my colleague Dr. Meuzelaar
2 pointed out, that fraction is very small.

3

4 MR. LENEVEU: Thank you for your answer.
5 Just to be cautious, wouldn't it be wise to measure the
6 entrained air? It's a different measurement than
7 dissolved air.

8

9 MR. MEUZELAAR: This is Tom Meuzelaar,
10 Life Cycle Geo. We don't agree that there is value in
11 doing that.

12

13 MR. LENEVEU: So, you don't agree you should
14 take a precaution?

15

16 MR. BULLEN: Mr. LeNeveu, it's Brent Bullen
17 with Sio. I think the answer was given to you, so, to
18 postulate with another summary statement, I don't feel it
19 was fair.

20

21 MR. LENEVEU: That -- that's fine. I just
22 want to move on to another issue, and that's the 15
23 percent water about -- I asked before -- in the sand and
24 the total amount of water removed from the aquifer. And I
25 heard a number, but there is concern of people that if

1 that would be sustainable, the total draw from the aquifer
2 over these many years every year of taking a permanent
3 draw from the aquifer. And I think your hydrogeological
4 model should be able to handle that question. Kennedy and
5 Woodbury's model addressed it in -- but you, of course,
6 have to take into account all the other draws that are
7 going on, industrial draws, to see if your incremental
8 draw over the period, with respect to sustainability --
9 and of course, you have to determine accurately, how much
10 water you're withdrawing from all sources including in
11 your waste streams, from that aquifer. So, can your
12 hydrogeological model answer this question about the
13 sustainability from the permanent water removal from that
14 aquifer?

15

16 MR. HARVEY: Miln Harvey, AECOM. So, a
17 couple of points. First of all, we did a -- a long-term
18 pumping test and during that pumping test, we pumped and
19 then showed recovery, very quick drawdown, and very quick
20 recovery of the water levels after the cessation of
21 pumping.

22

23 A second point, the 15 percent of water
24 that remains in the sand is equivalent to a permanent
25 withdrawal of about equal to what a golf course commonly

1 uses. So, it's -- it's similar to the operation of a golf
2 course. This -- in this case, the operation occurs in a
3 time varying way where during the spring, summer, and fall
4 months pumping occurs, but then for a period of - of a few
5 months over the winter, there's cessation of pumping and
6 the water levels recover. Just like the pumping test,
7 water level drawdown recovers to static, pre-pumping
8 levels. And this is because there is natural recharge to
9 the aquifer that's replacing the water that has been taken
10 out. So, Sio's proposal is a short-term proposal over a
11 period of 25 years. Each year it's operated in a way --
12 it's operated in a way where recovery occurs, so it is not
13 a long-term draw on the aquifer.

14

15 MR. LENEVEU: Thank you for that answer.
16 There's still a permanent draw of water and if you do the
17 -- take 15 percent of 1.36 and divide by the density, I
18 think you get nearly 800,000 cubic metres a year, which I
19 don't think is a golf course.

20

21 MR. HARVEY: So, to answer that question,
22 we dispute that it's a permanent draw. It is a transient
23 -- this is a transient process which is occurring over a
24 given period of time and during that -- the operation of
25 the wells, after each year there will be recovery. So, we

1 will have operation of the wells, withdrawal of slurry,
2 some removal of -- permanent removal of water, but at the
3 end of the drilling season, the water levels will be able
4 to -- will be allowed to recover because the pumps will be
5 off. So, each year drawdown and recovery, drawdown and
6 recovery. So, there -- it's not a permanent withdrawal --
7 not a long term permanent withdrawal of -- sorry, it's not
8 a long-term withdrawal of water.

9

10 MR. LENEVEU: Thank you for that answer. I
11 think the water that evaporates are gone from the
12 sandpile, that's a permanent draw on the aquifer. It may
13 be replenished by infiltration, but you know, everybody --
14 if you add up all the draws from the aquifer, at some time
15 it becomes unsustainable. And Woodbury and Kennedy's
16 calculation showed we were nearing the sustainable limit
17 right around now and -- and extra draws like this are a
18 concern.

19

20 That's -- so just move on to the next one.
21 The other issue I'm having is a concern about the amount
22 of air in the aquifer, and I hear that all the water that
23 comes in your pipe -- production pipe will circulate back
24 up. But I've seen examples where just a little over-
25 pressurization of your air compressor and it comes out the

1 bottom -- leaks out the bottom -- and you can't see down
2 there. So, how do you measure -- guarantee that there
3 will be no water leaking out that pipe -- at the bottom of
4 the production, -- air leaking out the bottom of the
5 production pipe, that there's no measurement for -- you
6 have no -- no known way that I've heard of determining if
7 you're getting leakage out the bottom of your production
8 pipe -- leakage of air on a sustained basis.

9

10 MR. MILLS: Ryan Mills with AECOM. First
11 off, you minimize the volume of air that enters the
12 aquifer that is -- in a manner that is implicit in the
13 design of the project. The air injection pipe is well
14 above the base of the -- the steel casing, and therefore,
15 the easiest -- the air will take the path of least
16 resistance and generate that buoyancy effect. There will
17 be mass movement of that air plug upward to surface. That
18 is its shortest path to ventilating to the atmosphere.
19 That will draw in water from the aquifer with sand and
20 that is the foundational basis for all air rotary and dual
21 rotary drilling. That is the foundational basis for that
22 technology. The reason there's mass movement to surface
23 is because that is the path of least resistance -- is from
24 the point of air injection at the drill bit to surface.
25 That's how cuttings, and water that comes with the

1 cuttings, moves to surface.

2

3 MR. LENEVEU: Thank you for that
4 explanation. I think that's clear, Otherwise you wouldn't
5 have airlift, but I still don't hear a way to measure if
6 you actually put a little bit too much pressure in there,
7 if you get air coming out the bottom of the pipe.

8

9 MR. MILLS: Apologies, I -- I didn't quite
10 address that question specifically. Ryan Mills with
11 AECOM. The way that you could measure that, and it could
12 be captured in a monitoring program, is by monitoring
13 field parameters as we have specified in the Groundwater
14 Monitoring and Mitigation Plan. There could be field
15 characterization at the time of water quality sampling to
16 address this specifically.

17

18 MR. LENEVEU: Thank you. So, you haven't
19 measured this parameter up to now, in five years of
20 development?

21

22 MR. BULLEN: Mr. LeNeveu, it's Brent Bullen
23 with Sio Silica. Airlift does not work if the air comes
24 out the bottom of the extraction tube. You will see it at
25 surface, so you have no returns. It's just that simple.

1

2

MR. LENEVEU: Thank you.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. MILLS: Ryan Mills with AECOM. We will add that we have measured field parameters including various indicators of -- of redox conditions. And oxidizing conditions are not found in the aquifer before or after testing.

THE CHAIRMAN: Chair. I will allow one more question, briefly please.

MR. LENEVEU: Thank you. I think those tests you made were during your drawdown study, where you didn't inject any air, and you didn't extract any cyan (ph) as part of your hydrogeological study there, tabled in the EAP before and after drawdown. But these are not studies where you actually had air and sand operating, so they're not relevant to the process water that would be extracted with the sand.

MR. MILLS: Ryan Mills with AECOM. I'll respectfully disagree with that opinion. These boreholes and monitoring wells were drilled with compressed air and rotary drilling techniques that are similar, and very

1 similar, if not identical, to the processes used to lift
2 the proposed slurry and water to surface. We have -- as a
3 hydrogeologist, I routinely drill, and install, and test
4 monitoring wells and sample the water quality during
5 development and this is not something that we see. We do
6 not see elevated concentrations of dissolved oxygen, or
7 oxygen in general, in groundwaters that are mature.

8
9 MR. LENEVEU: Do I hear you say you actually
10 measured the -- for the water that came out with the sand,
11 the processed water, during sand extraction, you measured
12 the quality of that water, the dissolved oxygen and
13 entrained air actually during -- with water that was taken
14 out during sand extraction? And if so, can we see the
15 results of that analysis?

16
17 MR. MILLS: No, I did not say that. Ryan
18 Mills with AECOM.

19
20 MR. LENEVEU: Thank you.

21
22 THE CHAIRMAN: Thank you, Dennis.
23 Thank you, panel. I think that draws us to a close for
24 today. So, we will adjourn. I will remind the panel that
25 we have yet to hear from Byron Williams from MBEN, who

1 will have roughly an hour and a half tomorrow morning for
2 questions. We will then swear in the permitting team, and
3 we will leave it from there. Thank you very much. Have a
4 great night all.

5
6
7
8
9
10
11
12
13

AFFIDAVIT OF COURT TRANSCRIBER UNDER SECTION 31 OF THE
EVIDENCE ACT

We, Arfana Mulla & Shania Chen, Court Transcribers,
HEREBY MAKE OATH AND SAY, that the foregoing typewritten
pages contain a true and correct transcription of the
recorded proceedings provided herein to the best of my
knowledge, skill and ability.

Arfana Mulla

Shania Chen

Court Transcriber
March 1st, 2023